

1 MEETING OF THE PUBLIC UTILITIES COMMISSION OF OHIO

2 - - -

3 In the Matter of: :
4 The FirstEnergy Service : Case No. 09-778-EL-UNC
5 Company to Modify its RTO :
6 Participation. :

6 - - -

7 Meeting of the Public Utilities Commission of Ohio,
8 180 East Broad Street, Room 11-E, Columbus, Ohio,
9 called at 9:30 a.m. on Tuesday, September 15, 2009.

10 - - -

11 COMMISSION:

12 Commissioner Alan R. Schriber, Chair
13 Commissioner Paul A. Centolella
14 Commissioner Ronnie Hartman Fergus
15 Commissioner Valerie A. Lemmie
16 Commissioner Cheryl Roberto

15 - - -

17
18
19
20
21
22 ARMSTRONG & OKEY, INC.

23 222 East Town Street, Second Floor
24 Columbus, Ohio 43215-5201
25 (614) 224-9481 - (800) 223-9481
Fax - (614) 224-5724

- - -

1 HEARING EXAMINERS:

2 Mr. Gregory Price
3 Ms. Kimberly Bojko

4 PRESENTERS:

5 Mr. Stanley F. Szwed, Vice President
6 and Chief FERC Compliance Officer,
FirstEnergy Corporation.

7 Mr. Michael R. Beiting, Associate General
8 Counsel, FirstEnergy Corporation.

9 Mr. J. Craig Baker, Senior Vice President,
Regulatory Services, American Electric Power.

10 Mr. Michael L. Kurtz, Boehm, Kurtz & Lowry,
11 on behalf of Ohio Energy Group.

12 Mr. Andrew L. Ott, Senior Vice President,
Markets, PJM.

13 Mr. Todd A. Ramey, Executive Director, Market
14 Administration/Market Operations, Midwest ISO.

15 Mr. Jeffrey L. Small, Ohio Consumers' Counsel
16 on behalf of the Residential Consumers of the
State of Ohio.

17 - - -
18
19
20
21
22
23
24
25

INDEX

- - -

PRESENTATIONS

PAGE

Mr. Stanley F. Szwed

4

Mr. Todd A. Ramey

12

Mr. Andrew L. Ott

21

Mr. Jeffrey L. Small

25

Mr. Michael L. Kurtz

30

Mr. J. Craig Baker

36

- - -

1 Tuesday Morning Session,
2 September 15, 2009.

3 - - -

4 CHAIRMAIN SCHRIBER: We will call to
5 order this meeting of the Public Utilities
6 Commission. The date is September 15. The first
7 order of business is I have no minutes to sign until
8 later.

9 So the second order of business comes up,
10 which is to address the issues in Case No.
11 09-778-EL-UNC, which is FirstEnergy's RTO Realignment
12 proposal. We will ask each of six parties to give
13 five-minute presentations. Then we will open it up
14 for questions from up here.

15 First up is FirstEnergy. You have five
16 minutes. Introduce yourself. We know you, but some
17 others may not, but proceed, please.

18 MR. SZWED: Mr. Chairman, Commissioners,
19 good morning. My name is Stan Szwed. I'm vice
20 president of FERC policy and compliance for
21 FirstEnergy, and today I'm here on behalf of our
22 transmission only subsidiary, American Transmission
23 Systems Incorporated, ATSI, and our FirstEnergy Ohio
24 electric utility distribution companies.

25 I do very much appreciate the opportunity

1 to be here and participate today and take the next
2 few minutes to share with you highlights and our
3 thoughts on the realignment and consolidation of all
4 of our RTO participation into one RTO, and that would
5 be PJM.

6 Hopefully you have before you our
7 PowerPoint presentation, and I will use that as a
8 guide to attempt to kind of go through. If you can
9 turn to the slide on page 2, why do we seek to
10 realign and consolidate all of our operations into
11 PJM?

12 As you know, half of our company is
13 already in PJM. Consolidating our operations into
14 one RTO will approve our focus and internal operating
15 efficiencies, and over the long run we think this is
16 going to benefit customers as well.

17 In terms of our participation in MISO, as
18 we look at our participation here, we are different.
19 Our company is different. We have corporate
20 separation of our electric distribution companies
21 from our generation business. We have retail choice,
22 and our distribution companies secure energy and
23 capacity through competitive processes.

24 While MISO has developed really very fine
25 good working markets, we believe as we look at the

1 structure of our company and how we are organized, we
2 believe PJM better suits our corporate structure as
3 there are more participants in PJM that are more like
4 us with more retail choice than things we see in the
5 MISO footprint.

6 And also an important aspect of
7 considering the move to PJM as well is the three-year
8 forward capacity market that PJM has. And for a
9 company that's separated like us into generation and
10 electric distribution, corporately separated, we find
11 that that process secures capacity and helps ensure
12 reliability, while at the same time providing an
13 opportunity for customers to bid and respond with
14 demand response and energy efficiency programs in a
15 similar manner as capacity supply-side resources have
16 been.

17 If you turn to page 3, this is a graphic
18 that depicts FirstEnergy's company's positions in the
19 MISO and PJM RTO footprint. As you can see today, we
20 sit right at the seam between MISO and PJM. We have
21 depicted that with that red line that outlines the
22 ATSI area and the seam that we have with PJM.

23 And you can see that it is quite
24 extensive and it requires coordination to operate.
25 And MISO and PJM have done a very good job in

1 coordinating across that seam, but from our
2 standpoint having all of our facilities in one RTO we
3 believe will help improve our operations and simplify
4 our operations and benefit customers.

5 If you turn to chart 4, slide 4, this was
6 how the map, the picture would look, if you will,
7 after the integration. The seam becomes in our mind
8 more simple. It's now at the Michigan/Ohio border
9 and basically from our standpoint, it is our three
10 interconnections with the Michigan company,
11 International Transmission Company.

12 So we see from our standpoint, hopefully
13 from the RTO's standpoint as well, that that movement
14 of that seam will help make it a little bit easier to
15 coordinate.

16 If you turn to chart 5, this chart
17 depicts the interconnection, the number of
18 interconnections and the interconnection capacity
19 that we have with MISO and PJM. And as you can see,
20 we have significant inter-ties with a number of PJM
21 companies, including one of ours, Penelec.

22 As you can see the capacity values are
23 also very significant. There are 32 interconnections
24 with PJM that we have versus three with MISO, and for
25 the most part when you examine where we draw upon

1 energy and capacity, much of that comes from the PJM
2 side. In fact, if you were to look at the last three
3 years and look at how net flows of capacity and
4 energy into our ATSI footprint was, over 90 percent
5 of it was coming from the PJM side.

6 So again, to align our company completely
7 in the PJM footprint ties all of this together, and
8 it aligns our interconnections as well as sources of
9 supply.

10 The chart on page 6, one of the questions
11 we get a lot is if you move to PJM, well, is it
12 possible that energy prices are going to rise or
13 change? I can't predict what energy prices are going
14 to do in the future, but just stepping back and
15 looking historically over the last three years, this
16 chart depicts energy prices in MISO and PJM at
17 various points.

18 I direct your attention specifically to
19 the box that is highlighted in red there in the
20 center where we show FE prices in MISO and just
21 looking at that, comparing it to entities that are in
22 PJM on the western side, which is more like us, you
23 can see that the energy prices compare very
24 favorably.

25 We would think that as we make this move,

1 we shouldn't see much of a change, if any, in energy
2 prices. In fact, in our filing with FERC, we did a
3 little bit of an analysis that indicated that in
4 looking at all of our generation being dispatched
5 within the PJM footprint we see very little change in
6 energy prices. It was a little bit more but
7 virtually no difference.

8 On chart 7 I just want to point out that
9 we have planned an orderly transition in this case.
10 We are not seeking to transfer tomorrow or anything
11 like that. We really believe in making this an
12 orderly transition and making sure, working with both
13 MISO and PJM, that reliability is maintained
14 throughout the transition and that customers are
15 involved and knowledgeable as to what is going on.

16 Our FERC filing contains an integration
17 agreement with PJM, and that has some of the details
18 of the specific activities and timing. One thing I
19 do want to point out is part of the plan includes
20 meetings with stakeholders, and the first stakeholder
21 meeting will be held here in Columbus on October 2,
22 so it is coming up.

23 The integration date we are seeking for
24 transmission operations is June 1, 2011. As part of
25 the process we also have to work towards aligning the

1 meeting of the capacity requirements in PJM for the
2 time that we start, up until the time that we are a
3 full-fledged participant in the capacity market
4 process. And we've worked out in the filing a plan
5 to address that with a series of transitional
6 capacity auctions that will provide capacity for the
7 periods '11, '12 and part of '13 before we fully are
8 aligned with the PJM capacity RPM process.

9 The very first point on here says
10 January 2010 is the commitment date for PJM auction.
11 That would be for the PJM auction that would take
12 place in May of 2010 for the delivery years '13 and
13 '14. The transition period covers the period between
14 there so that we have sufficient capacity resources
15 to meet the PJM requirements during that period.

16 As part of this transition, we will -- we
17 have indicated this in our FERC filing as well -- we
18 will fulfill our contractual obligations to MISO.
19 These include exit fees and any other legal fees,
20 such as costs allocated to us for transmission
21 expansion.

22 We have one issue that we raised in our
23 FERC filing with regard to the PJM transmission
24 expansion. There have been a number of capital
25 projects that have been approved by PJM and the

1 board, and those projects are moving forward. We
2 were not part of the footprint when those projects
3 were planed and developed, so as we seek entry into
4 PJM, we are seeking relief from not having those
5 costs assigned to us. We will, as I said, continue
6 to pay the MTEP costs and live up to them.

7 Lastly, the last chart just summarizes
8 these dates with December 17 the date we have
9 requested FERC to give us the ruling. The commitment
10 date to the PJM capacity process is the end of
11 January 2010; integration 2011; and then full
12 alignment with the capacity market. As you can see,
13 the transitional capacity auctions would take place
14 somewhere in the April time period.

15 Just lastly, in summary, I'd just like to
16 say that we are moving -- this particular situation,
17 we are moving from one FERC-approved RTO to another
18 FERC-approved RTO. We have been in MISO for over
19 five years now, five or six years. We feel that
20 moving into PJM better aligns with our company, the
21 electrical configuration, as well as how we are
22 structured from the standpoint of meeting the needs
23 of the marketplace.

24 We really see there being benefits to the
25 company as well as to customers over time here, and

1 as I said, we have planned an orderly transition to
2 make this hopefully smooth and efficient.

3 Thank you. I appreciate the opportunity
4 to comment.

5 CHAIRMAIN SCHRIBER: Thank you,
6 Mr. Szwed. We gave you a little slack as to the
7 applicant, but we would like to keep it down to five
8 minutes.

9 Number two, Midwest ISO.

10 MR. RAMEY: Good morning. My name is
11 Todd Ramey, and I am the executive director of market
12 administration in the Midwest ISO. In that capacity
13 I oversee the operation of the primary market
14 functions of the Midwest ISO, including the FTR
15 market, the day-ahead energy market, and the realtime
16 market pricing and validation functions.

17 I have been with Midwest ISO for eight
18 years now and have been involved in various aspects
19 of the markets from conceptual design through
20 implementation and market operations. Through my
21 career I have had the opportunity to publicly discuss
22 various issues affecting the electric industry and
23 have presented formal testimony and evidence before
24 the federal regulatory commission and state
25 commissions. I appreciate the opportunity to come

1 and discuss this very important topic with you today.

2 My prepared comments this morning will
3 focus on the issues and concerns we see with the
4 FirstEnergy filing in FERC Docket No. ER09-1589, in
5 which FirstEnergy seeks approval to withdraw from the
6 Midwest ISO and join PJM. My comments today will
7 also track similar comments and concerns that we will
8 be raising in a protest that will be filed by the
9 Midwest ISO in the FERC docket later this month.

10 In keeping with your schedule, I will
11 keep these initial comments brief and summarize our
12 lengthier filing, touching on some of what we believe
13 to be the areas of most concern presented by the
14 FirstEnergy filing.

15 I would like to make it clear and state
16 from the outset that we recognize and support the
17 voluntary nature of RTO participation and
18 FirstEnergy's permissible right to withdraw, provided
19 it meets its requisite contractual obligations, which
20 we believe FirstEnergy has agreed to do in its
21 filing.

22 That right to withdraw is not something
23 that we will object to or oppose; rather, my comments
24 and the issues and concerns raised today focus on the
25 additional matters presented by FirstEnergy as

1 rationale for the requested RTO realignment.

2 Let me turn now to the substantive areas
3 of concern relative to the FirstEnergy filing.
4 FirstEnergy's filing claimed various relative
5 benefits of moving to PJM and included a production
6 cost study performed by PJM at the request of
7 FirstEnergy, purported to identify net benefits from
8 that integration, specifically in the form of
9 production costs and savings and lower congestion
10 costs.

11 In our response to the FirstEnergy
12 filing, we will dispute the accuracy of these claimed
13 financial benefits and point out various flaws in the
14 analysis that invalidate the findings of the study.

15 Further, we will point out that if the
16 important aspects of the market design differences
17 between Midwest ISO and PJM are considered in the
18 analysis, the results would more than likely show a
19 reduction of financial benefits. Examples of issues
20 raised by the PJM production cost study include:

21 PJM's calculation of benefits includes
22 \$26 million in production cost savings and an
23 additional \$91 million in reduced congestion costs,
24 suggesting a combined benefit of \$17 million in
25 annual savings. In reality the \$91 million in

1 claimed congestion cost reductions can safely be
2 ignored because congestion costs or rents are
3 refunded to participants in full via FTRs and do not
4 represent a net cost to the market. Any resulting
5 reduction in congestion costs would be fully captured
6 in the claimed decrease in production costs. It
7 follows then that any claimed reduction in congestion
8 costs cannot be offered as a net savings or benefit.

9 The only potentially relevant results of
10 the study then, the claimed \$26 million savings in
11 production costs, are driven by PJM's use of 2006
12 vintage hurdle rates; that is, the assumed financial
13 transaction costs imposed on the model's unit
14 commitment and dispatch decisions related to economic
15 energy transfers between RTOs.

16 PJM acknowledges that recent improvements
17 by Midwest ISO and PJM in administering the joint
18 operating agreement, the JOA, have likely reduced the
19 dispatch hurdle rate relative to the 2006 levels, but
20 PJM assumes no decrease in the unit commitment hurdle
21 rate because, as PJM states: "The market-to-market
22 coordination process has yet to be invoked by
23 day-ahead."

24 This assumption is flawed and appears to
25 inflate the reported production cost savings. Since

1 day-ahead market models are set up to reflect
2 realtime operating conditions and outcomes, including
3 the effects of JOA administration, the acknowledged
4 improvements in realtime JOA administration have
5 certainly been incorporated into the Midwest ISO's
6 day-ahead model and are serving to improve efficiency
7 of day-ahead unit commitment today at the Midwest
8 ISO.

9 If these currently available unit
10 commitment improvements were modeled correctly, the
11 study results would be substantially less than the
12 reported \$26 million in annual production cost
13 savings. Even at \$26 million, this value, compared
14 to the reported total production costs of
15 32 billion-dollar annually, is small enough to be
16 within the margin of error for the type of production
17 cost model used in the simulation and should properly
18 be interpreted as a zero dollar net benefit.

19 Finally, with respect to the PJM study,
20 due to the limitations inherent in production cost
21 models like the one used for these simulations, the
22 model fails to reflect certain efficiencies in the
23 Midwest ISO energy and ancillary market design and
24 operation relative to those of PJM that would have a
25 significant impact on any valid comparison of total

1 production costs comparisons between the modeled
2 scenarios.

3 The more significant overlooked
4 efficiencies include: One, the Midwest ISO uses a
5 shorter dispatch interval of five minutes compared to
6 PJM's 15-minute dispatch interval, resulting in more
7 efficient congestion management and utilization of
8 transmission capacity and requiring overall lower
9 levels of regulation reserves and, therefore, the
10 costs of regulating reserves than PJM.

11 And, two, the Midwest ISO co-optimizes
12 the allocation of resources in both commitment and
13 dispatch to simultaneously provide for energy and
14 operating reserves requirements at least cost.
15 Co-optimization is inherently more efficient and
16 produces a lower overall production cost to serve the
17 same load than does the more simplified energy and
18 operating reserve procurement process used by PJM.

19 Taken in total, the Midwest ISO believes
20 that a more accurate set of input assumptions and
21 proper consideration of the relevant design
22 efficiencies in the Midwest ISO market design would
23 show a reduction in financial benefits of
24 FirstEnergy's transition to PJM.

25 Another rationale offered by FirstEnergy

1 to support the transition to PJM is the fact that
2 FirstEnergy has more interconnects with PJM companies
3 than with Midwest ISO companies and, therefore,
4 participation in PJM will better align the RTO seam,
5 lead to operating efficiencies, and reduce
6 congestion.

7 Again, the design features and
8 effectiveness of the JOA neutralize this premise as
9 legitimate justification for the RTO transition. The
10 JOA has largely attenuated the operational and
11 financial impacts of the operating seam between RTOs.
12 For instance, the JOA already provides access to the
13 lowest cost resources along the seam to manage
14 congestion, regardless of which are RTO those
15 resources are in.

16 Also, the provision of the JOA provides
17 both RTOs with access and rights to the combined
18 contract transfer capabilities of the combined
19 regions; therefore, FirstEnergy is effectively
20 connected the same to the Midwest ISO as to PJM, both
21 before and after the proposed realignment. The
22 result is that the expected benefits suggested by the
23 greater number of physical interconnections to PJM
24 are already being provided through the JOA.

25 In short, moving the seam from one

1 location to another will not change the topology of
2 the system, will not change the total number of
3 congested flowgates to be managed, and given the
4 current effectiveness of the JOA, will not result in
5 significant improvement in reliability or operational
6 efficiency.

7 The final point raised in the FirstEnergy
8 filing that I would like to touch on is the assertion
9 that lacking a centralized capacity market,
10 generation in the Midwest ISO will exit the market
11 and impair reliability.

12 It is true that the Midwest ISO does not
13 have a centrally planned and administered capacity
14 market like that used in PJM. Instead, the Midwest
15 ISO long-term resource adequacy construct is based on
16 establishing planning reserve margin requirements
17 that must be met by each LSE, subject to financial
18 penalties.

19 This approach to a long-term resource
20 adequacy assurance has been used with success for
21 decades by NERC regions and planned reserve sharing
22 groups prior to the Midwest ISO's adoption of it.
23 The construct also includes a 10-year loss of load
24 expectation study, which will provide a
25 forward-looking signal on future planning reserve

1 requirements and congested areas of the Midwest ISO.

2 This process of long-term adequacy
3 assurance was developed through close collaboration
4 with the organization of MISO states and our
5 stakeholders and was specifically designed to provide
6 for the long-term reliability of supply that
7 FirstEnergy suggests will be compromised.

8 There is no evidence to suggest that the
9 resource adequacy is at risk for the foreseeable
10 future in the Midwest ISO. In fact, the most recent
11 Midwest ISO long-term resource assessment shows the
12 Midwest ISO having a reserve margin of 25.5 percent
13 in 2018 and a significant supply surplus in each of
14 the next 10 years.

15 Again, the Midwest ISO does not oppose
16 the right of FirstEnergy to withdraw its membership.
17 We are a voluntary organization and the Transmission
18 Owners Agreement specifies these rights. The Midwest
19 ISO does, however, take issue with many of the
20 justifications presented by FirstEnergy that purport
21 to find generalized benefits of its proposed RTO
22 transition.

23 We would recommend that this Commission
24 either, one, press FirstEnergy to support and
25 substantiate the claimed financial, operational, and

1 reliability benefits resulting from the transition;
2 or, two, give no deference or weight to any of these
3 claimed general benefits when considering this
4 important matter.

5 Thank you for the opportunity to
6 participate and present comments on some of the
7 issues that were raised by the FirstEnergy filing at
8 FERC. We stand ready to assist the Commission in any
9 way that we can with the important issues that are
10 being raised and discussed today.

11 That concludes my prepared remarks, I
12 would be happy to address any questions that come up
13 during today's discussion.

14 THE HEARING EXAMINER: Thank you,
15 Mr. Ramey.

16 That leads us to PJM

17 MR. OTT: Good morning, Mr. Chairman and
18 Commissioners. I appreciate the opportunity to
19 appear before you today to talk about the important
20 matter regarding FirstEnergy's proposed RTO
21 realignment. My name is Andrew Ott. I am senior
22 vice president of markets at PJM.

23 As you know, FirstEnergy has submitted a
24 request to the Federal Energy Regulatory Commission
25 to withdraw the ATSI zone from MISO and integrate it

1 into PJM. The implementation plan for integration
2 was actually attached to FirstEnergy's filing, and
3 there is also attached an agreement with PJM on how
4 the integration would go.

5 PJM supports the integration plan to
6 integrate the ATSI region into PJM and we are able to
7 meet that schedule. It's technically feasible and
8 certainly is able to be done in a timely manner. The
9 proposed integration again promotes efficient
10 transition and is designed to allow stakeholders and
11 market participants ample opportunity to adjust their
12 business plans through the transition period.

13 The proposed timing of the integration is
14 well coordinated with PJM's RPM auctions and capacity
15 auctions, with the allocation of transmission rates,
16 financial transmission rights, and also with your
17 Commission's anticipated bid solicitation for
18 FirstEnergy retail customer standard offer service.

19 So this coordination will lower risk to
20 potential suppliers because it will provide more
21 certainty in the positions that they enter your
22 auction with because the timeliness is coordinated.

23 The proposed realignment of FirstEnergy's
24 operations into PJM makes sense electrically and will
25 reduce the long irregular seam that currently exists

1 in Ohio. Moreover, FirstEnergy's strong electrical
2 ties with PJM will reduce congestion, increase
3 operational efficiency across both RTOs, and result
4 in more efficient day-ahead unit commitment of the
5 ATSI zone generation

6 I want to again emphasize this efficiency
7 gain is driven by the substantial difference in
8 electrical interconnection rather than by any
9 difference between the MISO and PJM day-ahead markets
10 or any technical software capabilities. It really
11 comes down to the physics of the system and the
12 benefits of that more tight integration of electric
13 generation into the RTO

14 The availability of FirstEnergy's
15 generation for day-ahead commitment in PJM's
16 day-ahead market would be the prime driver of reduced
17 congestion and operational efficiency across the two
18 RTOs. The proposed transition plan will both support
19 and enhance the competitive retail process in Ohio by
20 lowering barriers to participation by competitive
21 suppliers.

22 PJM has implemented web portals with
23 standardized data transfer protocols and centralized
24 settlement and billing processes to allow daily load
25 switching to support the competitive retail access

1 programs, as we have in other states.

2 The FirstEnergy proposal to hold
3 transition auctions to support the capacity
4 procurement will increase potential capacity supply
5 relative to the bilateral only option for the
6 transition. The transition auctions are beneficial
7 to Ohio customers because it will increase
8 competitive supply and provide a more transparent
9 competitive process for capacity procurement.

10 I have worked closely with the market
11 monitor at PJM to look at the potential design of the
12 transition auction, and he has found that it will be
13 competitive, or at least the design will be
14 competitive. Obviously I haven't looked at the
15 auction itself.

16 As FirstEnergy has indicated, their
17 proposed realignment will increase their transmission
18 ties with the rest of their RTO from three ties,
19 which it currently has, to 32 ties once the
20 integration is complete. That goes essentially from
21 4,500 megawatts to 24,000.

22 As I stated earlier, this significant
23 increase in tie capability with the RTO they are
24 participating in will increase operational efficiency
25 and will more efficiently utilize the transmission

1 system, again because of the day-ahead scheduling
2 aspect. It will also increase the pool of generation
3 capacity resources available to the ATSI footprint to
4 meet their installed reserve requirement. This
5 increased capacity transfer capability will provide
6 potential benefit to Ohio consumers and in the
7 competitive retail procurement process.

8 PJM is committed to working with MISO,
9 with FirstEnergy, and with this Commission to ensure
10 an orderly, reliable, and seamless transition. And
11 I'd like to thank you for the opportunity to speak
12 today and look forward to any questions you may have.
13 Thank you.

14 CHAIRMAIN SCHRIBER: That leads us to
15 consumers' counsel.

16 MR. SMALL: Thank you. Jeff Small,
17 Office of Ohio Consumers' Counsel, representing
18 residential customers. It is a pleasure to be here
19 today.

20 I'd like to begin with a bit of history.
21 FirstEnergy was an Alliance member and selected MISO
22 as its RTO for it to approve FirstEnergy's selection
23 in July of 2002. Just a few years later, with
24 basically the same transmission interconnections,
25 FirstEnergy argues in its application at FERC that

1 PJM is, and I quote, "simply a better fit."

2 It is difficult to reach definitive
3 conclusions based upon this history and FirstEnergy's
4 recent filing at FERC. With all the discussions at
5 FERC regarding which company should pay which
6 charges, it should be remembered that retail
7 customers will ultimately be asked to pay for the
8 proposed changes.

9 At the very least, under the history of
10 FirstEnergy's RTO selections, transmission rates that
11 consumers would be asked to pay should not reflect
12 charges, such as MISO exit fees, for FirstEnergy's
13 change of business decisions.

14 FirstEnergy's proposal at FERC to leave
15 MISO leaves many unanswered questions. FirstEnergy
16 presents a study by PJM that was discussed earlier by
17 the representatives from PJM and MISO, but that study
18 does not examine all issues associated with the
19 switch.

20 FirstEnergy's application barely mentions
21 this joint operating agreement between MISO and PJM
22 that deals with seam issues, and these issues appear
23 to be important in evaluating the benefits and costs
24 of the proposed switch. The PJM model does not deal
25 with different requirements for generators under the

1 MISO and PJM footprints and possible effects of loop
2 flow issues that will be the topic of a report to
3 FERC in January of 2010

4 Most importantly, FirstEnergy's
5 application provides little assistance in
6 understanding which stakeholders will pay more under
7 the proposed switch. The allocation of transmission
8 development costs to Ohioans, both those from MISO
9 and PJM, under the switch are very uncertain.
10 Uncertain rate impacts would be felt on both sides of
11 the MISO/PJM seam, not just customers of FirstEnergy
12 in Ohio.

13 The proposed move to PJM may introduce
14 uncertainty into a very successful competitive
15 bidding process for the FirstEnergy load on June 1,
16 2011. The auction results for FirstEnergy load in
17 May 2008 was very successful in lowering rates, well
18 below those proposed FirstEnergy's ESP plan.

19 FirstEnergy apparently started with a
20 June 1, 2011 implementation date and worked backwards
21 to each of the other dates that are fast approaching.
22 This is a significant change in RTO for the very same
23 date when new transmission and generation
24 arrangements will be needed for FirstEnergy's retail
25 customers in Ohio.

1 Progressing strictly on FirstEnergy's
2 timetable would provide the desired certainty for the
3 next bidding procedure; however, the uncertainty
4 posed by even a slight variation in the proposed
5 timeline could introduce uncertainty and jeopardize
6 the successful new bidding procedure in 2011.

7 FirstEnergy's proposed timetable is far
8 too aggressive. FirstEnergy's application to FERC
9 appears designed to force early cost consequences for
10 a prospective move to PJM, consequences that would
11 make it difficult to say no to completing the switch.

12 The first capacity market auctions
13 related to the switch to PJM would take place in
14 April and May of 2010, and preparations for those
15 auctions would begin in February of 2010. However,
16 execution of PJM integration agreements that would
17 finally resolve the unanswered cost allocation
18 questions would take places much later, in December
19 of 2010.

20 Too many unknowns exist concerning costs
21 that are not explained in FirstEnergy's FERC
22 application. For example, the treatment of MISO exit
23 fees should be understood before the commitments are
24 made. The allocation of transmission development
25 costs by MISO and PJM should be understood, both for

1 committed projects and planned projects. In the
2 worst of all worlds, Ohioans could be forced to pay
3 transmission development costs to both MISO and PJM.

4 In conclusion, the actions needed to
5 protect Ohioans in this matter would require much
6 more time than is permitted in FirstEnergy's proposed
7 timetable. I recommend that the PUCO obtain
8 information on the likely effects of the switch on
9 generation prices that customers would be expected to
10 pay across Ohio. Obtain additional information on
11 the allocation of transmission development costs to
12 both MISO and PJM, and obtain information on the
13 assignment of MISO exit fees to various parties.

14 Based on that information the PUCO should
15 present its case to FERC that opposes plans that
16 would unfairly treat customers in Ohio versus
17 customers elsewhere. And if the switch is approved,
18 the PUCO should ask FERC to state that FERC made no
19 finding of prudence regarding FirstEnergy incurring
20 MISO exit fees and that FERC does not determine that
21 such fees were recoverable in rates

22 That concludes my prepared remarks.

23 Thank you.

24 CHAIRMAN SCHRIEBER: Thank you,
25 Mr. Small.

1 Let's see, Ohio Energy Group.

2 MR. KURTZ: Mr. Chairman, Commissioners,
3 thank you for the opportunity. I'm Mike Kurtz for
4 the Ohio Energy Group.

5 First of all, I'd like to say that
6 FirstEnergy has been a very good supplier of energy
7 to industry in northern Ohio and has done many
8 constructive things, and we appreciate that, but this
9 application raises serious questions about the cost
10 impact on consumers.

11 What we have presented in this package is
12 sort of a road map or strategy, if you will, to help
13 assist the Commission in negotiating reasonable
14 conditions and a reasonable time frame for any
15 transition to PJM using your state jurisdiction over
16 rates, not so much whatever you may say as an
17 intervenor at FERC.

18 The first question to ask I think is: Do
19 the three utilities that you directly regulate, do
20 they have a choice in this? Is their consent needed,
21 or is this strictly an ATSI matter? The answer is
22 somewhat ambiguous from the FERC application, but the
23 answer is probably yes, that the utilities do need to
24 consent to this transaction.

25 I've attached various pleadings from the

1 FERC application where the utilities are referred to
2 as transmission owner and they are directly involved
3 in the FERC proceeding. The three utilities that you
4 directly regulate, according to the FERC 1 data,
5 which I have attached also, own about \$700 million of
6 transmission assets, so it's not that all the
7 transmission assets are in ATSI. The three utilities
8 do own significant transmission assets, CEI
9 \$406 million, Toledo Edison \$33 million, and Ohio
10 Edison the balance of \$262 million.

11 So these utilities -- and they have to
12 wear their utility hats. This is not FirstEnergy
13 Solutions or FirstEnergy Services. These three
14 utilities have to consent, it appears. And so then
15 the question arises: Is this a good decision? Are
16 the utilities making a good decision in consenting to
17 transfer from the MISO market to PJM?

18 The evidence is certainly mixed. We
19 heard from the MISO representative that the analysis
20 made to FERC is flawed. What this analysis was, is
21 it looked at the entire PJM and MISO footprint and
22 found very, very small marginal savings to those two
23 entire footprints. There was no study at all that
24 I'm aware of where the utilities looked at the impact
25 on consumers in northern Ohio.

1 The evidence -- and we would encourage
2 the Commission to retain a consultant to look at this
3 issue. But the evidence looks like -- and I'm not
4 saying this is going to be the case. It's very
5 complicated. But if you look at the available
6 information, it appears that PJM is an inherently
7 more expensive market.

8 If you just look at the energy pricing of
9 PJM West versus the Cinergy MISO hub -- and there is
10 publicly available data for that -- the day-ahead and
11 the realtime pricing difference for the last 12
12 months was essentially that the Cinergy hub was \$11 a
13 megawatt-hour less expensive than PJM West.

14 I know that that's sort of anecdotal in
15 the sense that you're going to have to look at the
16 FirstEnergy area in PJM versus MISO, but to the
17 extent that there is any differential, that is a
18 significant drain on the economy of northern Ohio.

19 These three utilities have 60 million
20 megawatt-hours of retail load. So every one dollar
21 megawatt-hour difference is a \$60 million a year
22 drain from the economy. If there is only a one
23 megawatt per hour increase in going to PJM from MISO,
24 that's \$60 million. \$11 a megawatt-hour suggests
25 \$660 million. I know that's a very big number and

1 I'm not saying that is what it's likely to be, but it
2 certainly raises serious questions for the Commission
3 to look into, as to whether the utilities are making
4 a prudent decision in consenting to transfer to PJM
5 from MISO.

6 I've also attached forward pricing
7 information where you see the same price
8 differential. The PJM market appears to be more
9 expensive than MISO.

10 Also the PJM market has an explicit
11 capacity requirement that is paid to generation
12 owners. It is the RPM, reliability pricing model.
13 That is something that MISO does not have. The
14 reliability pricing model, the intent of it,
15 according to the PJM information that was stated here
16 earlier, is to encourage new generation to be built.
17 It pays extra money to make sure that there is
18 generation supply there. It pays it to all the
19 generators. And the logic is that the PJM area is
20 generally a retail choice area and there's no
21 obligation to serve and there's no requirement that
22 utilities build generation.

23 Now, Ohio is really not in that. Ohio is
24 more of a hybrid. In Ohio not only do the utilities
25 have a provider of last resort obligation, but to the

1 extent that they seek permission to get approval to
2 build a power plant, they can get a surcharge for the
3 construction costs of the power plant and a
4 surcharge, a nonbypassable surcharge, for the
5 operational costs once the power plant is built.

6 So there is plenty of incentive, and
7 there's a mechanism built into Ohio law to ensure
8 long-term adequacy of generation, and the RPM
9 requirement that PJM has, it's an added cost that
10 MISO doesn't that may be unnecessary, and it goes
11 into the question: Are the utilities making a
12 prudent decision?

13 In the sense of trying to give this
14 Commission jurisdiction and leverage and bargaining
15 power in negotiating for Ohio consumers reasonable
16 conditions at FERC and a reasonable time frame at
17 FERC for this transfer, the question comes then: Did
18 the utilities make a prudent decision in going from
19 one FERC-approved set of rates, MISO, to another
20 FERC-approved set of rates, PJM?

21 And if they have made an imprudent
22 decision, the law is very clear, and we have included
23 citations from that. The law is very clear that the
24 utilities would then be subject to a prudence
25 disallowance under the prudence of choice exception

1 to the filed rate doctrine, otherwise known as the
2 Pike County doctrine.

3 This is very clear in the law. Let me
4 just read from FERC. This is FERC itself talking:
5 "In most circumstances a state commission may
6 legitimately inquire into whether the retailer
7 prudently chose to pay the FERC-approved wholesale
8 rate of one source, as opposed to the lower rate of
9 another source."

10 In the federal district court case, the
11 Mon Power case, Monongahela Power versus Schriber is
12 the case, in that case the federal district court
13 recognized this Commission's Pike County authority to
14 say to the three operating companies: You chose the
15 wrong FERC-approved rate. You chose PJM, and you
16 should have stuck with MISO, if that's what the
17 evidence shows, and we don't have any evidence on
18 that.

19 But if it was an imprudent decision, then
20 the utilities would be subject to disallowance for
21 the costs that arise from that imprudent decision,
22 which would clearly -- which could include the
23 transmission costs, as well as the generation costs
24 that result from it in any future auctions.

25 So with that prudence of choice authority

1 that this state commission has over the resulting
2 rates from the choice of the utilities, that is what
3 we think is the area where this Commission has the
4 most authority, the most clear jurisdiction, and the
5 ability to protect consumers in northern Ohio best by
6 requiring reasonable conditions and a reasonable time
7 frame on any transition to PJM because of the
8 threat -- not the threat -- because of the
9 possibility that this decision may be imprudent and
10 may result in higher costs on consumers.

11 Again, I do want to stress that I'm not
12 saying that these costs are going to be higher. It's
13 a very significant question, and the three utilities
14 that you regulate have provided no evidence that they
15 won't be higher, and that I think is a serious matter
16 for the Commission to consider.

17 Thank you.

18 CHAIRMAIN SCHRIBER: Thank you,
19 Mr. Kurtz.

20 Finally, Craig Baker from AEP.

21 MR. BAKER: Good morning, Mr. Chairman
22 and other Commissioners. Given the time, I hope to
23 give you some back. My prepared comments are not
24 prepared and they're not going to take very long.

25 My name is Craig Baker. I work for AEP

1 Service Corp, and I head all our regulatory services,
2 but maybe more important for the discussion today,
3 I'm the lead officer for AEP in dealing with the
4 three RTOs that we belong to. So we have the luck of
5 the draw of being in our RTOs and seen a lot of
6 different things.

7 We support the voluntary nature of RTOs,
8 and the companies should be able to choose the RTO
9 that works best for themselves, their customers going
10 forward.

11 As with any filing, I think this filing
12 raises more questions than provides answers, and
13 that's going to be the gist of the comments that we
14 provide to the FERC. I think the answers will be
15 forthcoming. There is a good process, and we will be
16 going through customer meetings. There will be
17 meetings at the FERC, I'm sure, and a lot more
18 information will be developed during that period.

19 We will be there looking at what the
20 impact on our customers are, although I will note
21 that generally our customers are not impacted by the
22 impacts resulting from the capacity and energy
23 markets of PJM because we deal with the FRR, which is
24 the fixed resource requirement. We bring our own
25 capacity, and generally our energy is supplied by our

1 own generating resources; therefore, our customers
2 tend to be pretty insulated.

3 Congestion, on the other hand, does have
4 an impact, so that will be an area we will want to
5 see more information on. So we will be active in the
6 process. I'm sure you all will be as well, and I
7 look forward to further discussions this morning.

8 CHAIRMAIN SCHRIBER: Thanks, Craig.

9 Okay. Why don't we start asking some
10 questions. We have some I'm sure. I'll lead off,
11 and then we'll go down the bench here.

12 Congestion seems to be a pretty huge
13 issue. Craig, let me ask you this because maybe you
14 have, because of the position you're in, I don't
15 think you're taking any strong position, maybe
16 educate us a little bit.

17 With respect to congestion, you hold
18 FTRs. Everybody in PJM has FTRs which have value.
19 By introducing FirstEnergy and their generation into
20 this mix, does this devalue, alter the value of those
21 FTRs to you, and is that a concern?

22 MR. BAKER: It is a concern because the
23 value of the FTRs we actually use as a credit toward
24 our customers' transmission costs that we flow
25 through in our transmission rider. I think you have

1 to look at this in a couple of steps, Mr. Chairman.
2 The first is there is the ARR, FTR allocation
3 process, and I don't think we need to get into ARRs
4 and FTRs. The most important thing is that people
5 ultimately end up with FTRs.

6 And we don't yet know whether this will
7 increase the amount of FTRs that the companies will
8 get or reduce it. That will be something that will
9 be determined based on what the impacts of the
10 flowgates are moving in the JOA, as I understand it.

11 Then once you get them, then there's a
12 question of in fact if there's reduced congestion,
13 does that create a situation where the individual
14 companies and therefore their customers are either --
15 net congestions cost, which is the difference between
16 the congestion that they pay for serving their load
17 and the value they receive from the FTRs, whether
18 that net congestion goes up or down. So that's one
19 of the questions I think needs a little further
20 analysis, both on one step and two.

21 CHAIRMAN SCHRIER: Mr. Ott, since this
22 is your domain, do you have any knee-jerk reaction to
23 that?

24 MR. OTT: Yes. I think that the
25 transmission rights allocation process, which

1 essentially is looking to provide the ability for
2 customers to be hedged based on the fact they pay for
3 firm or network transmission service, that process
4 generally with the integration of a new zone
5 historically has resulted in that zone providing --
6 getting the full amount of FTRs available to them
7 consistent with what their deliveries from the
8 network resources are.

9 Again, until that actual allocation is
10 done, I can't give a definitive answer, but what we
11 have seen, generally speaking, is the phase one of
12 that allocation, which is for the firm resources to
13 load, has generally been 100 percent feasible.

14 As far as the value of -- we can easily
15 do such allocations and look at power flows around
16 that. That is not something that's a mystery. So if
17 there was a need to do a sample allocation, for
18 instance, we could certainly do that and provide that
19 information. That's not something that is
20 unmanageable.

21 But the second is the value of the
22 transmission rights, the dollar value of them. And,
23 again, the key here is that when the congestion -- if
24 congestion would go down and what our analysis
25 indicates it would because, again, the day-ahead

1 market coordination of those resources due to
2 strength of ties would, in fact, make it somewhat
3 easier to preschedule generation to help congestion
4 realtime.

5 It's not a lot of dollars, but it is some
6 dollars. But for every dollar you have a reduction
7 in congestion, you may have a corresponding reduction
8 in the value of the transmission rate, but they
9 should net to effectively having a similar impact on
10 the customer.

11 Now, to the extent the customer is
12 unhedged, meaning the merchant got transferred, this
13 competing with serving others, that would be a
14 benefit.

15 Now, of course, as was stated earlier,
16 the \$91 million reduction in congestion is not a
17 complete benefit because there is some hedging there.
18 But what it was really was a measure of efficiency of
19 operation. In other words, instead of looking at
20 this and saying this is the dollars going into
21 someone's pocket, it's actually a measure, an
22 objective measure of what is the gain in efficiency.
23 That's really what it was about. So value-wise, the
24 FTRs are probably a wash.

25 CHAIRMAN SCHRIER: Thank you.

1 Mr. Szwed, in your second quarter report
2 of financial last earnings, your energy prices or
3 your energy sales obviously were off second quarter,
4 as we all know, for about everybody. But there's
5 significant positive offset by capacity sales in
6 those divisions of yours that belong to PJM.

7 If that were to be the case with the Ohio
8 operating companies, would we expect those capacity
9 revenues that would offset whatever sales
10 deficiencies there are, would we expect to see any of
11 that flow through to Ohio customers, or would that
12 put a demand on -- would that put any pressure upward
13 on prices?

14 MR. SZWED: That's a good question. I
15 think I'm not -- on the other side where that's
16 happened, I think I don't believe those are offset.
17 In the Ohio situation, I'm not exactly sure what
18 would happen in that case. I guess it might be a
19 function of what is the source of that capacity. I
20 mean, is it our own regulated affiliate, or it
21 something else?

22 CHAIRMAN SCHRIBER: Okay. So I'm just
23 noting here that your lower sales value \$57 million
24 and energy prices of \$15 million in the second
25 quarter of '09 compared to the same period last year

1 are partially offset by higher capacity revenues or
2 61 million resulting from higher capacity prices, I'm
3 just wondering how that offset flows through, if any.

4 MR. SZWED: I'm not sure how that would
5 work.

6 CHAIRMAIN SCHRIBER: Okay, I can
7 understand that.

8 Mr. Szwed, again, if you had two issues,
9 you go from MISO, that's a fee, and then you have the
10 RTEP fees. If FERC goes one way or the other or both
11 ways, doesn't let you out of either or asked you to
12 do one or not the other, is there any combination or
13 permutation that would cause you to vacate this
14 filing?

15 MR. SZWED: Our first point, we don't
16 think we should pay double.

17 CHAIRMAIN SCHRIBER: Understood.

18 MR. SZWED: Doing both right now, we
19 don't think we should pay double. Our philosophy is
20 if we are in MISO and we have had costs allocated to
21 us and so forth, we would continue to pay those, and
22 we believe those are right because those are what are
23 obligated by the arrangements and agreements and I
24 believe the tariff as well.

25 If FERC were to order something different

1 or indicate something different than what we have
2 sought, like any other FERC order, we would have to
3 step back and take a look at that. The RTEP costs
4 for facilities that were planned and developed when
5 we weren't there are pretty significant. We would
6 have to step back and examine whether it would be
7 appropriate to continue or not. Our position we
8 shouldn't pay both. We shouldn't pay the PJM RTEP
9 legacy piece.

10 CHAIRMAIN SCHRIBER: Let me pass it down
11 the line.

12 COMMISSIONER FERGUS: I have one
13 question. This is for you, Mr. Szwed. It seems like
14 all the justifications for this transfer to PJM are
15 really justifications that would have been relevant
16 at the time you made your initial decision to go with
17 MISO.

18 And I'm just wondering what has changed
19 since you made that decision to the time you've made
20 this decision that now makes you believe that this is
21 the better fit?

22 MR. SZWED: Yes. There is a lot of
23 history that goes back with the development of the
24 Alliance. RTOs, as Todd said before, there is a lot
25 of history with that. Back then when we made that

1 choice, there was a lot of continued developing of
2 RTOs, if you will, and FERC in a sense when the
3 Alliance did not get approved, FERC was indicating
4 perhaps we should consider the Midwest ISO, and we
5 did.

6 We moved in that direction, and at the
7 time our company had been part of that particular
8 region, the ECAR region. We weren't part of PJM and
9 the Mid-American region. We thought over time as
10 RTOs evolved, there would be a lot more similarities,
11 a lot more comparability, a lot more being very, very
12 similar.

13 In fact, one FERC initiative was trying
14 to create standard market design where there would be
15 say standard market design across all RTOs, and that
16 didn't quite develop. MISO and PJM over time have
17 orchestrated a very good joint operating agreement,
18 really worked hard to develop protocols and so forth.

19 But what we are seeing in terms of our
20 situation today is many of the participants, most of
21 the participants in MISO are really part of what we
22 call hybrid companies, and a lot of the -- in our
23 opinion, a lot of the structure that goes around the
24 markets and so forth really are more for that.

25 As we look at our company, the way we

1 have separated our generation from the distribution
2 business, and even in the access side, the
3 transmission side, we find ourselves as we look at
4 this, particularly again from the market standpoint,
5 more aligned with many of the companies and their
6 structures in PJM and the retail choice that exists
7 in PJM.

8 So if there is one change it's really
9 that direction of how things have evolved on both
10 sides where we believe that for our company and from
11 our standpoint and our footprint we really feel that
12 PJM provides a better fit for us from the standpoint
13 of being able to accommodate competition on the
14 retail side.

15 CHAIRMAIN SCHRIBER: Ms. Lemmie.

16 COMMISSIONER LEMMIE: Good morning. We
17 certainly appreciate everyone's presence today, and
18 their availability to respond to questions and
19 comments from us.

20 I'd like to start by saying that I am
21 most concerned about the cost impact to Ohio
22 ratepayers, both within the FES ATSI footprint and
23 statewide. I'm also concerned about to the extent
24 there are benefits, who will be the net beneficiaries
25 of what efficiency savings and production costs there

1 might be. Does that go to stockholders, or does that
2 go ultimately to those customers who are using the
3 service?

4 So I'd like start out by having you talk
5 a little bit, if I could, Stan, about the fees that
6 you will have to pay to exit one RTO and enter
7 another, generally what those dollar amounts are and
8 who will ultimately pay that? Is that a cost you
9 will pass through to those who purchase the
10 generation, or is that a cost that the company in its
11 business decision will absorb?

12 MR. SZWED: Yes, there would be exit fees
13 and integration fees. The exit fee, our planned exit
14 wouldn't happen until May 31, June 1 of 2011, so the
15 actual number for the exit fee will be calculated as
16 we get close to that period of time.

17 The integration fee into PJM, attached to
18 the filing there's an integration summary. In the
19 plan it delineates the various components of the
20 integration fee. I believe the integration fee to
21 come into PJM is just a little bit under \$12 million.
22 It's, I think, \$11.6 million split into a capital
23 component and O&M component, some of which is
24 directly paid by FirstEnergy; some of which would be
25 paid by PJM.

1 To answer your question about how we
2 propose to collect that or how that would work, our
3 consideration right now would be to propose recovery
4 of those dollars when we file an update to the ATSI
5 transmission rate which we have currently in MISO.

6 The plan would be to file that rate
7 sometime in the 60 to 120 days prior to the
8 integration date, which would put it around the
9 1st of 2011. As you know, that rate is a formulated
10 rate. So to the extent things change, new property
11 gets invested or expenses are lowered or raised, that
12 rate is adjusted every year. So we would propose to
13 integrate or to include the numbers associated with
14 exit as well as integration, however that worked, and
15 deal with that in that particular case.

16 Also recognize that in terms of that
17 rate, it also takes into account when we have
18 efficiencies and reduce O&M costs and change
19 operating practices. Those things do flow through to
20 that rate as well, and we do see operating benefits
21 from our company's standpoint going from two RTOs to
22 one.

23 I will give you a couple of examples.
24 Today our company participates in two RTOs, and we
25 appreciate Craig in three, but we have a lot of

1 people scattered dealing with a number of issues.
2 Just in my group alone, from more of a policy
3 perspective on this, there are three people dedicated
4 to each side. As we look at planning and operations
5 and settlements and other financial things, there's a
6 lot of people throughout our organization that are
7 involved in that.

8 From a reliability and compliance
9 standpoint, given with NERC, just in the course of
10 the last two years, given we are two separate
11 footprints, we have had five various types of
12 reliability audits. We have two separate reliability
13 coordinators. We have in some respects two separate
14 types of operating practices and rules that we have
15 to follow.

16 I think over time as we integrate into
17 one and combine our operations, it gives us an
18 opportunity to focus on one set of rules, one set of
19 protocols. To the extent there are cost savings and
20 reductions in that regard, those are transmitted --
21 they flow through the formula transmission rate that
22 we have on file, which as we integrate into PJM we
23 expect to continue.

24 COMMISSIONER LEMMIE: I'd like to follow
25 up on a comment that was made by one of our other

1 presenters, Craig Baker at AEP, who talked about net
2 congestion costs, and also a comment from Mike Kurtz,
3 and Mike talked about the prudence issue and the
4 responsibility of the three utilities that we
5 currently regulate on the retail distribution side.
6 Your comments and thoughts about what he had to say,
7 and I'll get back to the AEP comments.

8 MR. SZWED: Just as a comment, I think
9 with our company situation, you have to step back and
10 look at our companies, and they are distribution
11 companies, and distribution companies don't own
12 generation.

13 I think it puts our situation in a little
14 different light. I think in terms of trying to
15 acquire energy and capacity to provide service,
16 particularly for the POLR load situation, I really
17 think in our structure moving forward to more of a
18 competitive type environment I think we have seen
19 this over the last year or so in terms of what
20 happened there, we think is positive, and we think
21 PJM in that regard provides that type of environment
22 to better suit that for us and for our customers.

23 I think on some of the discussion with
24 regard to congestion and what was included in the
25 study that we filed, I think from our standpoint, we

1 wanted to include an analysis in there that provided
2 some indication as to what it might mean. We can't
3 forecast energy prices with a degree of accuracy. We
4 don't know, because in our situation we are relying
5 on the market.

6 I think for PJM to run that study and to
7 give us some indication of what happens when we do
8 integrate ATSI and the rest of our companies into
9 PJM, what would happen, I think we see some positive
10 numbers there. They're small. But I think if you
11 change some of the assumptions and undid all that, I
12 think the worst that could happen is no benefit shown
13 by those studies.

14 But I think there is an opportunity. I
15 think as Andy said, that there's an opportunity to
16 achieve some of those, but, again, we have to get
17 there to demonstrate that.

18 You know, I think as far as the
19 utility -- our utility companies go, I think in terms
20 of how we look at it in terms of that perspective, of
21 how do we best position our companies to obtain the
22 most competitive type of market pricing available for
23 customers, and we think that having that in PJM will
24 work better for us in that capacity release.

25 COMMISSIONER LEMMIE: Lastly, before I

1 pass on to my colleague, Andy, you mentioned if we
2 needed additional information or data, you could
3 provide it. What about cost data on the impact of
4 the move on ratepayers in Ohio, whether they're in
5 MISO or PJM? What kind of analysis would be
6 necessary, and is that something you could generally
7 provide, even if it requires input from the staff of
8 the PUCO?

9 MR. OTT: Well, certainly the integration
10 costs, as indicated by Mr. Szwed, we have an estimate
11 of that cost and those estimates are being revised as
12 we continue to move forward with the project
13 planning. Certainly those data are available.

14 If you look at just admin fees,
15 administrative fees, of the two RTOs, certainly there
16 is a slight reduction in admin fees. Again, these
17 are very small dollars between the two. And if you
18 look at the move of FirstEnergy into PJM, they pick
19 up a certain amount of our admin fees and reduce
20 admin fees for other Ohio utilities, for instance.
21 So type of information we could make available as far
22 as admin fees go, if that would be helpful.

23 CHAIRMAN SCHRIBER: Commissioner
24 Centolella.
25

1 COMMISSIONER CENTOLELLA: Thank you,
2 Chairman Schriber, and thank all of you for coming in
3 talking to us about this subject today.

4 I guess I want to begin with looking at
5 the question of what impact does this have or may
6 this have on Ohio consumers, and I want to start by
7 looking at this question of the study that was
8 provided.

9 Stan, did I sort of understand your last
10 answer to be that you know these numbers are really
11 pretty soft, we can't know from these numbers whether
12 there are operational benefits?

13 MR. SZWED: Andy can speak to the study
14 better, but in terms of our filing and so forth, we
15 wanted to provide what it might mean if all of our
16 assets and resources were part of PJM and dispatched
17 in PJM.

18 I think what it shows us is that we're
19 not seeing a negative situation where there's a
20 dramatic harm or negativity to customers. We are
21 seeing potentially some positive benefit. I think if
22 you potentially alter some of the hurdle rate
23 assumptions that we discussed before, you possibly
24 could lower those benefits. But at the end of the
25 day you see some benefits and certainly see if you

1 move to PJM, we certainly see the opportunity to
2 achieve some of those benefits as you move forward.

3 COMMISSIONER CENTOLELLA: Do you disagree
4 with what Mr. Ramey indicated, that 25, 27 million
5 dollar benefit is really in the error band?

6 MR. SZWED: Even in the filing, we showed
7 that the number .06 percent difference on the energy
8 side was very small. Frankly, as I said in my
9 comment, that I could not comment on what we have
10 seen historically by looking at those prices in and
11 around, you know, MISO and the Western PJM shown on
12 the one chart I had in my packet.

13 So I think there is some consistency
14 there. If we are looking ahead versus looking a
15 little bit in the past, I think there's a consistency
16 there and we shouldn't really see much change in
17 energy prices. That's what I get from that. And
18 Andy could add more into how he feels about it from
19 PJM's perspective

20 COMMISSIONER CENTOLELLA: Andy, you have
21 to anything to add?

22 MR. OTT: Again, the study was to try to
23 put a metric, a measure on what is the efficiency
24 gained. If you look electrically -- obviously, I'm
25 an electrical engineer. I'm a system operator. If

1 you look and say I now have an order that's 32 ties
2 and I change that to three, there is an efficiency
3 gained there. The PJM/MISO joint operating agreement
4 works wonderfully, and I agree with Todd, in realtime
5 we are doing a great job in coordinating our realtime
6 markets.

7 However, there are barriers that prevent
8 us from doing day-ahead coordination. Some of those
9 are barriers in the way we both approach our
10 day-ahead markets. Some of those are simply if I
11 make a decision day-ahead that I need to pay MISO to
12 move a generator, then I'm making a decision that
13 could be construed as taking a commercial position in
14 the market. So that would require a fair amount of
15 discussion in the stakeholder process to get to that,
16 and I'm not sure that it's completely feasible to do
17 that 100 percent of the time.

18 The point there is this was a measure to
19 say what we are leaving on the table essentially by
20 not getting to that complete integration, which would
21 be essentially merging the two markets together, and
22 that's what this was. I don't think -- as you say,
23 if you look at the impact of the transmission rates,
24 allocation process, meaning you have -- if congestion
25 changes, some of that is hedged by transmission

1 rates; some of it isn't.

2 So if your question to me is will that
3 \$91 million we quoted go into the pockets of
4 consumers, the answer is, well, no, because they're
5 already hedged to some extent for that. But if the
6 statement you're looking for is does this show that
7 there is some efficiency gain, because of the data I
8 think the answer is yes.

9 I don't think you could reasonably look
10 at this and say if you go from a complex scenario to
11 a less complex one, you can't see some efficiency
12 gain. I think that what the study was trying to
13 show, you certainly can change assumptions, but I
14 don't think you will see changed assumptions to
15 reverse the finding which would say you would see
16 cost increases and that's the point.

17 COMMISSIONER CENTOLELLA: Mr. Ramey, do
18 you see any possibility if the assumptions were
19 changed to, for example, reflect the regulation
20 requirements or the co-optimized markets in MISO,
21 that we would see a potential change in the results
22 the other direction.

23 MR. RAMEY: I definitely think we would.
24 But before we move to those more technical nuances
25 and energy market differences between MISO and PJM, I

1 want to respond to a couple of points that Andy made.

2 One, he makes the argument that on its
3 face that FirstEnergy having ten times more
4 interconnects with PJM companies than with Midwest
5 ISO companies on its surface suggests an opportunity
6 for increased efficiencies with FirstEnergy's
7 participation the PJM.

8 Well, that would only be true to the
9 extent that today's day-ahead market models included
10 some sort of constraints that represented physical
11 transfer capability, FirstEnergy and PJM versus MISO.

12 The market models don't contain those
13 kind of contract path or physical capability
14 interconnect type constraints. Again, the JOA
15 provides for the joint use of whatever transfer
16 capability is provided in the region. Whether it's
17 MISO's use, MidwestISO's market use, or PJM's market
18 use, the rationing is accomplished through specific
19 congestion management on specific flowgates that are
20 binding between the two regions along the seam.

21 So on the surface it may seem intuitive
22 that a stronger interconnect means the opportunity
23 for more efficiencies from FirstEnergy's
24 participation in PJM. In reality, the JOA and the
25 way the constraints are set up in the market models,

1 there really isn't a restriction today based on the
2 fact there is a weaker physical energy interconnect
3 with FirstEnergy to Midwest ISO.

4 COMMISSIONER CENTOLELLA: I want to come
5 back to a point. Stan, you said the LMP between
6 the two markets were similar, and you point I think
7 to chart 6 in your presentation. What is included in
8 those LMPs that you are citing there? Does that
9 include capacity and ancillary service costs, or are
10 those just energy costs?

11 MR. SZWED: I believe they're just
12 energy.

13 COMMISSIONER CENTOLELLA: If we take a
14 look at the capacity markets here, and there are some
15 significant differences of the capacity constructs
16 between the two RTOs, first of all, we heard
17 Mr. Ramey indicate that they will have 25 percent
18 reserve margins in 2018. Mr. Ott, where are you in
19 PJM in 2018 in terms of your reserve margins?

20 MR. OTT: Given the economic downturn, I
21 think -- I know it is above 20 percent. I don't
22 know -- I don't have that information in front of me.
23 But with the economic downturn and the significant
24 updates in the loads, I think we're all experiencing
25 rather sharp increases in reserve market because

1 essentially you're seeing the loads go down, and
2 you're still seeing some generation come in to some
3 extent. A lot of it is the intermittent type. But I
4 think there's a similar outlook, which is a fairly
5 significant reserve margin.

6 The other thing I point out, though, is
7 in PJM there is a significant difference between the
8 western side of PJM capacity supply/demand balance
9 and the eastern. Obviously, if you look at the state
10 of New Jersey, eastern Pennsylvania, Delaware, the
11 capacity outlook there is tighter. You're seeing
12 reserve margins down in the teens.

13 When you look on the western side of the
14 market, it is substantially different. Then you're
15 up in the 20s. So you have to keep that in mind.
16 When the statement was made PJM is a higher cost
17 market, well, it really isn't. If you look at the
18 western -- in other words, if you look at the PJM
19 western hub, which includes parts of the eastern part
20 of Pennsylvania in it and it also includes the
21 Baltimore, Washington area to some extent, that price
22 includes some of the congested parts

23 If you look at Ohio, and there are some
24 forward contracts available for the AEP zone, if you
25 look at those forward contracts, they almost lie on

1 top of each other. There really isn't on an 18-month
2 forward a significant difference in price.

3 Now, there's a huge difference in volume.
4 The PJM contracts generally have much higher volume.
5 I think some of the reason you're hearing from
6 FirstEnergy it supports competition, there are just
7 more players out there trading. I think you have to
8 be careful to jump to the conclusion that the PJM
9 market on its face is more expensive. You have to
10 look at Ohio, and I think you will find it really is
11 not significantly different. And you wouldn't expect
12 it to be because of the strength of transmission
13 ties.

14 COMMISSIONER CENTOLELLA: I guess I'd
15 like to wrap up by asking other panelists, if they
16 could, to comment on the differences between the
17 capacity market in PJM and MISO and what your
18 thoughts are about that, given that we have a very
19 structured forward capacity market in PJM with these
20 three-year auctions and the incremental auctions for
21 specified requirements, and we have, I would say,
22 greater flexibility in MISO for parties to enter into
23 contracts and different links to secure their
24 capacity and whether or not you have comment to offer
25 to us at this point about which capacity construct,

1 you know, may be more economical and more consistent
2 with consumer choice, starting with Mr. Kurtz.

3 CHAIRMAN SCHRIBER: May I introduce one
4 other question into your question? Demand response,
5 how that plays out in the respective markets.

6 MR. KURTZ: Let me comment by saying
7 this. One question that has been asked a couple
8 times is what has changed since the three utilities
9 that you regulate decided to join MISO. An done
10 significant thing that has changed in 2007 that's
11 when PJM introduced the RPM explicit capacity market.

12 That explicit capacity cost, if the three
13 utilities are allowed to move from MISO, will be paid
14 by all 2 million consumers in northern Ohio, whether
15 they shop directly or take power through the auction.
16 And that capacity revenue will essentially be paid to
17 the generation owner, FirstEnergy Solutions, that
18 owns the generation that you don't regulate.

19 So without a study by someone, by the
20 utilities, by a consultant that's hired by the
21 Commission, I don't know that you'll know the answer
22 to that very, very important question of which
23 capacity cost is less and what is the prudent
24 decision. So right now there's a big blank, and I
25 think that the utilities have the burden of proof on

1 that to show that their decision is prudent.

2 On demand response, I think PJM has a far
3 more developed demand response program for large
4 users than MISO.

5 MR. SMALL: I'll just make the comment
6 that you asked about the different pricing constructs
7 in PJM and MISO. I'd just like to address the
8 commentary by FirstEnergy in its FERC application.
9 It states that it is not making a criticism of the
10 manner in which MISO operates as far as planning, but
11 I think it is making that criticism.

12 It is making it, and I heard the comments
13 again today, that MISO is essentially not doing its
14 job. That's the way I interpret the comments. In
15 not having the capacity markets, they're not doing
16 their job as far as planning for the future needs of
17 the region.

18 I think that's an unsubstantiated claim
19 and I think there is this implicit criticism of the
20 MISO construct in the FERC application, and I don't
21 think it's substantiated at this point.

22 COMMISSIONER CENTOLELLA: Mr. Ramey,
23 anything?

24 MR. RAMEY: No. I would tend to agree
25 with that. We have different philosophies between

1 the two RTOs and how we're monitoring and ensuring
2 long-term supply and resource adequacy. Through long
3 discussions with our stakeholders, Midwest ISO
4 working closely with the organization of MISO states,
5 with significant leadership from the PUCO, we arrived
6 at a construct that allows for MISO to do
7 forward-looking planning, to make assessments of
8 accuracy, and address areas in the future where we
9 think there might be supply adequacy concerns.

10 We turn that information over to our
11 loads, working in consultation with our state
12 commissions to address the best ways to move forward
13 to mitigate those identified concerns. MISO
14 certainly respects the responsibility and authority
15 of our state commissions in ensuring and working with
16 our regulated loads and determining the best path
17 forward and answering those long-term supply resource
18 decisions.

19 I would tend to support there are
20 different approaches, but there's no reason to
21 believe the Midwest ISO's resource adequacy construct
22 in any way should jeopardize reliability in the
23 future related to long-term supply.

24 MR. SZWED: Let me just be clear, we are
25 not criticizing MISO here. There's a resource

1 adequacy mechanism, and it works there. It's just
2 the footprint, the construct of the footprint in MISO
3 is just dramatically different than what is in PJM.
4 You have a lot more states that are fully regulated,
5 a lot more participants that are regulated. A lot
6 more of the generation is included as part of
7 ratebase, and reserve margins are worked through and
8 set in conjunction with the state commissions.

9 In our situation for our company, again,
10 coming back to the fact we are our -- our electric
11 distribution companies are corporately separated from
12 generation puts in our mind a little bit different
13 wrinkle of what we need to do.

14 As we look at PJM and look at the RPM
15 capacity construct and the way that market is managed
16 for companies like us for the situation we are in, we
17 believe that provides a better mechanism to secure
18 capacity for the footprint.

19 And by that I mean PJM goes out and
20 secures a certain level of reserves, per the reserve
21 criteria, which is applicable to the entire
22 footprint, and goes out and secures that capacity,
23 and then that capacity is available to all the
24 participants within the footprint.

25 And to the extent customers switch from

1 one retail supplier to another, the capacity comes
2 along with it. It's a three-year forward market.
3 It's a very transparent open market. In our
4 situation it provides that transparency for suppliers
5 who then come in and bid to our POLR auctions that
6 are held in Ohio.

7 That's one of the reasons we set up the
8 time line here the way we have. You know, the next
9 POLR auction here in Ohio is June 1. The next time
10 the rates change are June 1, 2011. We wanted to
11 provide an appropriate transition period so that
12 suppliers in that next upcoming auction, whenever
13 that is, has the benefit of knowing that capacity is
14 going to be for the 11, '12, '13, '14 period, if you
15 will, by virtue of the fact of how we structure this
16 in our integration to PJM.

17 So we feel there's from our standpoint,
18 our viewpoint, a lot of benefits to have that; one,
19 to secure the reliability as well as provide having
20 the openness and knowing what that capacity value
21 would be so when POLR suppliers bid into the POLR
22 auction, they can reflect that in their bids, and, in
23 fact, in many respects that should lower any risk
24 premium in that bid because they know there is a
25 certainty about what their capacity payment is.

1 COMMISSIONER CENTOLELLA: Are you
2 suggesting that the POLR auction you had this last
3 year was unsuccessful?

4 MR. SZWED: No, I'm not. We are looking
5 in terms of moving forward and the way we see it from
6 our company's perspective is taking that and,
7 obviously, working through this integration to PJM to
8 improve that process, make it another component, more
9 transparent, more available, and more open for that
10 so then POLR bidders when they put together their
11 bids, they know what the capacity is for our
12 situation.

13 COMMISSIONER CENTOLELLA: Mr. Baker.

14 MR. BAKER: Well, I think when I look at
15 it, either way I believe will ensure reliability.
16 Whether you administratively set it or you do it via
17 market, we will have the capacity. I'm comfortable
18 with that. The question is, is what is the cost
19 impact associated with the two different approaches.

20 I'll give you what we did and then you
21 can draw your own conclusions. When RPM was proposed
22 by PJM, AEP looked at it and decided it didn't fit
23 the model of AEP. And the reason is that AEP
24 expected to be building capacity in order to meet its
25 load and meets its reserve requirements.

1 The PJM model is an administratively
2 determined supply/demand curve, which means that if
3 the reserve margin is expected -- needed to be
4 15 percent, just for using numbers, it could clear at
5 19 percent. It could clear at 11 percent, and the
6 price will vary.

7 What we wanted to do was to be able to
8 see if we come in with the equivalent of 15 percent,
9 we should be exempted from whether the market moves
10 to 19 percent or 11, we'll show up with the
11 15 percent. So that was a choice AEP made. We
12 pushed hard and we are successful in getting the FRR,
13 and it has worked for us.

14 Others clearly have seen in a state where
15 there is complete separation between generation and
16 load-serving entities, I think there is support for
17 the fact that the market approach gives a little more
18 transparency.

19 COMMISSIONER FERGUS: Commissioner
20 Roberto.

21 COMMISSIONER ROBERTO: I am grateful to
22 all of you for the time you have taken this morning
23 to share your insight. I think each of you has
24 succinctly provided a very quick overview. As a
25 result of this morning, I'm afraid we've just opened

1 more questions than answered them. It would be
2 tempting to sit here throughout the morning and get
3 further and further in the weeds to really examine
4 which is the better market, how will it work for
5 ratepayers.

6 But I think from my perspective those are
7 questions that are fairly key. I guess, Mr. Szwed,
8 the only question I would pose at this point is that
9 from the filings, from the conversation this morning,
10 it appears to be a certainty there would be at least
11 an exit fee that would not be required but for this
12 transition. We don't know the magnitude of it, and
13 we won't know that I think you said until maybe 2011.

14 There's certainly going to be questions
15 that come out of the allocation of the development
16 costs, whether or not consumers will in fact have to
17 pay both, in both RTOs. There are questions that go
18 to whether or not the capacity market works better
19 for consumers versus the reserve market.

20 None of those questions can be answered
21 anytime soon, yet the three distribution companies in
22 FirstEnergy have seemingly answered that question
23 already by their filing at FERC, and my question is
24 how can we be certain as commissioners who will be at
25 some point required to look at that judgment they've

1 made and review it for its wisdom or prudence,
2 whether that's in the context of an inter-utility
3 contract we need to approve or a future request for
4 recovery under the transmission rider, as you
5 suggested that these costs would flow through to,
6 particularly in the light of the fact that it's
7 difficult for me to see how they would not be
8 influenced by their sister companies and how this
9 might be of much greater benefit to the sister
10 companies who actually own the generation.

11 MR. SZWED: Well, I think a couple of
12 points here to make. First of all, in terms of your
13 points and questions on costs, the way we really kind
14 of look at it, and we talked about this to some
15 extent today, the energy prices, we don't know
16 exactly what they're going to be, but looking at
17 history, looking a little bit at some of the analysis
18 that was that done, and comparing it to the right
19 comparison, we don't see much of a change in energy
20 prices.

21 There is the opportunity, as Andy has
22 pointed out, as we talked about in our FERC study,
23 the possibility for increased efficiencies, and it's
24 just not about the congestion piece that's in the
25 analysis. It's about some of the things I've talked

1 about before from our company focusing on one RTO,
2 perhaps, eliminating some of the duplication that we
3 have across the company.

4 I think on capacity is another cost. I
5 think the one thing I can say about PJM, we know we
6 would know what the capacity is. I think that's a
7 good thing from our company's viewpoint.

8 In MISO there is a capacity cost, and
9 capacity is being paid for. They're either embedded
10 in rates because of cost of service and generation is
11 included in a regulated utility's ratebase, and
12 there's capacity being paid.

13 But what you don't know for sure what the
14 number is, and sometimes you just can't make a direct
15 comparison what the capacity value is in PJM and what
16 the capacity value might be in MISO. But what we do
17 know about PJM that it is open and transparent. From
18 a capacity standpoint, you will know three years
19 ahead of time what the capacity is.

20 The second piece to that capacity thing,
21 which I think is of benefit to customers,
22 particularly customers in our situation, in our
23 footprint because of the way we're structured and the
24 competitive effort, is the demand response program
25 and the energy efficiency program that exists in PJM.

1 Customers can bid into marketplace.
2 Their demand response situation, in fact, this past
3 year if you look at the most recent RPM auction, a
4 significant amount of DSM was bid in. And those
5 entities who clear their programs get compensated
6 directly, just like a generating-capacity supply
7 bidder would get.

8 And I think that is of great benefit.
9 It's a great benefit to customers. It's a great
10 benefit to the company from an operating standpoint
11 as well because it gives us additional resources and
12 ways to use our facilities and plan our facilities.

13 On the RTEP, MTEP issues, in our mind our
14 policies will clear under that. We believe we have
15 an obligation upon exit from MISO to pay the MTEP
16 charges and continue to incur those. The issue we
17 have is moving into PJM, we were not there when those
18 new facilities and their plan was approved. They've
19 moved forward, and we don't believe we should pay
20 those, essentially pay twice for MTEP and RTEP.

21 Going forward in PJM however, to the
22 extent there are new projects planned, approved, once
23 we are integrated, we obviously would be subject to
24 RTEP charges and costs, cost allocations. The fact
25 there are projects that span across both RTOs, the

1 RTOs today have cross-border allocations, and
2 irrespective whether we are in one or another, if
3 it's determined that there's cross-border allocations
4 on projects, we could still be subjected to those.

5 So in that light, as we step back and
6 look at this, we find that there are benefits. Yes,
7 there are some costs, but I think the costs are
8 also -- have the potential to be offset, particularly
9 on some of the operating efficiency pieces that
10 relate to transmission, because, in fact, there is a
11 formula rate that we could automatically pass through
12 those.

13 I think as Andy pointed out and as I said
14 in my remarks, I think there are market opportunities
15 there from customer standpoints that can be taken
16 advantage of. I think those would also be dollars
17 that flow from the marketplace to customers in the
18 footprint. I hope that helps.

19 CHAIRMAN SCHRIER: Just a couple quick
20 questions. As Commissioner Roberto said, getting
21 down in the weeds is probably not going to help us a
22 lot right now. But I did tend to complicate Paul's
23 question earlier, and I didn't quite get the answer
24 until just now in PJM's response.

25 Todd, how do you accommodate within your

1 resource adequacy processes within demand response

2 MR. RAMEY: I certainly wouldn't want
3 anyone to leave here today with the assumption that
4 demand response cannot participate and qualify as
5 capacity resource under the Midwest ISO, or that the
6 demand response today cannot participate in our
7 ancillary service markets. In fact, in our most
8 recent registration of our Module E resource capacity
9 construct, we had over 8,000 megawatts of registered
10 demand response qualify to participate as qualified
11 capacity in that program.

12 So to the extent that demand response
13 qualifies as a supply resource, it directly offsets
14 an opportunity cost of either an ownership or
15 contract versus to-supply option, so the opportunity
16 cost for demand response equates to equivalent value
17 of either of those two traditional supply-side
18 options.

19 In terms of our energy market
20 participation, with the launch of our ancillary
21 service markets in January of this year we also
22 greatly enhance the ability of demand response to
23 participate through competitive offers directly into
24 our day-ahead and realtime markets. Price-responsive
25 demand at the wholesale market can be bid into

1 Midwest ISO's market. Those are cleared and
2 dispatched and deployed comparably with traditional
3 supply-side resources. So to the extent there are
4 mechanisms allowed for participation of demand
5 response at PJM, we also have similar mechanisms at
6 MISO.

7 CHAIRMAN SCHRIBER: Thank you. One more
8 question. I've been spending a lot of years
9 wallowing in the economic swamps. If I could for a
10 moment suggest the study with the 91 million or 26
11 million, my natural cynicism kind of says let's just
12 set that aside and pretend it's a wash.

13 And given lots of explanations, Stan, as
14 to why you believe the switch is there, one more
15 question with respect to that. You argue it is
16 better for retail choice. We had a pretty successful
17 outcome not too long ago with respect to retail
18 choice. I'm just sort of curious as to why it would
19 be preferable, or at least you would see some benefit
20 to PJM, in PJM with respect to that.

21 MR. SZWED: I think the one thing -- I
22 won't go through this whole argument again. But I
23 think the notion of how the capacity is set and the
24 ability to know for certain, that suppliers know what
25 capacity value is. They can take that into their

1 consideration in their pricing and know that ahead of
2 time. I think that's good.

3 I also think -- maybe Andy can help me on
4 this, too. But I think mechanically in a number of
5 respects, I mentioned the one thing about customer
6 switching, I think PJM has a pretty good program to
7 be able to administer switching of customers, you
8 know, from one supplier to another, and the ability
9 to make sure that they pay for, like in case of
10 capacity, the capacity value that should go along
11 with that switch. I know that's a benefit. I think
12 there probably are some other things that just help
13 in the mechanics of that taking place.

14 So I look to those and probably other
15 examples of that that would just make it
16 administratively from our standpoint easier. Not to
17 say that MISO's process is bad or I'm criticizing it
18 or anything; I really wouldn't do that. It's really
19 about trying to make it simpler for us.

20 CHAIRMAN SCHRIER: Andy, did you want
21 to add there?

22 MR. OTT: A little bit. I think you saw
23 the recent FERC report come out the other day about
24 the high volume of the demand response we are seeing,
25 for instance, at PJM and again the volume of

1 competitive load switching that we have. By
2 necessity, since we have such a large percentage of
3 our load that is in the competitive retail space, you
4 tend to have -- we had to create systems that make
5 that switching more efficient and lower the overhead.

6 For instance, when we did this in New
7 Jersey, when they first put in their competitive
8 auction, one of the first we experienced, they were
9 concerned about transaction overhead, because when
10 load switches, you have to deal the credit issues
11 between the provider of last resort and the new
12 supplier. You have to deal with issues related to
13 load responsibility and various connotations meeting
14 energy responsibilities and reserve sys capacity,
15 transmission service.

16 So just working out all those contract
17 details, New Jersey had found that once we put in our
18 system to allow daily load switching and absorb all
19 of that complexity into the RTO settlement process on
20 behalf of the all of our customers, our members, New
21 Jersey was estimating they were seeing transaction
22 reductions on a dollar a megawatt hour because it
23 just lowered the transaction fee, the frustration
24 with which to get through this.

25 Again, I don't know what -- I can only

1 tell you what exists within PJM. So that type of
2 high volume sort of "business as usual" load
3 switching does, in fact, promote new competitors to
4 come in. And potentially in your auction some of the
5 folks who are participating in New Jersey that may
6 not have come into your auction, in this case they
7 may because it would be a lower barrier for them
8 since they wouldn't have to learn another system, for
9 instance

10 So that type of thing is what is being
11 referred to here. I don't think by any stretch of
12 the imagination I'm not trying to say we are the only
13 RTO that supports lowering transaction fees. It's
14 just a fact that there is just more volume of it in
15 PJM than there is elsewhere because we had to live
16 through it. That's probably it.

17 CHAIRMAIN SCHRIBER: Did you want to
18 respond?

19 MR. RAMEY: I completely agree with
20 Andy's comments in regard to the volume and level of
21 competitive load switching in PJM certainly is
22 greater than what we experienced in Midwest ISO. I
23 would acknowledge this is an area where MISO lags in
24 its evolution of developing these kinds of
25 load-switching capabilities for retail load areas,

1 but we're not sitting still. We have made some
2 progression.

3 There really are two areas of credits
4 that are important to loads as they switch retail
5 suppliers. The first is ARR credits so the loads
6 have a right to a distribution of the congestion
7 value of the transmission system. That piece of the
8 transfer we already have in place at MISO. To the
9 extent that loads are transferred we accommodate the
10 transfer of those ARR credits to the new LEC that
11 acquires the load and away from the former LEC. So
12 we have been making progress and are implementing
13 those kind of credit switches.

14 On the capacity side MISO is working to
15 develop the ability to transfer capacity credits in
16 retail load service areas so those credits also have
17 the capability to transfer with loads. That
18 functionality is not currently in place, but it is
19 being developed, and we are working with our
20 stakeholders in that process, and we anticipate that
21 capacity credit transfer capability would be in place
22 in MISO prior to the time that FirstEnergy plans to
23 transfer to PJM.

24 So we working on that and trying to make
25 progress, trying to work to accommodate and

1 understand the needs of the various business models
2 of the customers in the Midwest ISO, both for
3 vertically integrated structures and companies that
4 participate in retail choice states.

5 There are unique and different needs of
6 those kind of customers. MISO has worked hard to
7 develop market rules, business practices that serve
8 both business models well. We think that is probably
9 a never-ending endeavor, so we continue to work and
10 make sure we understand the needs of all our
11 customers and do what we can to provide value and
12 accommodate the needs.

13 CHAIRMAN SCHRIBER: Thank you. Going
14 down the line.

15 COMMISSIONER LEMMIE: I just have two
16 additional questions. Todd, the first one is what is
17 the impact that you anticipate on the proposed RTO
18 switch? I'd like to know footprint-wide what the
19 impact might be as well as an in Ohio. I'm concerned
20 about three particular areas: resource adequacy,
21 energy prices, and capacity costs.

22 MR. RAMEY: I'll try and touch each of
23 those three points, but I want to start with the
24 fundamental realtime day-to-day focus of both RTOs.
25 Let's make sure they're operating these combined

1 generation transmission systems in a manner that
2 provides for reliability moment to moment, day to day
3 and even the planning horizon.

4 MISO and PJM both do that very well
5 internally. We have been required through the nature
6 of our seam to develop processes through our JOA
7 that helps us administer and manage jointly those
8 seams to maintain the reliability. There are also
9 some equity concerns and issues around the fair
10 allocation of who is providing the services and
11 bearing the costs of providing that joint congestion
12 management.

13 So in that regard the effectiveness of
14 the JOA, our relationship and operations in working
15 with PJM, I wouldn't anticipate any noticeable change
16 in reliability or operational efficiency of the
17 transition to PJM.

18 Resource adequacy, again, I think both
19 markets have different but effective constructs in
20 place that will reasonably provide for reliable
21 supply into the planning horizon time frame so I
22 wouldn't anticipate a significant impact on resource
23 supply adequacy going forward either.

24 Energy prices, I tend to agree with Andy.
25 I would agree with the comment that average energy

1 prices in PJM are higher than average energy prices
2 in the MidwestISO. That's probably a factual
3 statement, but customers don't pay average prices.
4 They pay local prices.

5 Efficiencies around JOA, again we can
6 direct prices together at the border. Our market
7 participant-initiated economy energy transfers
8 between the two markets works reasonably well to
9 drive those prices together, so I wouldn't anticipate
10 a significant change in energy prices for FirstEnergy
11 with the transition to PJM.

12 Capacity costs. Capacity costs, like
13 energy, to some degree are locational in nature.
14 Andy mentioned earlier that capacity costs in the
15 eastern part of the footprint are significantly
16 higher than capacity costs in the western part of
17 their footprint. That's true across the combined
18 region as well. There are different locational
19 values of capacity, again, deliverability requirement
20 constraints, transmission capability for new
21 generation.

22 So I would expect to see a continuation
23 of the variation of capacity costs across the
24 combined footprint. Would I anticipate a marginally
25 different outcome in capacity costs with FirstEnergy

1 transferring to PJM? I don't have any reason to
2 believe that would be the case.

3 COMMISSIONER LEMMIE: And then lastly,
4 I'd like to ask Andy about the participation duration
5 requirements for a transmission provider's membership
6 in PJM and if, yes, where is that information
7 identified? Is it in a FERC filing? Is it an
8 operating agreement?

9 MR. OTT: You mean once they're in, do
10 they have to stay for certain amount of time? Again
11 I'm not an attorney, but I'll give you my best
12 answer. I don't believe we have specific time
13 limitations. We also don't have the types of exit
14 fee type of the scenarios just because of the way PJM
15 had evolved because we started from a power pool and
16 moved forward. There wasn't a big start-up cost,
17 lump sum sort of start-up cost at PJM. I don't
18 believe there are specific limitations written down.

19 Now, obviously as you may have observed
20 in some of the Dusquesne proceedings, because of
21 forward market commitments, for instance, RPM or
22 others, transmission rights, once you're in, there's
23 certain implications, or course, to getting out. You
24 have to take care of your commercial obligations, but
25 there is no administrative obligation on that.

1 COMMISSIONER LEMMIE: Thank you.

2 CHAIRMAIN SCHRIBER: Paul.

3 COMMISSIONER CENTOLELLA: I want to
4 follow up a little bit on this question of people
5 moving because I think there is some concern about
6 there's uncertainty anytime we have a change of this
7 nature, and that uncertainty has some potential costs
8 associated with it.

9 Andy, first of all, in terms of the next
10 procurement for the POLR auction here in Ohio and
11 with respect specifically to FTR and ARR rights, what
12 would people know and when would they know it under
13 the proposed transition that is going forward with
14 respect to what FTRs and ARRs might be available to
15 serve the market for the next POLR auction proposed
16 for 2010-2011.

17 MR. OTT: Right. I think what is key,
18 again, is perception of risk for a competitive
19 supplier. When they see something that's unknown, to
20 some extent there's the unknown adder, the risk adder
21 that gets in, and it would tend to be higher than one
22 would anticipate just because they have to
23 essentially hedge their potential maximum downside.

24 So from that perspective we have
25 discussed with FirstEnergy, look, the best approach

1 here is to have maximum certainty approaching the
2 retail auction. So we would, in fact, want to do
3 transmission right allocations so that people would
4 know definitively these are the transmission rights
5 available not only to the ATSI zone but to other
6 zones in PJM so folks will know going in, here's
7 essentially the state of affairs.

8 We can do two different flavors of those.
9 Of course, you can do the sample one that says on a
10 forward basis here's what's coming. In other words,
11 do a power flow study and here's what you can
12 reasonably anticipate seeing. We can do one
13 potentially for this year or next year and just say
14 here's what you would have seen had it happened here.
15 Then we can do the ones that are binding that could
16 provide even more certainty.

17 So I think that issue we can certainly
18 address because the transmission right allocation
19 process is something we tend to do on a forward
20 basis, so I think from that perspective, we would at
21 least encourage FirstEnergy to get that done earlier
22 rather than later.

23 COMMISSIONER CENTOLELLA: So when would
24 you do the binding allocation with respect to the
25 post-2011 period?

1 MR. OTT: The binding allocation, I don't
2 have the integration thing in front of me, but
3 starting from June 1, 2011 the binding allocation
4 would normally be done in the February time frame.

5 COMMISSIONER CENTOLELLA: February 2011.

6 MR. OTT: Yes, February/March time frame.

7 COMMISSIONER CENTOLELLA: So that going
8 into this auction that might occur in early 2010,
9 people would not know that.

10 MR. OTT: Wouldn't have the binding one
11 done. We could certainly do an analysis that would
12 show, here's what a binding one would look like.
13 Again, if you look at the FTR allocation year over
14 year, they tend to be fairly similar. In other
15 words, it's not like a market result where people are
16 offering in. This is just a straight power flow
17 study saying these are the resources to serve the
18 load. Unless you have a major change in
19 transmission, they tend to be relatively static. But
20 if you never had one done before, having a sample one
21 or a set of them done under various scenarios would
22 be extremely beneficial because it would help
23 suppliers understand it.

24 As far as valuing it, of course, you look
25 at historic prices from MISO and supply those FTRs,

1 assuming they would be similar price profiles. You
2 could also do simulations of forward price
3 separations.

4 COMMISSIONER CENTOLELLA: Let me turn to
5 a slightly different topic. Mr. Szwed, you made your
6 filing at FERC under Section 205 of the Federal Power
7 Act, which is the section under which FERC determines
8 just and reasonable rates and rates that are not
9 unduly discriminatory, as opposed to under
10 Section 203 of the Federal Power Act, which deals
11 with the disposition of facilities.

12 Is it your position that it's
13 Section 205 which is the appropriate basis on which
14 FERC has to make that decision?

15 MR. SZWED: First of all, let me qualify
16 I'm not a lawyer. I'm an engineer, so I'm not sure.

17 COMMISSIONER CENTOLELLA: I thought you
18 were a FERC compliance officer.

19 MR. SZWED: I am, but on this particular
20 case our lawyers, our attorneys made the appropriate
21 call under which section to file under, and I believe
22 that's probably how it is done.

23 MR. BEITING: Would you like us to
24 respond?

25 COMMISSIONER CENTOLELLA: Sure. That

1 would be fine.

2 MR. BEITING: My name is Mike Beiting,
3 associate general counsel for FirstEnergy.

4 Your Honor, as you're probably aware a
5 number of years ago our companies were involved in
6 some litigation with PJM in Atlantic City, an
7 electric litigation. In that case the Court of
8 Appeals determined Section 203 was not an appropriate
9 vehicle for a situation where a company was
10 transferring operational control over its
11 transmission facilities and that 205, which governed
12 the terms and conditions, not only of rates but
13 contracts, was the appropriate statutory vehicle to
14 be followed in this situation.

15 COMMISSIONER CENTOLELLA: Now, in the
16 Atlantic City decision, the Court, as I understand
17 it, essentially pointed to Section 202 on the -- the
18 first Atlantic City decision pointed to Section 202,
19 which talks about voluntary coordination, and then in
20 the second Atlantic City decision said that FERC did
21 not have jurisdiction under 203 to compel or even
22 review whether to compel RTO membership. Is that
23 your view?

24 MR. BEITING: Yes. And I think in light
25 of that decision, this concept that RTO participation

1 and decisions to change from one RTO to another or to
2 join an RTO were voluntary and were governed by the
3 terms of conditions of Section 205.

4 COMMISSIONER CENTOLELLA: So in your view
5 so long as you meet the requirements under your MISO
6 obligations to leave, your preexisting contractual
7 obligations there, and the RTO that you are joining
8 has just and reasonable rates consistent with Order
9 888, 890, that is all FERC has the authority to look
10 at.

11 MR. BEITING: That is correct, Your
12 Honor; absent some kind of merger condition or other
13 overriding grandfathered agreement or something of
14 that nature out there, yes.

15 COMMISSIONER CENTOLELLA: So then FERC
16 would not in your view have the ability to look at
17 whether it was reasonable to switch from one RTO to
18 another RTO, assuming both have just and reasonable
19 rates and met FERC requirements.

20 MR. BEITING: Well, I think you have to
21 step back and look at the fact that FERC approved
22 both of these RTOs. They approved them under
23 criteria that is essentially the same. They have
24 approved their tariffs, for example, within the
25 confines of the pro forma open access transmission

1 tariff, and the Commission itself, the FERC, has
2 found that their arrangements are comparable, that
3 they provide customers with fair, just and reasonable
4 service.

5 And, of course, moving from one RTO to
6 the other, you cannot simply pick and choose which
7 provisions of the tariffs or their agreements that
8 you will adopt. There may be certain narrow
9 exceptions to that, but generally speaking, you go in
10 and you're going to go from one set of just and
11 reasonable agreements to another set of just and
12 reasonable agreements.

13 COMMISSIONER CENTOLELLA: And so long as
14 you're doing that, your view is that FERC can't ask
15 whether that choice was a reasonable choice or not;
16 is that your view?

17 MR. BEITING: I think FERC is certainly
18 going to be presented in this case with questions as
19 to what -- how far does the MISO transmission owner
20 agreements go in terms of those contractual
21 provisions that apply to our transmission customers
22 within the MISO footprint and what those provisions
23 mean, what is necessary to comply with the MISO
24 contracts.

25 At some point, not in this specific

1 filing, they will be asked to rule on things like
2 exit fees and integration costs and transmission
3 rates. But in this case I believe that there won't
4 be issues raised as to what the proper interpretation
5 of those agreements are.

6 I don't think it's simply -- we feel that
7 we met all of the requirements of the MISO TOA
8 agreement. We feel that we're meeting or have
9 committed to meet all the requirements of the MISO
10 tariff that govern a departing transmission owner.
11 But other parties may have different interpretations
12 of that. Now, ultimately, FERC is going to rule on
13 that interpretation, which interpretation is correct.

14 COMMISSIONER CENTOLELLA: Well, I'm not
15 sure I heard an answer to my question in that. What
16 I'm hearing you say is that so long as whatever FERC
17 says you have to do under the MISO transmission
18 owners agreement you do that, and you comply with
19 whatever FERC says under the terms and conditions of
20 your entry to PJM, that FERC really -- I'm not
21 hearing you say FERC has an ability to look at
22 your -- the reasonableness of your management
23 decision to move from one to the other.

24 MR. BEITING: What I'm suggesting is this
25 isn't a mechanical process. There's a lot of

1 individual things that FERC is going to have to look
2 at and determine whether the new agreements meet only
3 applicable standards, not only of the RTO we are
4 withdrawing from but the one that we are joining. I
5 think it is a far more sophisticated and detailed
6 process than you're suggesting.

7 COMMISSIONER CENTOLELLA: Well, I don't
8 want to suggest FERC will not be sophisticated and
9 detailed in its look at it. I guess, are you
10 suggesting that at least insofar as federal
11 regulation is concerned, that it is entirely the
12 FirstEnergy company's choice, assuming they meet all
13 the required terms and conditions, to be in one RTO
14 versus the other?

15 MR. BEITING: I think ultimately it is
16 subject to that federal regulation. The question as
17 to whether some of the costs we talked about today
18 will be recoverable at a retail level are questions
19 that will be handled in other dockets. They will be
20 handled when you are asked to look at future state
21 rate plans for the Ohio utilities. They will be
22 handled in future rate cases at the federal level.

23 COMMISSIONER CENTOLELLA: So do I hear
24 you saying you would not take a position that said if
25 this Commission decided to disallow, for example,

1 certain exit costs, if we were to determine that the
2 exit from MISO was not prudent, that you would not
3 contest that that was somehow preempted by federal
4 jurisdiction?

5 MR. BEITING: well, I think, as
6 Mr. Szwed has pointed out, the payment of the exit
7 fee by ATSI and the recovery of that, the recovery of
8 it will be the subject of a separate future FERC
9 proceeding, and FERC will rule on whether or not that
10 exit fee is recoverable as part of ATSI transmission
11 rate.

12 COMMISSIONER CENTOLELLA: So you are
13 saying there would be, in your view, federal
14 preemption of that question, you know, in terms of it
15 being a FERC-filed rate?

16 MR. BEITING: On the particular issue if
17 FERC decides that the exit fee is properly
18 recoverable as part of a FERC-approved transmission
19 rate, then yes, we do think that's a preemption
20 issue.

21 COMMISSIONER CENTOLELLA: So in terms of
22 where we go from here as in terms of a state
23 proceeding, I guess I am a little, I guess, amazed,
24 for lack of a better word, that you have not come to
25 this Commission and asked this Commission for its

1 approval to make the transfer. And, in particular,
2 given two significant changes that happened in Senate
3 Bill 3 were directly aimed, it appears, at ATSI, both
4 in 4928.12, where the legislature departed from its
5 normal way of looking at this and said not any public
6 utility, but any entity which owns or operates
7 transmission facilities has to be part of a qualified
8 transmission entity, which would basically be an RTO
9 or ISO, and placed that within the Commission's
10 statutory framework; and then in 4905.03 in its
11 definition of public utilities, it specifically
12 carved out an electric light company that provides
13 transmission service for energy that's ultimately
14 deliverable to Ohio consumers, specifically including
15 ATSI, it would seem, under the supervisory
16 jurisdiction of this Commission, why did you not then
17 come to this Commission and request our approval to
18 do this transfer?

19 MR. BEITING: Your Honor, all I can tell
20 you is that we have looked very carefully at the Ohio
21 statutes, and we see no statute that gives the
22 Commission specific authority to review a move by a
23 utility from one RTO to the other or to set forth any
24 criteria by which that transaction would be decided
25 and resolved.

1 COMMISSIONER CENTOLELLA: In your view --
2 is it your view that the move from one RTO to another
3 is not a utility practice that is subject to our
4 review?

5 MR. BEITING: Well, your Honor, we can
6 certainly address that, if you would like, in our
7 written comments in this proceeding. We have had
8 discussions about this issue before. We have asked
9 your staff as to what provisions they rely upon. We
10 have not gotten an answer to that. If you have
11 specific provisions of Ohio law that you think we
12 should address that we have not, we would be happy to
13 do so.

14 COMMISSIONER CENTOLELLA: I would be very
15 interested in you, and having other parties, address
16 whether or not, A, this qualifies as a reasonable
17 practice; B, whether or not you had an obligation to
18 come to this Commission under 4905.48 for a contract,
19 again, relating to the transmission owners agreement
20 that AEP and DP&L, as a contract for the joint
21 operation of facilities; also whether or not that you
22 had an obligation under 4905.31, given that the
23 transmission owners agreement includes other
24 financial arrangements as to whether or not you
25 should have brought this here under that agreement.

1 And finally, under Chapter 4909, given
2 that you're talking about a change in practice which
3 certainly will affect the rates and terms that
4 ultimately are charged to Ohio consumers, whether or
5 not you should have brought this matter affirmatively
6 to the Commission's attention.

7 MR. BEITING: We will be happy to address
8 those issues that you have raised in our comments.
9 I'm not prepared to respond to them off the top of my
10 ahead today.

11 COMMISSIONER CENTOLELLA: I would invite
12 if there are other parties who are prepared to
13 respond, I will be happy to hear that now or
14 otherwise invite it in written comments as well.

15 MR. SMALL: I will address the range of
16 questions that you're asking. I will say that there
17 is a precedent. You heard in my prepared remarks
18 that I suggested that the PUCO should ask FERC to
19 state explicitly that they're not making a finding of
20 prudence and that FERC is not determining that fees
21 are recoverable in rates, and I got that from the
22 Dusquesne order approving the Dusquesne settlement.

23 So you heard a response from FirstEnergy
24 that they would be recoverable and there would be
25 federal preemption. I'm suggesting in the Dusquesne

1 case, the Pennsylvania Commission challenged that at
2 FERC, received that kind of language in the order,
3 that there would not be federal preemption. That
4 would leave the Ohio Commission the option to look at
5 that at a later date if FERC put those same words
6 into its determination of the FirstEnergy case.

7 MR. KURTZ: I would just say that I
8 believe that the prudence of the decision of the
9 utility, three utilities that you directly regulate
10 their rates, the prudence of that decision to go to
11 PJM extends beyond simply the exit fees that are
12 associated with it, but potentially to the results of
13 the auction, of the next auction to the extent there
14 are costs that you deem to be unreasonable as a
15 result of that, and the recoverability of those
16 additional costs are in question by the three
17 operating companies.

18 Now, that statement depends on the
19 outcome of a number of factual determinations that
20 the utilities have not presented you to. They have
21 not presented a study showing the effect on consumers
22 in northern Ohio of the move to PJM. FERC apparently
23 doesn't care. It's nowhere in the application. The
24 91 million, the 26 million is a potential benefit to
25 the MISO/PJM entire footprint, Michigan to New

1 Jersey. There's nothing saying what the effect on
2 Ohio consumers will be.

3 COMMISSIONER CENTOLELLA: Let me just
4 follow up on a couple areas with you, just follow up
5 with one area. In your prepared remarks you
6 mentioned Pike County, which has to do with purchase
7 from one supplier as opposed to another.

8 Do you believe that this Commission has
9 jurisdiction to speak to the transfer to the extent
10 it would require the load-serving entities to
11 purchase forward capacity and energy as well in one
12 market versus another under the Pike County
13 exception, and could we rule with respect to the
14 prudence of that.

15 MR. KURTZ: I think that Pike County
16 exception, the prudence of choice exception, goes to
17 recovery of the FERC approved costs and retail rates,
18 I don't know that it goes to the initial decision,
19 but it certainly goes to the fruits, if you will, the
20 outcome of the decision and whether or not the
21 decision was prudent. But I don't know that it goes
22 to the initial decision.

23 Your strongest jurisdiction, I believe,
24 is the recovery of costs. That's where the
25 Commission's jurisdiction is strongest and clearest,

1 and again, we're not hoping for an outcome where this
2 thing moves forward and then we're in a big battle
3 over what costs are prudent and what costs are not.

4 We are hopeful that the Commission will
5 be able to use the authority, all the statutes that
6 you cited, plus the prudence of choice exception,
7 Pike County, to negotiate reasonable conditions and a
8 reasonable time frame that is not on this fast track
9 to allow this to move forward more orderly.

10 COMMISSIONER CENTOLELLA: Mr. Chairman,
11 may I ask one more question?

12 CHAIRMAIN SCHRIBER: If you must.

13 COMMISSIONER CENTOLELLA: If we are
14 unable to negotiate the kind of arrangement that you
15 suggest, Mr. Kurtz -- and I will ask other parties if
16 they want to comment -- and we decide we need to have
17 a hearing to resolve the factual questions that have
18 come up in this morning's discussion, what sort of
19 time frame would you need to prepare for that kind of
20 hearing?

21 MR. KURTZ: I don't know, but -- I don't
22 know. I think it's incumbent upon the utilities who
23 have the burden of proof on the prudence question to
24 come forward with their case.

25 CHAIRMAIN SCHRIBER: Let me point out

1 there is no proposal here immediately to have a
2 hearing.

3 MR. KURTZ: The utilities have the burden
4 of proof. I think an independent expert hired by the
5 Commission, like you did to supervise the auction,
6 would be appropriate. If the answer is there's no
7 effect on consumers, really that the capacity costs
8 of one versus the other are the same, then that would
9 be good news, and if the energy costs are the same,
10 that would be good news. We wouldn't really have any
11 concern. But if the answer is PJM costs are likely
12 to be more, that's when it becomes a problem.

13 COMMISSIONER CENTOLELLA: Anyone else
14 want to respond to my last question?

15 MR. SMALL: I will make a comment that
16 for such a proceeding, the OCC would take serious
17 consideration to looking for an outside expert, which
18 would take a little bit of time, talking about a
19 couple months.

20 COMMISSIONER CENTOLELLA: All right.

21 CHAIRMAN SCHRIBER: Commissioner
22 Roberto.

23 COMMISSIONER ROBERTO: No more questions,
24 Mr. Chair.

25 CHAIRMAN SCHRIBER: Any closing remarks?

1 Everybody is looking at their watches.

2 Craig, go ahead.

3 MR. BAKER: The only point that I think
4 is going to be a lot more contentious than we may
5 have talked about today is the issue about the
6 allocation of transmission costs going forward. I
7 don't know how it's going to play out, but I do
8 expect that will be a pretty hotly debated topic at
9 the FERC.

10 I would note that I understand FE's
11 position on equity on far as when facilities were
12 approved, but then there is the question about when
13 the facilities either go in service or when they are
14 providing service. Many of the assets that are
15 already approved will not be in service before the
16 June of '11 date.

17 And further, that is an area where I
18 believe there will be contentiousness around the
19 tariff filing and whether that can be -- I hate to
20 open this can of worms -- whether it is a 205 or 206
21 filing is the appropriate way to change allocation,
22 because that clearly is not the allocation model that
23 PJM has or was dealt with in the Dusquesne case.

24 So I wanted to just bring it to the
25 Commission's attention that that is an area that I

1 think we will have a lot of debate over.

2 CHAIRMAIN SCHRIBER: Thank you very much,
3 and we would welcome -- there's been some discussion
4 about competitive suppliers. There would be some
5 interest in getting comments from you all, and again,
6 I didn't mean to step on any toes, but there is no
7 immediate plan for a hearing. We are going to move
8 forward and go with the flow and see how things go
9 here.

10 So with that, I thank you all for your
11 participation. We will recess the Commission meeting
12 until 1:30. Thanks you all.

13 (The meeting adjourned at 11:46 a.m.)

14 - - -
15
16
17
18
19
20
21
22
23
24
25

1 CERTIFICATE

2 I do hereby certify that the foregoing is a
3 true and correct transcript of the proceedings taken
4 by me in this matter on Tuesday, September 15, 2009,
5 and carefully compared with my original stenographic
6 notes.

7 _s/Rosemary Foster Anderson_____
8 Rosemary Foster Anderson,
9 Professional Reporter and
Notary Public in and for
the State of Ohio.

10 My commission expires April 5, 2009.

11 (RFA-8335)

12 - - -
13
14
15
16
17
18
19
20
21
22
23
24
25

This foregoing document was electronically filed with the Public Utilities

Commission of Ohio Docketing Information System on

9/24/2009 8:59:38 AM

in

Case No(s). 09-0778-EL-UNC

Summary: Transcript First Energy 9/15/09 electronically filed by Mrs. Jennifer Duffer on behalf of Armstrong & Okey, Inc. and Anderson, Rosemary Foster Mrs.