

FILE

30

RECEIVED-DOCKETING DIV
2011 AUG 31 PM 4:53
PUCO

BEFORE THE
PUBLIC UTILITIES COMMISSION OF OHIO

In the Matter of the Application of)	
Columbus Southern Power Company and)	
Ohio Power Company for Authority to)	Case No. 11-346-EL-SSO
Establish a Standard Service Offer)	Case No. 11-348-EL-SSO
Pursuant to §4928.143, Ohio Rev. Code,)	
In the form of an Electric Security Plan.)	

In the Matter of the Application of)	
Columbus Southern Power Company and)	Case No. 11-349-EL-AAM
Ohio Power Company for Approval of)	Case No. 11-350-EL-AAM
Certain Accounting Authority.)	

COLUMBUS SOUTHERN POWER COMPANY AND OHIO POWER COMPANY'S
NOTICE OF FILING DEPOSITION TRANSCRIPT

Columbus Southern Power Company and Ohio Power Company, pursuant to Rule 4901-1-21(N) of the Ohio Administrative Code, hereby provide notice to all parties of the filing of the deposition transcript of Michael M. Schnitzer.

Respectfully Submitted,

Steven T. Nourse / per authorization DRC
Steven T. Nourse
Matthew J. Satterwhite
American Electric Power
1 Riverside Plaza, 29th Floor
Columbus, Ohio 43215-2373
Telephone: (614) 716-1608
Facsimile: (614) 716-2950
stnourse@aep.com
mjsatterwhite@aep.com

Daniel R. Conway
Porter Wright Morris & Arthur
41 S. High Street
Columbus, Ohio 43215
Telephone: (614) 227-2100
Facsimile: (614) 227-2270
dconway@porterwright.com

Counsel for Columbus Southern Power
Company and Ohio Power Company

CERTIFICATE OF SERVICE

The undersigned hereby certifies that a true and correct copy of the foregoing *Columbus Southern Power Company's and Ohio Power Company's Notice of Filing Deposition Transcript* has been served upon the below-named counsel and Attorney Examiners via electronic mail this 31st day of August, 2011.


Daniel R. Conway

Samuel C. Randazzo
Joseph E. Olikier
Frank P. Darr
McNees Wallace & Nurick LLC
21 East State Street, 17th Floor
Columbus, OH 43215
sam@mwncmh.com
joliker@mwncmh.com
fdarr@mwncmh.com

Dorothy K. Corbett
Associate General Counsel
139 East Fourth Street
1303-Main
Cincinnati, OH 45202
Dorothy.Corbett@duke-energy.com

Philip B. Sineneng
Thompson Hine LLP
41 South High Street
Suite 1700
Columbus, OH 43215
Philip.Sineneng@ThompsonHine.com

David F. Boehm
Michael L. Kurtz
Boehm, Kurtz & Lowry
36 East Seventh Street, Suite 1510
Cincinnati, OH 45202
dboehm@BKLawfirm.com
mkurtz@BKLawfirm.com

Richard L. Sites
General Counsel & Senior Director
of Health Policy
Ohio Hospital Association
155 East Broad Street, 15th Floor
Columbus, OH 43215-3620
ricks@ohanet.org

Thomas J. O'Brien
Bricker & Eckler LLP
100 South Third Street
Columbus, OH 43215-4291
tobrien@bricker.com

Colleen L. Mooney
Ohio Partners for Affordable Energy
231 West Lima Street
Findlay, OH 45839-1793
cmooney2@columbus.rr.com

Terry L. Etter
Maureen R. Grady
Assistant Consumers' Counsel
Office of the Ohio Consumers' Counsel
10 West Broad Street, Suite 1800
Columbus, OH 43215-3485
etter@occ.state.oh.us
idzkowski@occ.state.oh.us
grady@occ.state.oh.us

Terrence O'Donnell
Christopher Montgomery
Bricker & Eckler LLP
100 South Third Street
Columbus, OH 43215-4291
todonnell@bricker.com
cmontgomery@bricker.com

Lisa G. McAlister
Matthew W. Warnock
Bricker & Eckler LLP
100 South Third Street
Columbus, OH 43215-4291
lmcaster@bricker.com
mwarnock@bricker.com

John W. Bentine
Mark S. Yurick
Chester Willcox & Saxbe, LLP
65 East State Street, Suite 1000
Columbus Ohio 43215
jbentine@cwslaw.com
myurick@cwslaw.com
Mark A. Hayden
FirstEnergy Service Company
76 South Main Street
Akron, OH 44308
haydenm@firstenergycorp.com

James F. Lang
Laura C. McBride
N. Trevor Alexandor
Calfee, Halter & Griswold LLP
1400 KeyBank Center
800 Superior Ave.
Cleveland, OH 44114
jlang@calfee.com
lmcbride@calfee.com
talexander@calfee.com

Michael R. Smalz
Joseph V. Maskovyak
Ohio Poverty Law Center
555 Buttlers Avenue
Columbus, OH 43215
msmalz@ohiopoveritylaw.org
jmaskovyak@ohiopoveritylaw.org

Jay E. Jadwin
American Electric Power Service Corporation
1 Riverside Plaza, 29th Floor
Columbus, OH 43215
jejadwin@aep.com

M. Howard Petricoff
Stephen M. Howard
Vorys, Sater, Seymour and Pease LLP
52 East Gay Street
P.O. Box 1008
Columbus, OH 43216-1008
mhpetricoff@vorys.com

William L. Massey
Covington & Burling, LLP
1201 Pennsylvania Ave. NW
Washington, DC 20004
wmassey@cov.com

Pamela A. Fox
Law Director, the City of Hilliard, Ohio
pfox@hilliardohio.gov

Christopher L. Miller
Gregory H. Dunn
Asim Z. Haque
Schottenstein Zox & Dunn Co., LPA
250 West Street
Columbus, OH 43215
cmiller@szd.com
gdunn@szd.com
ahaque@szd.com

Kenneth P. Kreider
Keating Muething & Klekamp PLL
One East Fourth Street
Suite 1400
Cincinnati, OH 45202
kpkreider@kkmklaw.com

Michael J. Settineri
Vorys, Sater, Seymour and Pease LLP
52 East Gay Street
P.O. Box 1008
Columbus, OH 43216-1008
mjsettineri@vorys.com

Henry W. Eckhart
Shannon Fisk
2100 Chambers Road, Suite 106
Columbus, OH 43212
henryeckhart@aol.com

Jesse A. Rodriguez
Exelon Generation Company, LLC
300 Exelon Way
Kennett Square, PA 19348
jesse.rodriguez@exeloncorp.com

Sandy I-ru Grace
Exelon Business Services Company
101 Constitution Avenue NW
Suite 400 East
Washington, DC 20001
sandy.grace@exeloncorp.com

Barth E. Royer
Bell & Royer Co., LPA
33 South Grant Avenue
Columbus, OH 43215-3927
BarthRoyer@aol.com

Gary A. Jeffries
Dominion Resources Services, Inc.
501 Martindale Street, Suite 400
Pittsburgh, PA 15212-5817
Gary.A.Jeffries@dom.com

Tara C. Santarelli
Environmental Law & Policy Center
1207 Grandview Avenue, Suite 201
Columbus, OH 43212
tsantarelli@elpc.org

Trent A. Dougherty
Nolan Moser
Ohio Environmental Council
1207 Grandview Avenue, Suite 201
Columbus, OH 43212
camille@theoec.org
nolan@theoec.org
trent@theoec.org

Holly Rachel Smith
Holly Rachel Smith, PLLC
3803 Rectortown Road
Marshall, VA 20115
holly@raysmithlaw.com

Emma F. Hand
Douglas G. Bonner
Keith Nusbaum
SNR Denton US LLP
1301 K Street, Suite 600, East Tower
Washington, DC 20005-3364
emma.hand@snrdenton.com
doug.bonner@snrdenton.com
keith.nusbaum@snrdenton.com

David A. Kutik
Jones Day
North Point
901 Lakeside Avenue
Cleveland, OH 44114
E-mail: dakutik@jonesday.com

Gregory J. Poulos
EnerNOC, Inc.
101 Federal Street, Suite 1100
Boston, MA 02110
E-mail: gpoulos@enernoc.com

Allison E. Haedt
Jones Day
P.O. Box 165017
Columbus, OH 43216-5017
E-mail: aehaedt@jonesday.com

BEFORE THE PUBLIC UTILITIES COMMISSION OF OHIO

- - -

In the Matter of the :
 Application of Columbus :
 Southern Power Company :
 and Ohio Power Company :
 for Authority to Establish:
 a Standard Service Offer : Case No. 11-346-EL-SSO
 Pursuant to §4928.143, : Case No. 11-348-EL-SSO
 Ohio Rev. Code, In the :
 Form of an Electric :
 Security Plan. :

In the Matter of the :
 Application of Columbus :
 Southern Power Company : Case No. 11-349-EL-AAM
 and Ohio Power Company : Case No. 11-350-EL-AAM
 for Approval of Certain :
 Accounting Authority. :

- - -

DEPOSITION

of Michael M. Schnitzer, taken before me, Maria
 DiPaolo Jones, a Notary Public in and for the State
 of Ohio, at the offices of Porter, Wright, Morris &
 Arthur, LLP, 41 South High Street, Columbus, Ohio, on
 Friday, August 26, 2011, at 2:03 p.m.

- - -

ARMSTRONG & OKEY, INC.
 222 East Town Street, 2nd Floor
 Columbus, Ohio 43215
 (614) 224-9481 - (800) 223-9481
 FAX - (614) 224-5724

- - -

Page 2

1 APPEARANCE:

2 Porter, Wright, Morris & Arthur, LLP
 3 By Mr. Daniel R. Conway
 4 41 South High Street
 5 Columbus, Ohio 43215-6194

6 On behalf of the Applicants.

7 APPEARANCES VIA SPEAKERPHONE:

8 Jones Day
 9 By Mr. David Kutik
 10 North Point
 11 901 Lakeside Avenue
 12 Cleveland, Ohio 44114

13 On behalf of FirstEnergy Solutions
 14 Corporation.

15 McNeese, Wallace & Nurick, LLC
 16 By Mr. Joseph E. Olier
 17 Fifth Third Center, Suite 1700
 18 21 East State Street
 19 Columbus, Ohio 43215-4288

20 On behalf of Industrial Energy Users.

21 Mike DeWine, Ohio Attorney General
 22 William Wright, Section Chief
 23 Public Utilities Section
 24 By Mr. Werner L. Margard III
 Assistant Attorney General
 180 East Broad Street, 6th Floor
 Columbus, Ohio 43215-3793
 On behalf of the staff of the Public
 Utilities Commission of Ohio.

Page 4

Friday Afternoon Session,
 August 26, 2011.

MR. CONWAY: Mr. Schnitzer, my name is
 Dan Conway. I'll be taking your deposition today. I
 would just ask on the record that you confirm that
 your testimony in this proceeding that you're giving
 today on deposition will be true and accurate to the
 best of your belief and knowledge.

MR. SCHNITZER: Yes, I will.

MR. KUTIK: And this is David Kutik on
 behalf of FirstEnergy Solutions and on behalf of the
 witness, we will waive the requirement for the notary
 to swear the witness and the notary be present with
 the witness during the deposition.

MR. CONWAY: Thank you.

MICHAEL M. SCHNITZER

deposes and says as follows:

EXAMINATION

By Mr. Conway:

Q. All right. Well, the deposition is being
 taken in PUCO case numbers 11-346 and 11-348-EL-SSO
 and 11-349 and 11-350-EL-AAM, and, Mr. Schnitzer, my

Page 3

Friday Afternoon Session,
 August 26, 2011.

STIPULATIONS

It is stipulated by and among counsel for the
 respective parties that the deposition of Michael M.
 Schnitzer, a witness called by the Applicants under
 the applicable Rules of Civil Procedure, may be
 reduced to writing in stenotypy by the Notary, whose
 notes thereafter may be transcribed out of the
 presence of the witness; and that proof of the
 official character and qualification of the Notary is
 waived.

Page 5

name is Dan Conway, again. I'm a lawyer for
 AEP-Ohio, and I have some questions for you about
 your testimony today. If you don't understand a
 question or if there's any difficulty in hearing,
 just let me know.

A. Thank you.

Q. First off, Mr. Schnitzer, and it is
 "Mr. Schnitzer," is it not?

A. It is.

Q. Okay. Not "Dr. Schnitzer."

A. No, sir.

Q. What I'm going to do is, Mr. Schnitzer,
 is kind of go through your testimony. It actually
 will be fairly straightforward, I think. If you
 could turn, if you have your testimony with you -- do
 you?

A. I do.

Q. Okay. Could you turn to page 5 of your
 testimony.

A. I have it.

Q. And in the chart that you have on page 5,
 which is entitled "The Corrected Proposed ESP Price
 is More Expensive Than the Price Under an MRO," you
 give in one row the corrected ESP price premiums for

2 (Pages 2 to 5)

Page 6

1 both a low case and a high case, correct?

2 A. Yes.

3 Q. And then you give the corresponding, in
4 your view, excess costs paid by customers under the
5 low, on the one hand, or the high, on the other hand,
6 cases; is that right?

7 A. Yes, it is.

8 Q. And your estimate is that the ESP that
9 the AEP-Ohio companies have proposed in this case as
10 corrected by you would produce an excess of revenues
11 of between .7 and 1 billion depending on whether it's
12 the low case or the high case?

13 A. Yes. The rates paid by customers under
14 the ESP collectively would be, as you said,
15 .7 billion to a billion higher than the rates paid by
16 customers under an MRO.

17 Q. And then I think on page 6 you continue
18 the analysis by estimating what the additional costs
19 to customers would be under the proposed ESP and then
20 under the corrected proposed ESP, low case and high
21 case, and you come up with additional costs ranging
22 from .8 million for the -- under the proposed ESP
23 price view and then 1.6 billion under the low case of
24 the corrected proposed ESP price view, and then

Page 7

1 2.0 billion under the high case for the corrected
2 proposed ESP price; is that right?

3 A. Yes. All those numbers being relative to
4 the current average 2011 rate.

5 Q. I don't think I saw anywhere in here
6 where you specifically calculated what the difference
7 between the MRO result would be compared to the
8 current rates, but would it be fair to say that under
9 this depiction that you have provided, that you could
10 infer or you could calculate what that would be, and
11 then if you did, it would be between .9 and
12 1.0 billion depending on the low or the high case?

13 A. I'm sorry. So you're asking me I think
14 two questions. Did I calculate the rates under the
15 MRO compared to current rates, and the answer to that
16 is no, I did not. And I think your second question
17 is if I had, that difference would have been what,
18 please?

19 Q. 900 million to 1 billion. And just to
20 make it easy, all I did was subtract the two sets of
21 variances that you do provide.

22 A. Yes, I believe that. And, again, just
23 with the clarification that the .8 uncorrected ESP
24 number would, of course, be unaffected by that.

Page 8

1 Q. Correct. Yes. I'm sorry. The variance
2 is between your corrected low case/corrected high
3 case ESP from the current 2011 rate view.

4 A. Yes, that would be correct.

5 Q. Okay. And, again, I think you said that
6 there isn't any other place in the testimony where
7 you actually make the calculation that we just went
8 through.

9 A. I do not believe so, no.

10 Q. Can you tell me what the, if you had done
11 that, what the percentage rate increase the MRO
12 alternative would produce based on the 900 million to
13 1 billion dollar cost calculations?

14 A. It looks like something just slightly in
15 excess of 10 percent.

16 Q. Okay. Just switching topics slightly, do
17 you have a view, Mr. Schnitzer, regarding what
18 direction retail market prices are headed during the
19 time period of the proposed ESP, January of 2012
20 through May of 2014?

21 A. I'm not sure what you mean by "retail
22 market prices."

23 Q. Well, prices that would be available in
24 the -- well, let me ask you, do you have a view of

Page 9

1 where the retail market prices are headed in the Ohio
2 retail market, for example, in the FirstEnergy
3 utilities' service areas?

4 A. I'm still not sure what you're asking
5 here. Are you asking about other SSO prices? Are
6 you asking -- I'm not sure what you mean by "retail
7 market prices."

8 Q. How about prices offered by CRES
9 providers.

10 A. CRES providers. And, again, I'm not
11 trying to be difficult, but offered now for delivery
12 then? That might be offered at some future date for
13 delivery in the future? What? I'm just not clear
14 what you're asking me.

15 Q. Well, let's start with offered during the
16 ESP for some point in time during the ESP that's been
17 proposed.

18 A. Yes. Well, I would expect that those
19 prices as we've defined them, those retail market
20 prices I think is your term, would closely track the
21 estimates included in my testimony of the competitive
22 benchmark price over that period.

23 Q. And what is -- just refresh my
24 recollection, what is that?

Page 10

1 A. Yes, and that -- I'm using Ms. Thomas's
2 term there, that is the competitively procured, that
3 estimate was produced to represent the competitively
4 procured portion of the MRO branch, and so I have in
5 numerous places in my testimony discussions of what
6 that competitive benchmark price would be for
7 AEP-Ohio during the term of the -- the proposed term
8 of the ESP.

9 Q. And also, just to refresh my
10 recollection, what is your view of what direction
11 those prices are headed during the course -- over the
12 course of the proposed ESP?

13 A. Well, what I have calculated and
14 summarized in this testimony is that they are very
15 close to the current, AEP-Ohio's current generation
16 rates. So they would be -- let's see where we have
17 that broken out.

18 Well, you see on my pagination page 15 of
19 the testimony includes a table with the middle column
20 of which is my estimate of the competitive benchmark
21 price over the proposed ESP period. Is your
22 pagination the same?

23 Q. Yes, it is. Is yours at the bottom of
24 the page?

Page 11

1 A. Yes, it is. Yes.

2 Q. Okay. And it's got a number of 54.28?

3 A. Correct.

4 Q. And that's an average?

5 A. Yes. That is averaged over the 2012 to
6 May 2014 period.

7 Q. And can you tell me what the -- whether
8 there is a trend or a direction in which the prices
9 head from the beginning to the end of that period?

10 A. If you would like me to, I'd have to pull
11 up a workpaper to try to answer that question if
12 you'd like me to do that. I can't answer that
13 question from the testimony itself, but I would have
14 to go look at the workpaper which underlies this
15 table.

16 Q. I'm not sure I want you to go do, to
17 leave the deposition to do that research, but do you
18 recall off the top of your head if there is a trend
19 over the period of the ESP proposed?

20 A. I'm just trying to remember the various
21 pieces and whether they moved in the same direction
22 or in different directions. I think the energy
23 component, I believe, is increasing during the
24 proposed ESP period, so that piece at least would be

Page 12

1 upward sloping during this period.

2 Q. Okay. And then the other sometimes
3 second largest piece, capacity, what is its trend
4 line?

5 A. I believe, but that is subject to check,
6 I believe that is going the other way.

7 Q. Okay.

8 A. At least measured from the beginning of
9 the period through it, I believe it starts out at a
10 higher number. Those numbers are in my testimony.
11 If you want to take a minute, I can try and direct
12 you to where they are.

13 Q. No. That's okay. Thank you.

14 Do you have any view of what the factors
15 are that cause the energy prices to trend upward and
16 the capacity prices to trend downward?

17 A. Well, the energy prices, of course,
18 are --

19 Q. Or, I'm sorry, maybe I misspoke.

20 A. No, I think I -- I heard it the right
21 way. I don't know if you misspoke or not, but I
22 heard it the right way. I think you asked what would
23 be the basis for the energy prices trending upward
24 and the capacity prices doing the reverse.

Page 13

1 Q. Yeah. That's right.

2 A. Yeah. Well, the forward energy prices
3 will be driven by expectations of the marginal costs
4 of the generating units that set the market price, if
5 you will. And in AEP-Ohio's region that will be
6 heavily influenced by expectations of coal prices and
7 certain emission allowance adders and, to a lesser
8 extent, to the extent to which the market thinks
9 there will be a shift from lower heat rate, more
10 efficient units setting the market price to higher
11 heat rates, less efficient units setting the market
12 price, all that baked together is what would
13 translate to an upward trend in energy prices.

14 I can't tell you which piece would
15 contribute how much, but those would generally be the
16 factors that would cause market prices to be upward
17 sloping.

18 Q. Do you think that during the proposed ESP
19 that looming or arriving environmental, additional
20 environmental requirements would have an impact also?

21 A. Well, not to state from the factors that
22 I've just mentioned. They could affect -- they could
23 affect the efficiency of the unit on the margin,
24 which I refer to, and they could also affect the

Page 14

1 variable costs of units to the extent that various
2 sorts of environmental controls increased. The
3 variable costs of production for cap and trade
4 mechanisms for environmental regulation also
5 translate into higher incremental costs of
6 production. But that's how they would affect energy
7 prices.

8 Q. And are all those factors that you
9 mentioned the particulars of, are they factors that
10 are tending to increase the cost?

11 A. Well, that's the context in which we've
12 been speaking, yes.

13 Q. Okay. Because we're talking about the
14 energy element, right?

15 A. That's right. That's right. You know,
16 factors that would push it the other way would be
17 declining fuel prices and new capacity additions that
18 would drive down the cost of the margin of the unit,
19 but over this time period I would think that upward
20 trending factors would tend to outweigh the downward
21 trending factors.

22 Q. And if we had the same conversation and
23 we were talking about wholesale market prices, would
24 we be talking about the same things, actually?

Page 15

1 A. Yeah. Absolutely.

2 Q. Okay.

3 A. As you see from that table on page 15,
4 the reason I had to understand what you meant by
5 "competitive retail price" is it's driven very
6 heavily by the underlying wholesale market prices.

7 Q. Okay. And if I were to ask you the same
8 types of questions about market prices, whether they
9 be retail or wholesale, after the end of the proposed
10 ESP, so that would be after May of 2014, do you have
11 a view, an opinion of what direction those prices
12 will be going in the period after the end of this
13 proposed ESP?

14 A. Not specifically, no.

15 Q. You don't have an opinion or a view as to
16 whether or not they would be going up or down, or
17 flat?

18 A. Well, it could be any of those. And I
19 think in that time frame one of the key questions or
20 variables that would influence the answer to that
21 question would be the price of natural gas.

22 Q. And do you have a view as to what the
23 direction of the price of natural gas will be, you
24 know, 30 months out, I mean 30 and more months out

Page 16

1 from the beginning of this ESP?

2 A. Yes, but those forward prices are also
3 upward sloping through this term although, you know,
4 those expectations have been coming down over the
5 last year or two. And so that's why the question, as
6 of right now those future prices would be somewhat
7 higher than they are today, but not as high as people
8 might have imagined just a few years ago.

9 Q. I might have confused the context, but
10 are you now speaking over the period of the ESP or
11 after the ESP?

12 A. I was speaking about after the ESP.

13 Q. After the ESP. Okay, well then I didn't
14 confuse it.

15 A. Yeah, the forward market for natural gas
16 extends out beyond the middle of 2014.

17 Q. And it is a trend line which is upward
18 but not as much upward as it was in the past?

19 A. Yes. The base is lower and I think it's
20 also a shallower curve than at times in the past.

21 Q. And you think that's what's going to be
22 the determining factor for market pricing for energy
23 in the electric markets over that period?

24 A. Well, if and as the cost of coal energy

Page 17

1 increased either due to coal prices, environmental
2 emission effects of one sort or another, the extent
3 to which the wholesale price will also increase at
4 some point becomes a function of at what price
5 natural gas generation can substitute for coal
6 generation and so that, ultimately, that relative
7 price between gas generation and coal generation will
8 then -- on the margin has an impact on average
9 wholesale prices.

10 Q. And would you expect that on the margin
11 the average wholesale prices would be, nevertheless,
12 increasing over the period of time after the current
13 proposed, excuse me, after the proposed ESP?

14 A. I think, based on information I've seen,
15 I think that that could well be the trend. As I say,
16 what actually turns out or to what extent that turns
17 out to be true will be a function of, among other
18 things, of what the natural gas prices turn out to
19 be.

20 Q. Okay. This is sort of a cleanup
21 question. At the beginning of your testimony at
22 pages 4 through 11 you explain your recommendations,
23 either your conclusions and recommendations or your
24 recommendations and conclusions, and then you I think

5 (Pages 14 to 17)

Page 18

1 do the same thing at the end of your testimony at
2 pages 132 through 137. Mr. Schnitzer, I read pretty
3 carefully your recommendations and conclusions, or
4 your conclusions and recommendations, at the outset,
5 but my question is is there anything different at the
6 end compared to the front of the testimony?

7 A. Certainly not intended to be.

8 Q. Okay. Could you turn to page 7.

9 A. Yes.

10 Q. I have a note here that says that at page
11 7 you say that the capacity charge that AEP proposes
12 to assess to CRES providers is too high, and that one
13 reason you give is that AEP-Ohio failed to account
14 for revenue derived from market energy and other
15 sources of revenue available to the company. Does
16 that sound familiar?

17 A. I see that, yes.

18 Q. I guess it's down at -- I think is that
19 at line 16 and 17?

20 A. Yeah, 15 through 17 I think is what you
21 were just reading, the quote is there.

22 Q. Okay. I think I understand the revenues
23 that would be derived from market energy. What are
24 the other sources of revenue available to the

Page 19

1 company, and you have a parenthetical that explains
2 it's costs that AEP would otherwise or could
3 otherwise recover when a customer shops. Could you
4 identify for me what those sources of revenue are?

5 A. I think it is principally, more than
6 principally, predominantly energy. I'm not aware
7 that there are any ancillary services revenues that
8 we've also included. I think it's principally -- it
9 is the energy revenues that we're talking about
10 there.

11 Q. Okay. And the reason I'm asking is I'm
12 trying to figure out what else besides that there is
13 in here that they haven't -- AEP-Ohio hasn't
14 accounted for, and is the answer, then, that really
15 there isn't anything else that comes to mind besides
16 the market energy?

17 A. Certainly in terms of how we have
18 quantified the correction, if you will, market energy
19 is the only thing that we quantified.

20 Q. Okay. And then on page 9, if you could
21 turn there, your first recommendation is that the
22 Commission should not, you say "reject," they
23 shouldn't approve AEP-Ohio's proposed ESP and instead
24 should adopt a modified ESP based on procurement of

Page 20

1 SSO supply through competitive solicitations of fixed
2 price full requirements products. That's at lines 9
3 through 11. Do you see that?

4 A. I do.

5 Q. And you also then go on to estimate that
6 that would be, if they did that, if the Commission
7 did that, you would expect it to result in prices 16
8 to 19 dollars per megawatt-hour lower than what
9 AEP-Ohio's proposed ESP would provide. Do you see
10 that?

11 A. I do.

12 Q. Would this result in lower rates than the
13 current ESP will have in effect by the end of the ESP
14 period? And just to be --

15 A. You're asking the question in the first
16 half of 2013 would that still be the case? Is that
17 your question?

18 Q. No. What I'm asking is -- that's a good
19 question, but the question I was getting at is --
20 well, first of all, the 16 to 19 dollars per
21 megawatt-hour advantage that you see with the
22 competitive solicitation of fixed price full
23 requirements products, is that an average over the
24 ESP?

Page 21

1 A. It is.

2 Q. Okay.

3 A. It is.

4 Q. Then my questions are in the same
5 context. The question really is if this proposal,
6 this recommendation were adopted, would the companies
7 collect less from customers than they would under
8 their current ESP during the term of the next ESP?

9 A. You're asking would -- you're asking me
10 under that -- under the competitive solicitation
11 would the companies, would AEP-Ohio's revenues be
12 less than under their proposed ESP?

13 Q. No. I'm really focusing on the 1 percent
14 decrease that you've got in your next table, and what
15 I'm asking you is if they adopted your primary
16 recommendation, the Commission adopted your primary
17 recommendation, would the results be lower revenues
18 collected by AEP-Ohio than if they just kept their
19 current ESP prices as they would be at the end of the
20 year here?

21 A. Okay. So you're asking what would the
22 result be relative to that 8.27 current 2011 rate
23 that's shown in the table? Is that --

24 Q. Right.

Page 22

1 A. Okay. I would say that the answer is
2 they would be about the same, that at the time that
3 AEP filed its testimony, that 8.22 number shown in
4 the table corresponds to the wholesale market
5 conditions at that time. They've bounced around a
6 little bit between now and then. They're a little
7 bit higher right now, so I would say that it would be
8 pretty comparable to the 8.27 figure.

9 Q. So it is possible that the 8.22 number
10 could either go up or down by the time we actually
11 implemented the recommendation.

12 A. Yes. A little bit. I wouldn't expect it
13 to go up as much as 18 to 23 percent, however.

14 Q. Right. I was kind of focused on the 8.27
15 as the point of comparison.

16 A. Yes. Yes.

17 Q. So it could either be above or below that
18 by the time it's implemented; is that fair?

19 A. Yes. Modestly.

20 Q. Okay.

21 A. Because we said by the time we implement
22 this, we would be implementing this in the next
23 several months prior to January 2012, I would
24 presume.

Page 23

1 Q. Now, in your table on page 10 you don't
2 have a row that indicates what the price would be
3 under a MRO alternative, but my question is if -- not
4 "if."

5 If your recommendation were adopted, the
6 competitive solicitation of fixed price full
7 requirements products, is it possible that that would
8 result in lower rates than what the MRO alternative
9 would provide?

10 A. Yes.

11 Q. And that's also kind of quantified or
12 articulated by the 900 million to 1 billion dollar
13 increased revenue that an MRO alternative would
14 provide?

15 A. Yes, sir.

16 Q. Okay. What is your understanding about
17 how the Ohio -- in Ohio how an ESP is processed and
18 adopted? It's sort of a procedural question,
19 Mr. Schnitzer. How does it work?

20 A. Well, my understanding as a nonlawyer is
21 that the company makes an application such as it has
22 and then there are various conclusions the Commission
23 has to reach before approving it, and that the
24 Commission may approve, modify, or reject such

Page 24

1 proposed ESP plan.

2 Q. Okay. And do you know what happens if it
3 makes a modification?

4 A. I don't know whether they can mandate the
5 modification or whether the utility must accept the
6 modification; that, I don't know.

7 Q. Okay. And then if they reject the ESP,
8 if that's what they do, what happens then, if you
9 know?

10 A. I believe the MRO plan is what is
11 implemented under that circumstance.

12 Q. I have another couple, several questions,
13 Mr. Schnitzer, in the same area, and it's based on
14 the assumption that your primary recommendation is
15 adopted and then implemented by the PUCO for the
16 upcoming ESP for the 29 months, and my questions are
17 directed at what might happen at the end of this next
18 ESP under that scenario. Did you follow that?

19 A. I think so, but I'll know for sure when
20 you ask the question.

21 Q. Okay. So the Commission adopts your
22 recommendation, we go through the competitive
23 solicitation of fixed price full requirements
24 products to satisfy the SSO for the 29-month ESP, and

Page 25

1 then we get to the end of the 29-month ESP and the
2 company would then propose another ESP, or it could.
3 I guess the question is could it then propose the
4 ESP? And I assume that you would agree that there
5 would be something that would take place after the
6 end of the current -- this next ESP.

7 A. Yes.

8 Q. And in your view would the procurement of
9 the SSO supply for the next ESP, excuse me, the next
10 ESP have to be or only -- would it have to be through
11 the competitive solicitation for the fixed price full
12 requirements products?

13 MR. KUTIK: Objection to the extent it
14 calls for a legal conclusion. Go ahead.

15 Q. And I'm not asking you to provide a legal
16 conclusion. I'm just trying to probe what your kind
17 of, if you think through it, what you think might be
18 happening the next -- during the next, the third ESP.

19 A. Well, from a policy perspective I would
20 suggest that what would happen would be a
21 continuation of the full requirements competitively
22 procured SSO service, you know, perhaps on a
23 staggered or so-called laddered basis, you know, to
24 go to market on more than one occasion to serve the

Page 26

1 load, but that would be my policy preference.

2 Q. Would your -- in your view, would it be
3 potentially appropriate to go back to the same kind
4 of sourcing of SSO power that currently occurs in
5 that third ESP?

6 MR. KUTIK: I object.

7 A. From a policy perspective, no.

8 Q. Okay. So from a policy perspective you
9 think once we go down the road to a competitive
10 solicitation of fixed price full requirements
11 products, we ought to stay on that road.

12 A. Yes. Stated slightly differently, my
13 reasons for preferring it now would continue to be
14 valid reasons for preferring it then.

15 Q. If in the third ESP the companies applied
16 for authority to implement an ESP along the lines of
17 the current ESP, do you have any thoughts about how
18 they would source the generation supply in that
19 scenario?

20 A. I'm sorry. You're going to need to help
21 me out on what you mean by sort of like the current
22 proposed ESP.

23 Q. Well --

24 A. Like in what respects?

Page 27

1 Q. Like in the sense that it's not a -- it's
2 not based on a competitive solicitation of fixed
3 price full requirements products.

4 A. Does it have an extensive collection of
5 bypassable and nonbypassable riders?

6 Q. Yes. Similar to the current proposal.

7 A. From a policy perspective I would be much
8 inclined to favor the competitive model compared to
9 the one you just described.

10 Q. Okay. Under your policy preference and
11 pursuant to your recommendation, your primary
12 recommendation, if it were to be adopted, do you have
13 a view as to what would happen to the generation
14 assets that the Ohio AEP companies currently own or
15 control?

16 A. Well, again, I don't have a view of a
17 legal matter, but consistent with that model from a
18 policy perspective would be those generators would be
19 free to participate in the PJM wholesale markets and
20 to -- it's a benefit of whatever revenues resulted
21 from that participation.

22 Q. And so would you -- from your policy
23 perspective would you recommend that they be
24 structurally separated from the electric distribution

Page 28

1 utilities?

2 MR. KUTIK: Objection.

3 A. From a policy perspective that would, I
4 think, be desirable. I don't know that it's
5 essential, but it would be desirable.

6 Q. And then, again, if they didn't
7 structurally separate, what would they do with the
8 assets while they were procuring the generation
9 supplies through the competitive solicitation of
10 fixed price full requirements products?

11 MR. KUTIK: Objection. Asked and
12 answered.

13 THE WITNESS: I guess I go ahead and
14 answer that, right?

15 MR. KUTIK: Yes. Unless I instruct you
16 not to answer, go ahead.

17 A. Yes, they would participate in the
18 wholesale markets including as a bidder in properly
19 structured SSO solicitations.

20 Q. Including the solicitation for the
21 resources for their own SSO?

22 A. Yes. Properly structured. Actually, I
23 don't see far on the AEP-Ohio generation bidding into
24 that.

Page 29

1 Q. If you could turn to page 10 of your
2 testimony. At some point on page 10 I think you note
3 that if your primary recommendation is adopted, by
4 that I mean this competitive solicitation, it could
5 completely mitigate the proposed total average rate
6 increase proposed by -- which you believe would be
7 the result of the ESP or could even result in a total
8 rate decrease.

9 A. Yes. That's lines 7 through 9.

10 Q. What is the difference between those two
11 results? And I guess my question is, is that the
12 difference between being in -- the low case being the
13 result and the high case being the result, or are
14 they actually the same?

15 A. No. That sentence says it could -- it
16 goes back to our earlier discussion, it could produce
17 the rate increase to approximately zero or it could
18 also result in a slight rate decrease.

19 Q. What would be the factors that would
20 cause it to be either zero or slightly more or
21 slightly less?

22 A. As we talked about a few moments ago, the
23 wholesale market --

24 Q. Okay.

Page 30

1 A. -- conditions at the time the
2 solicitation or the solicitations were implemented.

3 Q. At the bottom of page 10, Mr. Schnitzer,
4 you indicate at the first subpart to that item 2 --

5 A. Yes, the alternative recommendation.

6 Q. Yes. That first subpart there starting
7 on line 16 says that "Before allowing recovery," I
8 assume we're talking about generation related
9 investment costs here or generation related costs,
10 but "Before allowing recovery through a cost based
11 rider, subject any otherwise eligible significant
12 investment in generation, whether new, retrofit, or
13 environmental control, to an open and transparent
14 market test." Do you see that?

15 A. I do.

16 Q. Is that test only applied, in your view,
17 in the case of a nonbypassable rider, or would it
18 apply in the case of bypassable riders also?

19 MR. KUTIK: Objection.

20 A. It would apply in both cases.

21 Q. And why would it apply in the case of the
22 bypassable riders?

23 A. Well, for at least two reasons. First,
24 from a regulatory policy perspective, as I discuss

Page 31

1 later in the testimony, the inclusion of costs in
2 rates, which is what's happening in a cost based
3 rider, you know, is subject to -- only prudently
4 included costs are eligible for recovery in
5 cost-based rates, so this would be no different. And
6 so on that basis, as I discuss at some length later
7 in the testimony, this market test would be
8 appropriate.

9 Secondly, the mere fact that a rider is
10 labeled "bypassable" does not mean that it's actually
11 bypassable depending on the structure of other
12 elements of the ESP such as capacity costs for CRES
13 suppliers, other riders, switching restrictions. And
14 the like. So the mere labeling of a rider as
15 "bypassable" by itself even absent that overarching
16 policy concern would not be sufficient.

17 Q. If it really truly were bypassable, in
18 other words didn't have whatever deficiency it is
19 that you have in mind, if it were truly bypassable,
20 then the test should be applied in any event, or not,
21 if it's bypassable?

22 A. Well, again, you know, the label
23 "bypassable" doesn't do much for me so I'm not sure
24 what you're asking me.

Page 32

1 Q. Well, I was just asking you to conceive
2 of a truly bypassable rider, whatever the label, and
3 I'm just testing to see whether or not that makes a
4 difference in your view of whether the test applies?

5 MR. KUTIK: Objection. Asked and
6 answered. Go ahead.

7 A. Well, as I said, there were these two
8 independent bases. If you take away one, then
9 there's just one, but there is just one.

10 Q. And the one is the prudence element of
11 it?

12 A. Yes. It's just the regulatory policy of
13 what is permissible to include in a cost-based rate.

14 Q. Okay. And then would the test simply be
15 a prudence review in that event if it was a
16 bypassable, truly bypassable rate?

17 A. Well, as I discuss again later in the
18 testimony, in this category the best, the most
19 important aspect of prudence is what I refer to as
20 decisional prudence. Is the decision to contract
21 with this generator or to retrofit this generator
22 prudent relative to other alternatives including
23 market purchases.

24 So that is exactly the prudence that

Page 33

1 we're interested in testing here is is this a prudent
2 investment compared to buying from the market and so
3 that's exactly -- this is a prudence test is my
4 point.

5 Q. Okay. So if I understand it correctly,
6 then, if we were -- currently the companies have an
7 environmental investment carrying cost rider, right?

8 A. Yes.

9 Q. And if it were to continue on in the
10 current form, would it be your opinion that it should
11 be -- any costs recovered through that rider should
12 be subjected to the decisional prudence test that you
13 described?

14 A. Yes.

15 Q. Also on page 10 you indicate above there
16 that a competitive solicitation model is the
17 prevalent form of default service procurement in
18 other restructured jurisdictions. Do you see that?

19 A. I do.

20 Q. Can you list for me what those other
21 restructured jurisdictions are? I know you give a
22 list on page 124, and I suppose my question is are
23 there any others?

24 A. Well, page 124 is, I think, citing

Page 34

1 practices and states that Ms. Thomas says that she
2 reviewed.

3 Q. Okay.

4 A. To which I would add I think Maine,
5 Massachusetts, as is implicit there Ohio. I'm trying
6 to think if there are -- Connecticut I believe,
7 although I'm not totally up to speed on what they're
8 doing, and Rhode Island. So adding at least those
9 jurisdictions.

10 Q. Okay. And in all of those jurisdictions
11 does the electric distribution utility typically not
12 own its generation? Excuse me. Strike that.

13 In those jurisdictions does the electric
14 distribution utility typically not own generation
15 assets?

16 A. I think in the main -- and I'm not sure
17 that there is, there are any exceptions, but
18 certainly in the main those electric distribution
19 companies don't own generation themselves and there
20 may or may not be a corporate affiliate that owns
21 some generation and participates in those
22 procurements.

23 Q. But putting Ohio aside, I'm not sure if
24 that was in your list or not --

Page 35

1 A. Yes.

2 Q. -- but putting Ohio aside, are there any
3 of those other jurisdictions, as you're sitting here
4 today, where the distribution utility does own
5 generation?

6 A. There are a few instances in which there
7 are legacy contracts with IPPs or QFs that I'm aware
8 of, but not beyond that, to my recollection.

9 Q. Okay. Do you know whether any other
10 jurisdiction has a statute that permits the
11 establishment of a standard service offer in the
12 manner that Ohio's ESP statute permits?

13 A. I don't know one way or the other.

14 Q. Okay. In your testimony, Mr. Schnitzer,
15 you at various points, I think, mention, you know,
16 potential subsidy issues; is that fair?

17 A. In the context of subsidies for
18 AEP-Ohio's generation?

19 Q. I think that's where I remember seeing
20 it, yes.

21 A. Yes. In that context, yes.

22 Q. Is it your view that subsidies, and I'm
23 not just talking about that subsidy, but just in
24 general, subsidies are inconsistent with the optimal

Page 36

1 performance of a competitive market?

2 A. I'm debating. I don't think I need to
3 ask you to define your terms there. I would say that
4 there are -- subsidies that relate to generation can
5 have an impact on wholesale markets. The particular
6 subsidies at issue here are, in my view, quite
7 significant.

8 Q. So can you say, can you tell me whether
9 or not, in general, you think that subsidies are, you
10 know, not compatible with the optimal performance of
11 a competitive market?

12 A. Yeah, I think that's a pretty strong
13 test.

14 Q. Okay.

15 A. I don't think I could agree with that as
16 a categorical matter.

17 Q. Okay. But is it your view that shopping
18 customers should not provide subsidies to nonshopping
19 customers?

20 A. I don't know that I've expressed a view
21 on that here in this testimony. Is there
22 something -- are you asking me that question apart
23 from my testimony or you've got a part of my
24 testimony in mind?

Page 37

1 Q. No. This is more of a general nature. I
2 don't have a particular part of your testimony in
3 mind.

4 A. And, I'm sorry, so your question is do I
5 think it's appropriate for shopping customers to
6 subsidize nonshopping customers?

7 Q. Right. I assume that you think that that
8 would not be appropriate, but yes, that's the
9 question.

10 A. Yeah. No, that certainly wouldn't be my
11 preference. It would certainly be -- by its nature
12 there would only be a fairly limited opportunity for
13 that to take place or shopping customers wouldn't be
14 shopping customers.

15 Q. And I don't know if you regard this as a
16 subsidy or not, Mr. Schnitzer, specifically, but in
17 your view the electric distribution utility shouldn't
18 recover generation costs from shopping customers,
19 right?

20 A. Yes. Putting aside transition costs or
21 stranded costs or whatever in the transition to
22 competition in the collapse of what were once
23 generation costs, I certainly believe that the
24 transition to competition can properly acknowledge

Page 38

1 those, but subject to whatever statutory framework is
2 in place. So I just -- I don't want to -- I can't
3 answer your question yes without excluding that
4 category of costs.

5 Q. Okay. Well, let's exclude that category
6 of costs and then the answer I take it is yes. If
7 that were to happen, that is that the EDU is
8 recovering generation costs from shopping customers,
9 that you would regard that as a subsidy to the EDU.

10 MR. KUTIK: I'll object.

11 A. Yeah, there are -- it would depend on how
12 that was being done. There are what I would call
13 competitively neutral mechanisms to accommodate a
14 delivery company undertaking what you just described.

15 Q. Okay. Do you believe that CRES providers
16 should not receive subsidies either from the EDU or
17 other nonshopping customers?

18 A. As a general matter, yes.

19 Q. Could you turn to page 40 and also on to
20 41. There's a sentence at the bottom of page 40 that
21 carries on over to the top of page 41 and it says,
22 you say "As market prices increase, the difference
23 between market prices and fuel costs tend to increase
24 as does the generation output from the plants."

Page 39

1 And I apologize if I was reading that
2 back to you before you had a chance to turn to it,
3 but --

4 A. No, I'm with you.

5 Q. Okay. Does that -- well, strike that.

6 Would you say that, as a result of that
7 observation, that market prices tend to be more --
8 tend to be more volatile than fuel prices?

9 A. And are you specifically asking me about
10 coal prices or --

11 Q. Well, just whatever the context is that
12 you have reference to in your sentence where you
13 indicate that the difference between market and --
14 market prices and fuel costs, that difference tends
15 to increase as the market price increases.

16 A. Let me put it this way, market prices
17 need not be perfectly correlated with the fuel cost
18 increases of a particular generator, that's certainly
19 true.

20 Q. Right. And are you -- is that your
21 answer or are you -- I'm sorry, I don't mean to
22 interrupt you.

23 A. Maybe I need you to remind me of what the
24 question is and I can give you an answer.

Page 40

1 Q. Okay. My question is based on the
2 observation that you make in that sentence that as
3 market prices increase, that the differential between
4 market and -- market prices and fuel costs is itself
5 increasing, that differential is increasing, which I
6 take to mean is accelerating without relative to, you
7 know, to the fuel cost increase, would you agree or
8 do you agree that that indicates that market prices
9 are volatile, are more volatile than fuel costs?

10 A. Well, I think with respect to -- and I
11 apologize, I'm going to have to be a little bit more
12 precise. With respect to coal costs, market prices
13 can rise, can rise more quickly than coal prices and
14 they can fall more quickly than coal prices; that's
15 certainly true.

16 Q. Okay. Is the same true for natural gas
17 prices?

18 A. That would be a much harder statement
19 to -- the statement about natural gas prices in the
20 AEP market would be a much harder thing for me to try
21 and construct.

22 Q. Okay. Is it possible for you to
23 construct it in some other context?

24 A. Well, in markets, in wholesale markets

Page 41

1 where gas is on the margin a predominant amount of
2 the time and where there's not a huge gas combined
3 cycle overhang in the market, under those conditions
4 I could make a parallel statement that market prices
5 could rise faster than natural gas prices and also
6 fall more quickly than natural gas prices, but that
7 that would be the limited circumstance under which I
8 could make that statement.

9 Q. Okay. And then I did have a question
10 about the last phrase in that sentence, the "as does
11 the generation output from the plants" phrase.

12 A. Yes.

13 Q. And I'm not sure I understand it so let
14 me ask you just several questions. What happens, in
15 your view, when market prices increase to generation
16 output? I assume that it increases; is that right?

17 A. Well, yes. It obviously depends on
18 individual generators and the circumstance, but the
19 phenomenon that is being discussed here or described
20 here is that when market prices or if market prices
21 increase during shoulder or off-peak hours and the
22 fuel costs of a generation unit don't increase as
23 much, then that unit will be dispatched more in that
24 time period than it otherwise would have been. I

Page 42

1 mean, for instance, this will make no difference to a
2 nuclear plant, all right? That's not what this
3 statement is referring to.

4 Q. Okay. You mentioned that the
5 relationship, I think you mentioned that the
6 relationship exists in the context of a shoulder
7 period? Did I misunderstand you?

8 A. I was giving the example of shoulder or
9 off-peak periods when in the base case, if you will,
10 the plant was all running -- was already running at
11 full capacity, you know, on-peak, et cetera, but it
12 had underutilized output potential in either the
13 shoulder or the off-peak.

14 Q. Okay. Let me give you a scenario and ask
15 you to comment on it. If the price goes from -- the
16 market price goes from 80 to 81 dollars per
17 megawatt-hour, would you expect more generation
18 output at \$81 than what occurred at \$80 per
19 megawatt-hour?

20 MR. KUTIK: Objection.

21 A. Well, in aggregate in whatever -- in the
22 Eastern Interconnect or whatever we're talking about,
23 unless demand for electricity went up, the answer is
24 no. But at a more micro level is it possible that

Page 43

1 some generators run more and other generators run
2 less when that happens? Yes, that could happen.

3 Q. This is sort of, I don't know, a
4 throw-away question in part, but is your point about
5 generation output, how it's linked to market price
6 increases, is it really necessary to the reasoning
7 and conclusion that you have there at pages 40 to 41?

8 A. It's not the primary mover. The bigger
9 mover is the margin, if you will, above incremental
10 costs that can be earned in the wholesale market.
11 But there can be a quantity effect as well when one
12 looks at different periods. So it's certainly not
13 the principal driver of that conclusion, but it's not
14 a -- it's not a footnote of no significance either.

15 Q. Okay. At page 21, if you could turn to
16 page 21 --

17 A. Geez, I thought we were only going
18 forward.

19 Q. I told you at the beginning I thought I
20 was pretty much going straight through, but I should
21 have apologized if there were some backtracking.

22 A. That's all right.

23 Q. It's generally from front to back.

24 At page 21 you have a table which depicts

Page 44

1 several versions of the proposed ESP, and actually,
2 Mr. Schnitzer, I would ask you if you -- you may be
3 doing fine, but I need to take a quick break. Is
4 that okay?

5 A. That's fine with me. How long do you
6 want to say, five minutes? Ten minutes?

7 Q. Yeah, five minutes or thereabouts would
8 be fine for me.

9 A. All right. Fine.

10 (Recess taken.)

11 MR. CONWAY: I'm back.

12 THE WITNESS: I'm here as well.

13 MR. CONWAY: Is everyone else present?

14 MR. KUTIK: Yeah, I'm ready to go, Dan.

15 Q. All right. Mr. Schnitzer, at page 21
16 there's a table which depicts several versions of the
17 proposed ESP.

18 A. Yes.

19 Q. And in that, in each of the second,
20 third, and fourth columns, those three views, you
21 list the phase-in rider as a separate element?

22 A. Yes.

23 Q. And is that because the phase-in rider is
24 separate from the company's proposed ESP?

Page 45

1 MR. KUTIK: Objection.

2 Q. Well, let me rephrase the question. Why
3 do you have the phase-in rider listed separately?

4 A. Well, I'm really not sure I understand,
5 you know, the question.

6 Q. Well, for example, you have the proposed
7 ESP price at the top of the column of elements,
8 right?

9 A. Yes.

10 Q. And from that you offset the transition
11 adjustment; is that right? To get a total generation
12 price.

13 A. Yes. You just have to make sure,
14 depending on what set of numbers we're looking at,
15 that we're apples to apples and there's a certain
16 amount that, for some purposes, is classified as
17 transmission but is actually ancillary services and
18 so in other comparisons it's part of the generation
19 rate. So that's just to make sure that's only in
20 there once and not twice.

21 Q. Okay. I'm sorry, I said "transition." I
22 meant to say "transmission."

23 And then you developed a total generation
24 rate. And then below that is a current transmission

Page 46

1 and current distribution rates, right?

2 A. Yes.

3 Q. And then it has listed separately POLR as
4 well as the phase-in rider, correct?

5 A. Yes.

6 Q. And the question is, the phase-in rider
7 is listed separately because it's not part of the
8 generation price?

9 A. That's my understanding. That's right.

10 Q. All right.

11 A. But it is part of the ESP proposal, it's
12 my understanding.

13 Q. And I notice that the POLR charge also is
14 separately stated, and the reason for that is what?

15 A. Also that it's not in any of the other
16 categories and it's my understanding that that's part
17 of the company's proposal.

18 Q. Okay. At page, actually we are going
19 backwards, at page 17 you have a chart entitled
20 "AEP-Ohio understates the proposed ESP price." Do
21 you see that?

22 A. I do.

23 Q. And you've offered several ways in which
24 you believe that AEP's calculation of the ESP price,

Page 47

1 the proposed ESP price, should be corrected; is that
2 right?

3 A. Yes.

4 Q. Without revealing any confidential
5 information if you can, starting first with the full
6 fuel item, can you explain how you made the
7 calculation that led to your full fuel value? And by
8 that I mean what are the inputs to the calculation,
9 and then what is the manner in which the calculation
10 you did occurred that let you develop the full fuel
11 number?

12 MR. KUTIK: Note my objection.

13 A. Well, I think, and I'm looking at the
14 confidential version here, but I think the column
15 headings and the footnotes are not confidential; is
16 that right? Just certain numbers are restricted?

17 Q. That's correct.

18 A. Yes. So I think if I can refer you to
19 footnote B, page 17, it's line 10 of my --

20 Q. Okay. To what extent is the information
21 that you've relied upon different than what AEP
22 information -- than the AEP information?

23 A. Well, it's -- the information I used is
24 the information in that interrogatory response which

Page 48

1 to my understanding was not relied on by Ms. Thomas
2 when she put together her analysis.

3 Q. And can you tell me what it is about that
4 information that you used that is different from what
5 Ms. Thomas used?

6 A. Ms. Thomas used the company's estimate of
7 2011 full fuel in her calculation, and that's the
8 number that shows higher up in the table in the
9 nonredacted portion of it, and what I used was the
10 company's forecast of what its fuel costs will be
11 during the ESP period, the proposed ESP period in
12 which, as I understand it, it proposes to be allowed
13 to recover on a true-up basis through a rider.

14 Q. Okay. And turning to the pool
15 termination or modification element --

16 A. Yes.

17 Q. -- could you, again, explain without
18 revealing any confidential information how you
19 developed the value in the High column for that item.

20 A. Well, we can start with footnote C. So
21 the calculation in the column you're asking about
22 assumes a termination or modification beginning
23 January 1, 2014, and then there's a set of
24 calculations described in the testimony which

Page 49

1 quantified the lost capacity revenue from affiliate
2 companies that, to my understanding, AEP-Ohio seeks
3 the right to recover through this rider.

4 Q. And the section of your testimony where
5 you describe how you made the calculation, is that at
6 pages 87 through 92?

7 A. Yes, sir.

8 Q. At the top of page 91, consistent with I
9 think what you had just mentioned, you assumed that
10 the agreement is modified so as to impact only the
11 last five months of the proposed ESP, the January
12 through May 2014 period?

13 A. Yes.

14 Q. And then you come up with the cost per
15 megawatt-hour for the rate impact over the current
16 proposed ESP period, correct?

17 A. Yes.

18 Q. And is it a simple weighting that you use
19 taking the total costs that you developed and
20 dividing by 29 and multiplying by 5?

21 A. I can check that if you'd like, but I
22 think it's millions of dollars divided by the SSO
23 terawatt-hours. Let me just see which denominator we
24 used. Hold on a minute, please.

Page 50

1 Q. Okay.

2 A. I'm just trying to check my -- yes, this
3 is a, if I understand it, it's a bypassable rider so
4 it would have been those millions of dollars, I
5 believe, divided by the SSO terawatt-hours over the
6 entire forecast. SSO terawatt-hours over the entire
7 period.

8 Q. Could you tell me again what the
9 numerator is that you used?

10 A. It would have been the millions of
11 dollars. I'll just point you to -- it's the 2014
12 estimate of lost capacity revenues.

13 Q. Is that an annual figure?

14 A. That is millions of dollars for the,
15 yeah, I think on mine it's page 90, line 3. I think
16 we prorate that. If you want, I can pull up the -- I
17 can refer to the workpaper if you want.

18 Q. Well, is the idea that you take the value
19 that's at line 4 there and you prorate it somehow?

20 A. Yeah. I'm not sure if we prorated the
21 megawatt-hour or whether we prorated the five months
22 worth of millions of dollars based on all the
23 terawatt-hours over the average period. I'm just not
24 recollecting which calculation approach was used

Page 51

1 here. It was one or the other.

2 Q. How much effort would it take to confirm
3 which one?

4 A. It would take me three or four minutes, I
5 hope only three or four minutes to find that
6 workpaper.

7 Q. Okay. Why don't we go ahead and try to
8 do that and then after -- see what happens within
9 five minutes.

10 A. All right.

11 MR. KUTIK: So why don't we do this, why
12 don't we go off the record, and when Mr. Schnitzer's
13 ready, we can go back on the record.

14 MR. CONWAY: Okay.
15 (Off the record.)

16 A. Okay. I can describe that calculation
17 more specifically.

18 Q. Okay.

19 A. Back on the record?

20 Q. We are back on the record. Please do
21 describe it.

22 A. So it is the figure shown on line 4.

23 Q. Line 4 of page?

24 A. Page 90, which is a firm --

Page 52

1 Q. I'm sorry, Mr. Schnitzer, you said that
2 it is a per megawatt-hour number?

3 A. That number which shows on line 4 of page
4 90, just so we get our unit, that is multiplied by
5 the ratio of SSO retained load terawatt-hours in the
6 first five months of 2014 divided by the sum of all
7 the terawatt-hours in '12, '13, and the first five
8 months of '14, and that product equals the number
9 which is shown in the table.

10 Q. Okay. Thank you.

11 And then if you could turn your attention
12 to the environmental investment carrying cost rider.

13 A. Back on 17?

14 Q. I'm sorry. Yes, back on 17. The
15 environmental investment carrying cost rider. And
16 the question I have there is similar which is how is
17 it calculated for the low and the high cases, and I
18 assume that there's some explanation later on in your
19 testimony.

20 A. Yes.

21 Q. Would it be at pages 64 through 73?

22 A. Yes.

23 Q. And can you point to me in your testimony
24 where the explanation of how the rate is actually or

Page 53

1 the rate element is actually calculated?

2 A. Well, the -- at least for starting that
3 conversation I'm looking at page 67 starting at line
4 12.

5 Q. Okay.

6 A. And that refers to a discovery response
7 from AEP which provided a annual forecast of cash
8 flows, environmental expenditures, excuse me,
9 consistent with the June 9, 2011, press release. And
10 so those were the starting data for the calculation.

11 Q. Okay.

12 A. And then if we flip over to page 72,
13 lines 1 and 2 --

14 Q. So there you get the low forecast of
15 annual costs?

16 A. That's correct. So that tells you that
17 that's what we -- we used the low portion of the
18 interrogatory request to take those annual
19 expenditures and translate them to revenue
20 requirements and costs in the rider.

21 Q. And then you do the same thing with the
22 high side and that's on line 5, or the results are
23 reported?

24 A. Well, not exactly the same thing. What

14 (Pages 50 to 53)

Page 54

1 the words there say is that the high case takes the
2 annual expenditures from the high case and
3 accelerates them into the ESP period, I believe. So
4 you will see, for instance, that the number on line 5
5 of page 72, the per megawatt-hour number there --

6 Q. Yes.

7 A. -- the 2,014 EICCR for the high case --

8 Q. Yes.

9 A. -- is higher than the number shown for
10 2014 on the high case in the graph on page 68. You
11 compare those two numbers and the difference is the
12 acceleration, that my high case accelerated cash
13 flows from later in that -- the forecast in later
14 years by AEP for this high case into the ESP period.

15 Q. And how -- I'm sorry.

16 A. That's where the high case comes from.

17 Q. I believe you said you did a translation
18 to getting aggregate costs of some sort to the per
19 megawatt-hour values?

20 A. Yes.

21 Q. And could you describe to me what that
22 translation involves?

23 A. Well, it was basically, if I can get to
24 the -- I don't know if you have Ms. Thomas's

Page 55

1 workpapers available to you, but she has a -- she has
2 a workpaper, Ohio Power Company Environmental
3 Carrying Costs Based on Current Environmental Rider
4 Methodology.

5 Q. Okay.

6 A. And that exhibit starts with an annual
7 environmental spend and then it has a series of
8 calculations which apply a charging factor to it,
9 employ a half year convention for the current year's
10 worth of expenditures for ratemaking purposes, and
11 then has a set of allocation factors and the like all
12 to get down to a dollars per megawatt-hour cost, and
13 this is her backup for the 90-cent figure which is
14 what she has in the ESP on an AEP-Ohio basis.

15 Q. And did you use the same method that she
16 used?

17 A. Exactly so.

18 Q. Okay. And then you end up with an
19 average per megawatt-hour value for the low case and
20 the high case, correct?

21 A. Yes.

22 Q. That are displayed on lines 8 and 9 of
23 page 72?

24 A. Let me get there. That is correct.

Page 56

1 Q. And how do you perform the translation
2 from the 2014 year end values for the low and the
3 high case?

4 A. There again, I'm going to, if you want
5 that level of detail, I'm going to have to go find
6 that workpaper which may take me a few minutes.

7 Q. Okay.

8 MR. KUTIK: "Okay" meaning you want him
9 to do it?

10 MR. CONWAY: Yes.

11 MR. KUTIK: All right. Let's go off the
12 record so he can find it.

13 (Off the record.)

14 A. Okay. I'm just pulling the workpapers
15 so, I'm sorry, your question is how did we get from
16 the annual numbers to the average number?

17 Q. Yes.

18 A. Okay. I'll see if I can find that
19 calculation.

20 Well, it looks like that will be in
21 another workpaper so bear with me.

22 Okay. I'm in the right workpaper. Bear
23 with me.

24 Q. Okay.

Page 57

1 A. I'm sorry. We need to be back on the
2 record now?

3 Q. Yes.

4 A. So if you have Exhibit LJT-2 in your mind
5 or handy --

6 Q. Yes.

7 A. -- you will see that Ms. Thomas in that
8 exhibit reports her numbers for 2012 and then also
9 for the 17-month period January 2013 to May 2014.

10 Q. Correct. Thank you.

11 A. That was a weighted average. Once we
12 have the annual EICCR numbers, we replicate the
13 methodology that she has used on LJT-2 for purposes
14 of calculating that weighted average. So we have to
15 calculate -- first we calculate the January 2000
16 [verbatim] to May 2014 weighted average, and then we
17 weight that using her weights with the 2012 number.
18 Do you need more detail than that?

19 Q. No, I think that's sufficient. Thank
20 you.

21 A. Okay.

22 Q. And then bear with me, I'd like to go
23 through the facilities closure cost rider
24 calculations also.

Page 58

1 A. Okay. Do you want me to start looking
2 for that workpaper?
3 Q. Well, I'm not sure you need it.
4 A. Okay.
5 Q. I suppose that's my question. If you
6 turn to page 79 --
7 A. Yes.
8 Q. -- you provide estimated closure costs of
9 both aggregate and per kilowatt in the table for --
10 A. Yes.
11 Q. -- the four units.
12 A. Yes.
13 Q. And in the footnote you provide certainly
14 some information regarding -- footnote 128, I
15 believe.
16 A. Yes.
17 Q. You provide some information regarding
18 the nature of the calculations.
19 A. Yes.
20 Q. And the question I have is what
21 information do I need besides what is on page 79 in
22 the footnote and in the table in order to develop the
23 value that you have on line 12?
24 A. Yeah, I think that is a workpaper

Page 59

1 question so hang on. I'll see if I can do a better
2 job of finding that one faster.
3 MR. KUTIK: Let's go off the record.
4 (Off the record.)
5 A. Okay. If we can go back on the record, I
6 have at least a partial answer, and if this is
7 sufficient, we'll see.
8 So from the table, the table there on
9 page 79, that second column or second to the right,
10 from those millions of dollars --
11 Q. Yes.
12 A. -- in combination with the details of the
13 footnote what that translates to is costs to be
14 recovered in calendar year 2012 and 2013, and we
15 calculate the annual millions of dollars and then
16 divide by the relevant megawatt-hours of each of
17 those two years, and then we do the valuing for 2000
18 and -- for the five months of 2014 under those
19 assumptions is zero, and so we do the weighting
20 average, the LJT weighted average, if you will,
21 calculation of the 2012 to 2013 dollars per
22 megawatt-hour numbers to get to the dollar 28.
23 Q. And do you use the same megawatt-hours as
24 Ms. Thomas uses to develop the value?

Page 60

1 A. Yes. And it, you know, as you know, she
2 uses and we use two sets of megawatt-hours depending
3 on whether it's a bypassable or nonbypassable rider,
4 but we use the same numbers in each of those cases as
5 she does. Does that make sense?
6 Q. Barely, but I'm sure it is sensible.
7 Is there any difference in which riders
8 that you regard as bypassable and the ones that she
9 regards as bypassable?
10 A. No, sir.
11 Q. Okay.
12 A. No, sir.
13 Q. Then it does make sense. Okay.
14 All right. Let me turn our attention to
15 the competitive benchmark price now, okay?
16 A. Okay. Is there a page you want to point
17 me to?
18 Q. Well, I'm going to ask you some questions
19 first about the capacity price, which I think is the
20 first item in that section. On my copy of your
21 testimony the competitive benchmark price discussion
22 and the detailed discussion begins on page 25.
23 A. Yes.
24 Q. My first question for you is with regard

Page 61

1 to your proposed capacity price which, as I
2 understand it, is \$2.36 per megawatt-hour instead of
3 the \$21.95 per megawatt-hour value that the companies
4 have proposed using. And I'm looking at page --
5 right now I'm looking at page 30.
6 A. Thank you. Yes, that's right.
7 Q. First question is regarding the basis for
8 the \$2.36 per megawatt-hour value that you recommend,
9 that is based upon RPM prices; is that correct?
10 A. Yes, it is.
11 Q. And can you describe for me how that 2.36
12 is calculated? I have in front of me the values,
13 \$110.04 for the '11-'12 planning year, \$16.46 for the
14 2012-'13 planning year, and \$27.73 for the 2013-2014
15 planning year, and it appears to me that there's a
16 weighted average, or I believe that there's a
17 weighted average of those values that end up being
18 the basis for your recommendation. And so, question,
19 is that correct?
20 A. Well, the translation, if you will, from
21 an RPM price in dollars per megawatt-day to the
22 average ESP price of 2.36 per megawatt-hour, that's
23 the calculation you're asking about?
24 Q. Yes.

Page 62

1 A. Yes. That, again, that's either a Thomas
2 exhibit or a workpaper which shows how she translates
3 dollars per megawatt-day of capacity prices to
4 dollars per megawatt-hour over the ESP period.

5 Q. Did you use the same method?

6 A. We did.

7 Q. Okay.

8 A. And I can look to find that. I'm not
9 seeing it right offhand.

10 Q. Why don't we pass on that for now. I'll
11 accept that as a --

12 A. Okay.

13 Q. -- as the method and if Ms. Thomas --
14 since she's already done it and your effort was to do
15 it in the same fashion, I'm confident we can
16 reconstruct it then.

17 A. Okay.

18 Q. In any event, at the bottom the premised
19 word is the RPM prices that I quoted; is that right?
20 For your value.

21 A. Yeah. I mean, I -- I'm not looking at
22 the exact numbers myself, I'm happy to accept, you
23 know, your numbers because I think they're culled
24 out, you know, somewhere on page 32, I think.

Page 63

1 Q. I was looking at page 29, actually.

2 A. Twenty-nine? Yes. Thank you. That's
3 where they are, thank you. Yes.

4 Q. And the reason that you used those RPM
5 prices, is it because the Commission has already set
6 those capacity prices for AEP-Ohio during the period
7 that will be covered by the proposed ESP?

8 A. That's one reason, yes.

9 Q. What's the -- is there another reason?

10 A. Yes.

11 Q. And what is that?

12 A. Well, I think also as a policy matter
13 it's the right -- it's the right number to use or the
14 right value to use, you know, unless there's some, if
15 you will, policy entitlement to recovery -- for AEP
16 recovery of its generation revenue requirements and a
17 legal opportunity under the statute to do that, and
18 I'm not expert -- I am not familiar enough with the
19 back and forth of the Ohio statute and the rest to
20 know, but absent some countervailing reason to why
21 they are idle to this, to above market cost recovery,
22 as a policy matter the RPM number is the right
23 number.

24 Q. And it is possible in some fashion that

Page 64

1 prices for capacity during the next ESP period that
2 AEP-Ohio would charge CRES providers will be higher
3 than what you assumed?

4 A. Well, if there is both a legal and policy
5 rationale for and above market capacity recovery,
6 then in this section of my testimony I go on to
7 describe the absolute maximum from a policy
8 perspective that would be appropriate under that
9 circumstance.

10 Q. And that's the maximum above market
11 capacity rate?

12 A. Yes, sir.

13 Q. Okay. Are you aware, I think you are
14 aware that there's a proceeding, I think I saw in
15 your testimony a reference that there's a proceeding
16 going on at the PUCO right now which is considering
17 what the appropriate capacity price should be for
18 AEP-Ohio to charge CRES providers. You are aware of
19 that, right?

20 A. I am.

21 Q. So if the PUCO were to conclude that a
22 value or values higher than what you have included in
23 your calculation, which you've assumed for your
24 calculation, are appropriate, then that could cause

Page 65

1 the capacity price for the benchmark to increase,
2 right?

3 A. Under that hypothetical circumstance,
4 yes.

5 Q. Okay. And going back and focusing on the
6 RPM prices --

7 A. Yes.

8 Q. -- are there any upward adjustments to
9 the RPM prices that are possible or that must be made
10 in order to make them accurate as far as what gets
11 billed to CRES providers during the proposed ESP?

12 MR. KUTIK: Objection.

13 A. Well, my understanding is under the RPM
14 rules, as distinct from what the Commission might
15 order, but under the RPM rules there can be some
16 minor adjustments to the actual assigned costs based
17 on differences between forecasts of procured capacity
18 and actual need, but I don't know that those
19 translate to the Ohio Commission's determination of
20 the appropriate price.

21 Q. Well, actually, I switched gears there.
22 I was no longer focused on the possibility that the
23 capacity price could change as a result of the Ohio
24 Commission proceeding, and I was reverting back to

Page 66

1 simply the RPM pricing mechanism and ways in which it
2 might, through its normal operation, lead to higher
3 values than what you have in your assumptions.

4 A. For this period.

5 Q. For this period.

6 A. Yes. My understanding is that, you know,
7 there can be some adjustments either way depending on
8 whether PJM has over- or underprocured relative to
9 the load that actually shows up, but Mr. Shanker is
10 probably more familiar with those details than I am.

11 Q. What is the mechanism through which that
12 kind of an adjustment would occur?

13 A. I think it's, well, again, I would just
14 defer to Dr. Shanker, but it's an adjustment to the
15 price per megawatt that is charged to load-serving
16 entities.

17 Q. And, if you know, how was that
18 determined? What's the process?

19 A. That I'm afraid you'll have to ask
20 Dr. Shanker.

21 Q. Okay. Are there any elements of the RPM
22 price that you're aware of that you haven't included
23 in your assumed prices?

24 A. No, sir.

Page 67

1 Q. You may have already answered this
2 question, and if you have, I apologize, bear with me,
3 please. You say, I believe, in your testimony that
4 the \$2.36 per megawatt-hour value is an average of
5 the three RPM prices that straddle the proposed ESP
6 period. I think that's what you explained.

7 A. Yes.

8 Q. And then did you already explain how the
9 averaging takes place by reference to the method that
10 Ms. Thomas used or was there some other method that I
11 missed?

12 A. No; there is a workpaper exhibit where
13 she lays out the algorithm for translating dollars
14 per megawatt-day into dollars per megawatt-hour and
15 then I think -- I'm trying to think where it shows
16 up, but I believe we would have replicated her
17 approach for translating that into the competitive
18 benchmark average price.

19 Q. Okay. If the capacity charge does
20 increase beyond the levels that your \$2.36 per
21 megawatt-hour figure is based upon, would such an
22 increase have an impact on any of the other elements
23 of the competitive benchmark? Would there be any
24 flow-through effects of such a change?

Page 68

1 A. As I state in my testimony, Ms. Thomas's
2 algorithm or approach does have those linkages which
3 we have accepted for these purposes. So our
4 calculations include those kind of ripple effects, if
5 you will, that are in her model.

6 Q. As far as you know which of the other
7 elements do depend upon the capacity price value?

8 A. Well, they can depend both on the
9 capacity price and the energy price, so I'm going to
10 have to, without checking the workpaper I'm going to
11 have to give you those categories that can be
12 affected by either. I'm not sure if there are,
13 without looking at the workpaper, whether there are
14 some that are only limited to one versus the other.
15 I just need to find a table here where --

16 Q. Look at page 15.

17 A. Yeah, that's the one I'm looking for.
18 That's right.

19 So we made corrections to the inputs in
20 two categories, the simple swap and the capacity, and
21 the rest of the effects, if you will, are the ripple
22 or the flow-through effects of making those changes
23 using her model.

24 Q. Okay. Let me ask you one clarifying

Page 69

1 question, for me, which is is that applicable to the
2 transaction risk adder or is it subject to yet a
3 different basis for change?

4 A. No, sir. We did not -- we did not have
5 any other basis to change. I believe the first
6 specification of the transaction risk adder is as a
7 percent rather than absolute, and so when you change
8 the absolute level of some of the constituent pieces,
9 then that also changes the transaction risk adder in
10 absolute terms because it's a percentage calculation.

11 Q. Does the percentage link to one or the
12 other or both of the two drivers, the simple swap and
13 the capacity?

14 A. I would have to check, but I think it's
15 actually linked to the aggregate of the other
16 categories or the aggregate of several categories,
17 but I'm not certain. I can check that if you want.

18 Q. That's okay. If you did it the same way
19 that Ms. Thomas did it, then that's good enough for
20 me.

21 A. Yes, that's what we did.

22 Q. Okay. Just to kind of complete the loop
23 for me, the capacity price element does not affect
24 the simple swap value and, similarly, the simple swap

Page 70

1 value doesn't affect the capacity value; is that
2 right?

3 A. That is correct.

4 Q. They're independent values?

5 A. Yes, sir.

6 Q. Now, I apologize for this in advance, I
7 think I understood what you did to the capacity value
8 to get it and change the difference between it and
9 the company's value that Ms. Thomas supports, and if
10 you've already answered this, okay, tell me it's in
11 Ms. Thomas's testimony, but could you tell me again
12 or could you just tell me how the load following and
13 shaping adjustment, the losses adjustment, and the
14 transaction risk adder adjustments end up being
15 modified in your presentation compared to what the
16 company's proposed?

17 A. Yes. Ms. Thomas's model for calculating
18 the competitive benchmark price includes formulas
19 where the load following adjustment is a function, I
20 think, of the simple swap rather than capacity, but
21 I'd have to check that one, and where losses in the
22 transaction risk adder are also a function of at
23 least one or both of those categories and possibly
24 some others.

Page 71

1 So when we changed the two inputs, we
2 just changed the two inputs I mentioned, the simple
3 swap and the capacity, and then we, if you will,
4 recalculated Ms. Thomas's model with every other
5 input left unchanged.

6 Q. Okay.

7 A. And the result is what's shown on the
8 table on page 15.

9 Q. Okay. Thank you.

10 Then let me turn to the simple swap
11 element and, again, if you've already explained this,
12 bear with me, but how did you calculate the \$39.35
13 value for the simple swap that you recommend?

14 A. We used the same methodology as
15 Ms. Thomas except that instead of her first five
16 trading days of the first week of each quarter we
17 used the comparable number basically on the date that
18 AEP filed its case, January 27th, 2011.

19 Q. Okay.

20 A. As the input.

21 Q. That may answer one of my questions. How
22 did you pick the -- you picked the January 27th,
23 2011, date because that's the date of the filing?

24 A. That was the then contemporaneous

Page 72

1 wholesale market price.

2 Q. And so aside from that, that you used one
3 date and she uses an average of, and if I'm
4 misstating this, I apologize, she used an average of
5 five days from the first week of every quarter in
6 2010?

7 A. First five trading days of each.

8 Q. First five trading days of each quarter
9 in 2010?

10 A. Yes, sir.

11 Q. Aside from that, the method for
12 developing the end value that you have of \$39.35 is
13 the same as the method that she used.

14 A. Yes. And just one quibble if I might
15 with the preface of your question which is that we
16 used the single contemporaneous data point.

17 Q. Okay. And then if you turn to page 48 --

18 A. That's a big jump.

19 Q. It is, although you discuss -- you have a
20 discussion there in the Q and A at the top about the
21 forward price levels for energy as of July 18th,
22 2011, just before you filed your testimony.

23 A. Yes.

24 Q. So it is related.

Page 73

1 A. Yes. I shouldn't get too hopeful, huh?

2 Q. Okay. So you note that the forward
3 energy prices had increased since the time of the
4 company's filing as of July 18th, correct?

5 A. Yes.

6 Q. You also state that if you updated your
7 analyses to reflect the forward price levels as of
8 July 18th, 2011, your corrected proposed ESP price
9 would still be 6 to 9 dollars per megawatt-hour
10 higher than the alternative MRO price, correct?

11 A. Yes.

12 Q. Did you calculate the simple swap value
13 that could be, you know, that would be comparable to
14 the simple swap value that you included in the
15 competitive benchmark recommendation using the July
16 18th, 2011, energy forward pricing levels?

17 A. If we -- I forget what page that table
18 was on that you had me on. Sixteen?

19 Q. Fifteen.

20 A. Fifteen. You're asking me if I
21 calculated, did I calculate the analogous number to
22 the 39.35, is that your question?

23 Q. That's a better way to state it, yes.

24 Thank you.

Page 74

1 A. Yes, we did.

2 Q. Okay. And what was it?

3 A. 43.23.

4 Q. Did you calculate the competitive
5 benchmark price with that sensitivity, that
6 variation, in other words, flowing through those to
7 the other dependent elements the impact of that
8 simple swap value?

9 A. We did as part of the calculation that's
10 referenced at line 9 and 10. I don't know if I have
11 that handy, but yes, we would have done that
12 calculation to get to the 6 to 9 dollar figure that
13 you referenced.

14 Q. And what, if you recall, what would that

15 number have been in comparison to the \$54.28 number?

16 A. I don't recall. I could try and check if
17 you'd like. I'm not sure if we have a workpaper on
18 that or not, but I -- the simple answer is "I don't
19 recall."

20 Q. Unless you recall to a level that you
21 would regard as being accurate, I don't need you to,
22 you know, guess, but if you wouldn't mind trying to
23 find, if you can do it in five minutes. And I guess
24 the other question I'd have before letting you loose

Page 75

1 to do that, would I be able to calculate what that
2 number is that you have developed by just using the
3 Thomas approach but plugging in that value, the 43.23
4 instead of the 39.35?

5 A. The answer to that question is yes.

6 Q. Okay. Well then I don't -- well, if you
7 wouldn't mind, do you think you can do it in five
8 minutes?

9 A. Yeah, well, I can take a quick look and
10 see if -- I just can't recall among the long list of
11 workpapers here whether we've got that one, and if we
12 do, I can open it up, but if we don't, then I won't
13 be able to get that for you this afternoon.

14 Q. If you don't mind taking a shot at it,
15 I'd appreciate it.

16 A. Okay.

17 MR. KUTIK: Let's go off the record.

18 MR. CONWAY: Okay.

19 (Recess taken.)

20 MR. CONWAY: Back on the record.

21 Q. Mr. Schnitzer, what did you find?

22 A. Yes, I think you were asking me whether
23 we had done the calculation similar to the table on
24 page 15 but instead of a 39.35 input for the simple

Page 76

1 swap at the top of that middle column, to put in the
2 43.23 figure from July 18; is that correct?

3 Q. Yes.

4 A. We had done that calculation, and it is
5 in my workpapers, and the number at the bottom of
6 54.28 would change to 58.77 under that assumption.

7 Q. So it goes up by \$4.49 or some other
8 value?

9 A. Whatever that math is. But, yes, there
10 is a little ripple effect from the increase in -- the
11 just under \$4 increase in the simple swap.

12 Q. Mr. Schnitzer, the reason you picked July
13 18th, which by my research was a Monday, as the
14 date to review for purposes of the point that you
15 make in your testimony on page 48, is that because it
16 was close to when you filed your testimony?

17 A. That's right. My view is that the right
18 number to use at any point in time is the
19 contemporaneous market price, and so that was the
20 contemporaneous market price at the time I filed my
21 testimony.

22 Q. Do you think it is reasonable when
23 performing this calculation, the simple swap
24 calculation, would it be reasonable to use an average

Page 77

1 of some sort of more than one day's worth of data?

2 A. I think there are multiple ways that one
3 could define and sample a contemporaneous market
4 price, but an average over the previous year would
5 not be one of them.

6 Q. But some averaging process using more
7 than one day's worth of data is not something you're
8 adverse to?

9 A. No, as long as all the days are fairly
10 contemporaneous. You know, within a very small
11 window around the date you're interested in.

12 Q. Did you look at the forward energy prices
13 for the days that are straddling the July 18th or
14 up to the July 18th date?

15 A. I have.

16 Q. And how did they vary?

17 A. Well, July 18th happened to be a high
18 watermark relative to the days right around it.

19 Q. Okay.

20 A. So the days right around it and since are
21 lower.

22 Q. I do have a question about the maximum
23 above market capacity rate recommendation, I don't
24 know if it's a recommendation you make, but your

20 (Pages 74 to 77)

Page 78

1 discussion of that. At page 48 at lines 18 to 20, so
2 let's see, page 48. And I'm thinking maybe I got the
3 wrong page number.

4 A. Yes, I think so.

5 Q. Maybe it's 35. Sorry about that. I
6 thought we were at page 48.

7 A. There is a discussion of the maximum
8 above market rate that begins on page 35.

9 Q. I'll strike the question. I think we've
10 already addressed this, actually.

11 I have a couple questions about the
12 phase-in recovery rider.

13 A. Okay.

14 Q. Are you familiar with that proposal of
15 the companies?

16 A. Only at a very high level. As you know,
17 I don't perform any analysis or any adjustment to
18 that.

19 Q. Well, this may be quick then. Do you
20 know what the companies are proposing to recover
21 through that rider?

22 A. I'm just trying to refresh my
23 recollection here. Again, I'm not certain I've got
24 the name right, but is that the one that is the

Page 79

1 company's position is sort of zero sum between one
2 class and another? I'm trying to look for the
3 description --

4 Q. I'm not sure.

5 A. -- of that rider. I probably have it
6 right here somewhere.

7 Q. Well, while you're looking so am I. I
8 didn't have a page number reference and I'm looking
9 myself.

10 A. That's the deferred fuel. I'm sorry,
11 phase-in recovery rider?

12 Q. Yes.

13 A. Deferred fuel balance?

14 Q. Yes.

15 A. Yes, that's page 61 of my testimony.
16 It's just a description of what that is.

17 Q. So to the extent you have an
18 understanding, and if you don't, just please say so,
19 is it your understanding that that rider -- through
20 that rider the companies propose to recover deferred
21 fuel costs?

22 A. Yes.

23 Q. And are you familiar with the
24 Commission's orders in the companies' first ESP case

Page 80

1 that authorized the deferrals? Are you familiar with
2 the portions of the Commission's orders in the first
3 ESP case that authorized the deferrals?

4 A. I'm not familiar with the orders per se,
5 but I have an understanding that there was a cap on
6 fuel recovery in those plans, but an authorization to
7 hold for future recovery any amounts incurred above
8 the cap.

9 Q. Can you agree or disagree that the
10 proposal that the companies have made, this phase-in
11 recovery rider proposal, is consistent with what the
12 PUCO authorized in the first ESP case for the
13 companies?

14 A. I don't take a position one way or the
15 other on this particular rider. It's not a change
16 that I've -- I've not made any changes to this as
17 part of my analysis.

18 Q. I have a couple questions about
19 retirements now, plant retirements.

20 A. Yes.

21 Q. At page 79 --

22 A. Yes.

23 Q. -- you list the four units again that
24 retirements for which you took into account or the

Page 81

1 proposed retirements for which you took into account
2 in coming up with your adjustment for the facilities
3 closure cost rider. Do you see that chart on page
4 79?

5 A. I do.

6 Q. The Philip Sporn unit 5 is identified as
7 one of the retirement candidates; is that right?

8 A. It's on the list of those that the
9 company plans to retire with a date of 2010 I guess
10 was the latest information we have.

11 Q. That's actually what I was going to focus
12 on first, which is the 2010 potential year-end
13 retirement that you have identified or listed or
14 described in your chart.

15 A. Yes.

16 Q. And then there's also the 58.7 million is
17 the estimated closure cost for the Sporn 5 unit.

18 A. Yes.

19 Q. Do you know whether Sporn 5 was actually
20 retired in 2010?

21 A. I do not.

22 Q. Do you know whether it's been retired in
23 2011?

24 A. I don't.

Page 82

1 Q. Okay.

2 A. I'm just using the companies' provided
3 estimates of what those retirement costs are.

4 Q. Do you know whether -- well, the
5 companies, is it your understanding that they applied
6 for authority from the Commission to recover the
7 retirement costs of the Sporn unit 5 separately from
8 the ESP?

9 A. Yes.

10 Q. And do you know whether the Commission
11 has ruled upon that request?

12 A. That, I do not know.

13 Q. Do you know whether the estimated closure
14 costs have been incurred or whether recovery of them
15 has begun?

16 A. I do not.

17 Q. If the plant, regardless of whether it's
18 been retired, if the closure costs, the estimated
19 closure costs have not been -- they have not begun to
20 be recovered, is it possible that the -- is it
21 possible that the \$58.7 million estimated closure
22 cost has changed since it was estimated in the form
23 that now is reflected in your testimony?

24 A. Well, I think, as I state on page 78,

Page 83

1 explicitly in the filing that was made there was
2 an -- it did not include future closure costs for
3 which it might also seek recovery, so at least on
4 that basis that could certainly be the case.

5 Q. And it could be the case -- I'm sorry.
6 Is it possible that the \$58.7 million number has
7 declined from that level?

8 A. It may be. I'm not aware that there was
9 any subsequent modification to that number at least
10 that we were able to find.

11 Q. Okay. Do you know whether the
12 \$58.7 million number included any offset for net
13 salvage?

14 A. Well, I could check, but I would have to
15 check to answer that question.

16 Q. That's okay. Thank you.

17 Could you turn to page 91. At this part
18 of your testimony I believe you're talking about the
19 pool termination rider; is that right?

20 A. Yes.

21 Q. And if you look at footnote 152 --

22 A. I see that.

23 Q. -- I think you state in part there that
24 it is unclear whether, whether and how AEP-Ohio would

Page 84

1 credit additional net energy sales revenues that
2 would not exist absent the pool termination or
3 modification. Do you see that?

4 A. I do.

5 Q. Did you assume in your analysis that AEP
6 would not offset pool termination costs with the net
7 energy sales revenues that you referred to?

8 A. Well, in the high case, which is the only
9 case where this quantification is performed, it
10 assumed that there is no offset of the amount with
11 increased energy revenues.

12 Q. Okay. When you performed the comparison
13 of the ESP, as you adjusted the proposed ESP, to the
14 MRO, as you adjusted the proposed -- or, the MRO side
15 of that balance, did you -- first question, when you
16 were doing that comparison, of course you had
17 incorporated your assessment of the estimate of costs
18 for the -- attributable to the environmental
19 investment carrying cost rider to the ESP, right?

20 A. Correct.

21 Q. And did you also add the estimated costs
22 of the EICCR to the MRO price to which, you know, to
23 which you compared the ESP price ultimately?

24 MR. KUTIK: May I have the question read,

Page 85

1 please.

2 (Record read.)

3 A. May I refer you to Exhibit LJT-2 as I
4 give this response.

5 Q. Sure.

6 A. So the short answer is yes, but I just
7 want to make sure that we're clear here. So as you
8 can see from LJT-2, the MRO pricing which you
9 referred to in your question has two components, what
10 Ms. Thomas refers to as the generation service price
11 and the competitive benchmark or expected bid price.

12 And so we did adjust -- I did adjust the
13 generation service price component of the MRO for the
14 environmental expenditures with, you know, similar
15 to, in an identical manner to on the ESP side with
16 two exceptions, the first is that the current rider
17 does not include O&M costs associated with these
18 environmental investments, so while those were
19 included in the ESP quantification, the O&M was not
20 included in the generation service price analog of
21 that rider and, secondly, the current rider is not on
22 a forecast test year basis whereas the proposed rider
23 is, and so there was a difference in the calculation
24 to account for that.

22 (Pages 82 to 85)

Page 86

1 But the same capital expenditure pattern
2 was put through the version of the rider in both
3 cases.

4 Q. And if I were to ask you the same
5 question with regard to the expected -- your expected
6 facilities closure costs that you added to the ESP
7 side of the comparison, what would your response be
8 as far as how you incorporated that into the, or
9 didn't incorporate it into the MRO side of that
10 comparison?

11 A. I did not incorporate it into the
12 generation service price component of the MRO.

13 Q. Okay. And what about the carbon capture
14 and sequestration costs that were reflected on the
15 ESP side of the balance, were they reflected on the
16 MRO side of the balance?

17 A. No. The only three categories that were
18 included on both sides were the environmental, the
19 fuel, and the POLR.

20 Q. And with regard to the fuel, to what
21 extent did you vary how you included it on the ESP
22 side when you included it on the MRO side?

23 A. There was no difference. It was
24 identical.

Page 87

1 Q. Okay. And for the elements that you
2 included on the ESP side but not on the MRO side of
3 the balance, why was that that you didn't include
4 certain of them?

5 A. Those -- the adjustments that were made
6 on the generation service price side were consistent
7 with my understanding of what the statute provides
8 for as known and measurable changes to the generation
9 service price under the MRO alternative.

10 Q. Okay. Thank you.

11 And, again, those included the fuel
12 adjustment -- or the fuel cost changes, the
13 environmental investment carrying cost changes
14 modified in the way you described, and then also the,
15 the third one was the POLR charge, correct?

16 A. That is correct. And those are just --
17 that is discussed at some point in the testimony, but
18 that's the sum of what was -- the changes that were
19 made on the generation service side.

20 Q. I have -- I'm just about finished, I
21 think.

22 A. And, I'm sorry, if this helps you, the
23 changes that were made to the generation service
24 price or corrections to the generation service price

Page 88

1 are summarized on Exhibit MMS-2.

2 Q. Thank you.

3 Are there any corrections or
4 modifications to your testimony that you have
5 identified that should be made that you will be
6 making?

7 A. No, sir.

8 Q. I noticed in your testimony at the outset
9 that you list several cases from Ohio where you have
10 testified on behalf of, I believe it's FirstEnergy
11 Solutions, Constellation, and Duke Energy; is that
12 right?

13 A. Yes to the first two. I don't know
14 that -- I don't know that I've testified on -- oh,
15 Duke, that was a gas case a long time ago. Yes.

16 Q. It was a '95 rate case maybe.

17 A. Yeah. It was on the natural gas side is
18 my recollection.

19 Q. Okay. Thank you.

20 And I assume that's all the Ohio
21 proceedings in which you appeared as a witness?

22 A. Yes, sir.

23 Q. And have you appeared on behalf of any
24 FirstEnergy affiliate in other jurisdictions?

Page 89

1 A. I have.

2 Q. Can you identify them for me?

3 A. Well, at least two that come to mind are
4 Pennsylvania and Maryland.

5 Q. Do you remember when they took place?

6 A. Well, the most -- the two most recent
7 were in connection with the merger, the recent
8 merger, so they would have been in whatever time
9 frame that was. I'm sorry. In the state proceedings
10 related to the AEP -- excuse me, to the FE-Allegheny
11 merger.

12 Q. And have you testified in Pennsylvania
13 and Maryland on behalf of FE with regard to any case
14 similar to the one that we're currently in in Ohio
15 for -- that the AEP-Ohio companies have initiated? A
16 standard service offer case.

17 A. I'm trying to recollect. I don't think
18 so, but I would have to check.

19 Q. Have you participated in any proceedings
20 that, outside of Ohio, involving the competitive bid
21 processes whether for FirstEnergy affiliates or
22 others?

23 A. Yes.

24 Q. And can you -- approximately how many

Page 90

1 such proceedings have you testified in?

2 A. One in Illinois, several in Pennsylvania,
3 several in Maryland, and there may be one or two
4 others, but those are the ones that I can recall
5 offhand.

6 Q. And do you recall what the time period
7 is? How far back would you have -- over how many
8 years have you done that?

9 A. Well, let's see. The Illinois proceeding
10 would have been in the 2005 or 2006 time frame. The
11 Maryland proceedings I believe are more recent,
12 somewhere between then and now. And likewise the
13 Pennsylvania proceeding I think would have been
14 somewhere between 2005 and prior to the merger cases
15 I referred to a moment ago.

16 MR. CONWAY: Dave, could we take about a
17 two-minute break and let me see whether I have
18 anything else that I missed?

19 MR. KUTIK: Certainly. Go off the
20 record?

21 MR. CONWAY: Yeah.
22 (Recess taken.)

23 MR. CONWAY: Mr. Schnitzer, that's all I
24 have. Thank you very much.

Page 91

1 THE WITNESS: Thank you.

2 MR. KUTIK: Does anyone else on the phone
3 have any questions?

4 MR. MARGARD: No, no questions, thank
5 you.

6 MR. OLKER: No questions here for me,
7 Dave.

8 MR. KUTIK: Maria, we will read the
9 transcript.

10 (The deposition concluded at 5:01 p.m.)

11 ---
12
13
14
15
16
17
18
19
20
21
22
23
24

Page 92

1 State of Ohio :

: SS:

2 County of _____ :

3 I, Michael M. Schnitzer, do hereby certify
4 that I have read the foregoing transcript of my
5 deposition given on Friday, August 26, 2011; that
6 together with the correction page attached hereto
7 noting changes in form or substance, if any, it is
8 true and correct.

9 _____
10 Michael M. Schnitzer

11 I do hereby certify that the foregoing
12 transcript of the deposition of Michael M. Schnitzer
13 was submitted to the witness for reading and signing;
14 that after he had stated to the undersigned Notary
15 Public that he had read and examined his deposition,
16 he signed the same in my presence on the _____ day
17 of _____, 2011.

18 _____
19 Notary Public

20 My commission expires _____
21 ---
22
23
24

Page 93

1 CERTIFICATE

2 State of Ohio :

: SS:

3 County of Franklin :

4 I, Maria DiPaolo Jones, Notary Public in and
5 for the State of Ohio, duly commissioned and
6 qualified, certify that the within named Michael M.
7 Schnitzer was by me duly sworn to testify to the
8 whole truth in the cause aforesaid; that the
9 testimony was taken down by me in stenotypy in the
10 presence of said witness, afterwards transcribed upon
11 a computer; that the foregoing is a true and correct
12 transcript of the testimony given by said witness
13 taken at the time and place in the foregoing caption
14 specified and completed without adjournment.

15 I certify that I am not a relative, employee,
16 or attorney of any of the parties hereto, or of any
17 attorney or counsel employed by the parties, or
18 financially interested in the action.

19 IN WITNESS WHEREOF, I have hereunto set my
20 hand and affixed my seal of office at Columbus, Ohio,
21 on this 29th day of August, 2011.

22 _____
23 Maria DiPaolo Jones, Registered
24 Diplomate Reporter, CRR and
Notary Public in and for the
State of Ohio.

My commission expires June 19, 2016.
(MDJ-3886)
