

BEFORE THE PUBLIC UTILITIES COMMISSION OF OHIO

- - -

In the Matter of the :  
Commission Review of the :  
Capacity Charges of Ohio : Case No. 10-2929-EL-UNC  
Power Company and Columbus:  
Southern Power Company. :

- - -

PROCEEDINGS

before Ms. Greta See and Ms. Sarah Parrot, Attorney  
Examiners, and Commissioner Andre Porter, at the  
Public Utilities Commission of Ohio, 180 East Broad  
Street, Room 11-A, Columbus, Ohio, called at 8:30  
a.m. on Tuesday, May 15, 2012.

- - -

VOLUME XII - REBUTTAL TESTIMONY

- - -

ARMSTRONG & OKEY, INC.  
222 East Town Street, Second Floor  
Columbus, Ohio 43215-5201  
(614) 224-9481 - (800) 223-9481  
Fax - (614) 224-5724

- - -

## 1 APPEARANCES:

2 American Electric Power Service Corporation  
3 By Mr. Steven T. Nourse  
4 Mr. Matthew J. Satterwhite  
5 and Mr. Yazen Alami  
6 One Riverside Plaza, 29th Floor  
7 Columbus, Ohio 43215

8 Porter, Wright, Morris & Arthur, LLP  
9 By Mr. Daniel R. Conway  
10 and Ms. Christen Moore  
11 41 South High Street  
12 Columbus, Ohio 43215

13 On behalf of the Ohio Power Company and  
14 Columbus Southern Power Company.

15 Jones Day  
16 By Mr. David A. Kutik  
17 and Ms. Allison Haedt  
18 North Point  
19 901 Lakeside Avenue  
20 Cleveland, Ohio 44114

21 Calfee, Halter & Griswold LLP  
22 By Mr. James F. Lang  
23 and Ms. Laura McBride  
24 1400 Keybank Center  
25 800 Superior Avenue  
Cleveland, Ohio 44114

Calfee, Halter & Griswold, LLP  
By Mr. N. Trevor Alexander  
Fifth Third Center  
21 East State Street  
Columbus, Ohio 43215

FirstEnergy Service Company  
By Mr. Mark A. Hayden  
76 South Main Street  
Akron, Ohio 44308

On behalf of the FirstEnergy Service  
Corporation.

## 1 APPEARANCES: (Continued)

2 McNeese, Wallace & Nurick, LLC  
3 By Mr. Frank Darr  
4 and Mr. Samuel Randazzo  
5 Fifth Third Center, Suite 1700  
6 21 East State Street  
7 Columbus, Ohio 43215-4228

8 On behalf of the Industrial Energy Users  
9 of Ohio.

10 Whitt Sturtevant, LLC  
11 By Ms. Melissa L. Thompson  
12 and Mr. Andrew John Campbell  
13 PNC Plaza, Suite 2020  
14 155 East Broad Street  
15 Columbus, Ohio 43215

16 On behalf of the Interstate Gas Supply,  
17 Inc.

18 Duke Energy Ohio, Inc.  
19 By Ms. Jeanne W. Kingery  
20 155 East Broad Street, 21st Floor  
21 Columbus, Ohio 43215

22 Duke Energy Ohio, Inc.  
23 By Ms. Amy B. Spiller  
24 139 East Fourth Street  
25 Cincinnati, Ohio 45202

On behalf of the Duke Retail Sales and  
Duke Energy Commercial Asset Management.

Vorys, Sater, Seymour & Pease, LLP  
By Mr. M. Howard Petricoff  
and Ms. Lija Kaleps-Clark  
52 East Gay Street  
P.O. Box 1008  
Columbus, Ohio 43216-1008

On behalf of the Exelon Generation  
Company, Constellation NewEnergy, Inc.,  
Constellation Energy Commodities Group,  
Inc., Retail Energy Supply Association,  
Direct Energy Services, and Direct Energy  
Business, LLC.

## 1 APPEARANCES: (Continued)

2 Office of the Ohio Consumers' Counsel  
3 By Ms. Kyle L. Kern  
4 and Ms. Melissa Yost  
5 Assistant Consumers' Counsel  
6 10 West Broad Street, Suite 1800  
7 Columbus, Ohio 43215

8 On behalf of the Residential Customers of  
9 Ohio Power Company and Columbus Southern  
10 Power Company.

11 Taft, Stettinius & Hollister  
12 By Mr. Zachary D. Kravitz  
13 and Mr. Mark Yurick  
14 65 East State Street, Suite 1000  
15 Columbus, Ohio 43215

16 On behalf of the Kroger Company.

17 Boehm, Kurtz & Lowry  
18 By Mr. Michael L. Kurtz  
19 and Ms. Jody M. Kyler  
20 36 East Seventh Street, Suite 1510  
21 Cincinnati, Ohio 45202

22 On behalf of the Ohio Energy Group, Inc.

23 Bricker & Eckler, LLP  
24 By Mr. Thomas O'Brien  
25 100 South Third Street  
Columbus, Ohio 43215-4291

Ohio Hospital Association  
By Mr. Richard L. Sites  
155 East Broad Street, 15th Floor  
Columbus, Ohio 43215

On behalf of the Ohio Hospital  
Association.

Bricker & Eckler, LLP  
By Ms. Lisa Gatchell McAlister  
100 South Third Street  
Columbus, Ohio 43215-4291

On behalf of Ohio Manufacturers

## 1 APPEARANCES: (Continued)

2 Bailey Cavalieri  
3 By Mr. Dane Stinson  
4 10 West Broad Street  
5 Columbus, Ohio 43215

6 On behalf of the Ohio Association of  
7 School Business Officials, Ohio School  
8 Boards Association, Buckeye Association  
9 of School Administrators, and Ohio  
10 Schools Council.

11 Bell & Royer Co., LPA  
12 By Mr. Barth E. Royer  
13 33 South Grant Avenue  
14 Columbus, Ohio 43215

15 On behalf of Dominion Retail, Inc.

16 Ice Miller, LLP  
17 By Mr. Christopher L. Miller  
18 Mr. Asim Haque  
19 Mr. Gregory J. Dunn  
20 250 West Street  
21 Columbus, Ohio 43215

22 On behalf of the Association of  
23 Independent Colleges and Universities of  
24 Ohio and the City of Grove City.

25 Exelon Business Services Company, LLC  
By Ms. Sandy Grace  
101 Constitution Avenue, NW  
Suite 400 East  
Washington, DC 20001

Eimer, Stahl, Klevorn & Solberg, LLP  
By Mr. David M. Stahl  
224 South Michigan Avenue, Suite 1100  
Chicago, Illinois 60604

On behalf of Exelon Generation Company,  
LLC.

## 1 APPEARANCES (Continued):

2           Kegler, Brown, Hill & Ritter  
3           By Mr. Roger P. Sugarman  
4           Capitol Square, Suite 1800  
5           65 East State Street  
6           Columbus, Ohio 43215

7                   On behalf of National Federation of  
8                   Independent Business, Ohio Chapter.

9           Mike DeWine, Ohio Attorney General  
10          By William Wright, Section Chief  
11          Public Utilities Section  
12          Mr. Werner L. Margard, III  
13          Mr. Steven Beeler  
14          Mr. John Jones  
15          Assistant Attorneys General  
16          180 East Broad Street, 6th Floor  
17          Columbus, Ohio 43215-3793

18                   On behalf of the staff of the Public  
19                   Utilities Commission of Ohio.

20                   - - -

## INDEX

Witness	Page
Philip J. Nelson	
Cross-Examination by Mr. Lang	2588
Cross-Examination by Mr. Jones	2637
Redirect Examination by Mr. Conway	2669
Eugene T. Meehan	
Direct Examination by Mr. Conway	2678
Cross-Examination by Mr. Lang	2684
Cross-Examination by Mr. Darr	2695
Cross-Examination by Mr. Kurtz	2734
Cross-Examination by Ms. Yost	2746
Cross-Examination by Mr. Jones	2754
Redirect Examination by Mr. Conway	2776

- - -

AEP Ohio Exhibit	Identified	Admitted
143 - Rebuttal Testimony of P. Nelson	2489	2671
144 - Prefiled Rebuttal Testimony of E. Meehan	2679	2780

- - -

FES Exhibit	Identified	Admitted
126 - Long-Term Forecast Report 2011 Electric	2589	2678

- - -

IEU Exhibit	Identified	Admitted
121 - AEP 1Q12 Earnings Release Presentation 4-20-12	2501	2677
122 - Direct Testimony of P. Nelson in Case No. 11-346-EL-SSO, et al.	2534	2677
123 - Excerpts of KDP-3 and KDP-4	2538	2677

## INDEX (Continued)

- - -

## IEU Exhibit Identified Admitted

124 - 11-4-11 memo from  
Mr. Baird and Mr. Pennino 2558 2677

125 - Competitive Electricity  
Markets: The Benefits for  
Customers and the  
Environment, February 2008 2719 2678

126 - Plant Capacity 2731 2782

- - -

## Staff Exhibit Identified Admitted

110 - Daily ICE Swap Prices at  
the AD Hub, Trade Dates  
1/4/2010 - 5/7/2012 2768 2782

- - -



1 Tuesday Morning Session,

2 May 15, 2012.

3 - - -

4 EXAMINER PARROT: All right. Let's go on  
5 the record and begin with brief appearances of the  
6 parties, names only, beginning with the company.

7 MR. NOURSE: Thank you, your Honor. On  
8 behalf of Ohio Power Company, Steven T. Nourse and  
9 Daniel R. Conway.

10 MS. KALEPS-CLARK: Thank you, your Honor.  
11 On behalf RESA, Exelon, Constellation, and Direct  
12 Energy, Lija Kaleps-Clark and M. Howard Petricoff.

13 MR. HAYDEN: Good morning, your Honor.  
14 On behalf of FES, Mark Hayden and Jim Lang.

15 MS. KINGERY: Good morning, your Honors,  
16 on behalf of Duke Energy Retail and Duke Energy  
17 Commercial Asset Management, Jeanne Kingery and Amy  
18 Spiller.

19 MR. RANDAZZO: Good morning, everybody.  
20 Sam Randazzo and Frank Darr on behalf of the  
21 Industrial Energy Users of Ohio.

22 MR. KURTZ: For the Ohio Energy Group,  
23 Mike Kurtz.

24 MR. YURICK: On behalf of the Kroger  
25 Company, Mark Yurick.

1 MS. THOMPSON: On behalf of Interstate  
2 Gas Supply, Inc., Mark Whitt, Andrew Campbell,  
3 Melissa Thompson, Vince Parisi, and Matt White.

4 MS. KERN: On behalf of the Ohio  
5 Consumers' Counsel, Kyle Kern and Melissa Yost.

6 MR. JONES: Good morning, your Honors.  
7 On behalf of the staff, Steve Beeler and John Jones.

8 EXAMINER PARROT: All right. Before we  
9 get started again with cross-examination, Mr. Nelson,  
10 I remind you you are still under oath, and I believe  
11 we left off with FES.

12 Mr. Lang.

13 MR. LANG: Thank you, your Honor.

14 - - -

15 PHILIP J. NELSON  
16 being previously duly sworn, as prescribed by law,  
17 was examined and testified as follows.

18 CROSS-EXAMINATION

19 By Mr. Lang:

20 Q. Good morning, Mr. Nelson.

21 A. Good morning.

22 Q. In different portions of the rebuttal  
23 testimony there is discussion about the different  
24 generating units, in particular Mitchell and Amos,  
25 and I would actually just like to start with an

1 exhibit.

2 MR. LANG: If we could hand this out.

3 MR. HAYDEN: Your Honors, may I approach?

4 EXAMINER PARROT: You may.

5 MR. LANG: Your Honor, I would like to  
6 have this marked as FES Exhibit 126.

7 EXAMINER PARROT: So marked.

8 (EXHIBIT MARKED FOR IDENTIFICATION.)

9 Q. You'll see when it gets to you,  
10 Mr. Nelson, this is the cover page of the long-term  
11 forecast report for Columbus Southern and Ohio Power,  
12 and then two pages from that long-term forecast  
13 report.

14 And, Mr. Nelson, you have recently  
15 reviewed the generating units for -- of AEP Ohio for  
16 purposes of your corporate separation testimony in  
17 the modified ESP proceeding; is that correct?

18 A. Yes.

19 Q. So I just wanted -- I think, hopefully,  
20 we can fairly efficiently move through this, just  
21 want to make sure that everybody's clear as to the  
22 generating units we are talking about in this case.

23 And this -- this long-term forecast  
24 report that's been marked as FES Exhibit No. 126 on  
25 the -- it's actually page 1 -- 136 and 137 of 147.

1 This shows the Columbus Southern and Ohio Power  
2 generating units plus their -- and their location and  
3 their capacity; is that correct?

4 A. It looks to be correct.

5 Q. And one of the issues that has come up at  
6 different times in the case and I believe is  
7 mentioned in rebuttal is the Amos plant, and this  
8 lists under Ohio Power the Amos 3 unit. Do you see  
9 that?

10 A. Yes.

11 Q. And the Amos 3 unit has capacity of  
12 857 megawatts?

13 A. That's correct.

14 Q. And the -- with regard to Amos, is it  
15 correct there's three units? Amos 1 and 2 are owned  
16 by Appalachian Power?

17 A. Yes.

18 Q. And then what's shown here as the  
19 857 megawatts for Amos 3, that's actually two-thirds  
20 of that unit and the other one-third is owned by  
21 Appalachian Power?

22 A. That's correct.

23 Q. The -- also the -- this shows the  
24 Mitchell plants under Ohio Power, Mitchell 1 and 2?  
25 Do you see that?

1 A. Yes.

2 Q. And they have a total capacity of 1,560  
3 megawatts.

4 A. That looks correct.

5 Q. Now, in your testimony in the modified  
6 ESP case regarding the transfer of Mitchell and Amos  
7 3 as parts of the corporate separation, the reason  
8 that's being done, the transfer to Appalachian Power  
9 and Kentucky Power, is that it balances the assets of  
10 the pool members after pool termination; is that  
11 fair?

12 A. That's a fair statement, yes.

13 Q. And you -- as you state in your modified  
14 ESP testimony, megawatts associated with AEP Ohio's  
15 share of Amos 3 and the Mitchell units are equivalent  
16 to the amount of megawatts sold in the last two years  
17 to other members of the AEP pool.

18 MR. CONWAY: I'm sorry.

19 A. Yes, that's correct.

20 MR. CONWAY: Never mind.

21 A. I was going to add, roughly equivalent.  
22 It's going to vary year to year.

23 Q. Now, there's three Cardinal units shown  
24 on here. Is it correct that the Cardinal 1 unit is  
25 actually owned by Ohio Power; the Cardinal 2 and

1 Cardinal 3 units are not?

2 A. That's correct.

3 Q. Cardinal 2 and Cardinal 3, are they owned  
4 by Buckeye Power; is that correct?

5 A. That's correct.

6 Q. Okay. The -- so those -- the Cardinal 2  
7 and the Cardinal 3 units would not be in the Ohio  
8 Power rate base or the gross plant in service; is  
9 that correct?

10 A. They would not be on the books of Ohio  
11 Power Company.

12 Q. Okay. Also on the Columbus Southern  
13 side, it shows the Lawrenceburg units 1 through 6,  
14 that's a similar situation, they are not in rate base  
15 gross plant in service for AEP Ohio; is that correct?

16 A. They are a purchased power contract to  
17 AEP Ohio. Now, you said similar situation, not quite  
18 similar in that A&G is an affiliate of AEP, and they  
19 own the plants themselves, you know, power sale back  
20 to AEP Ohio. The Cardinal 2 and 3 units are owned by  
21 Buckeye Power which is not an affiliate.

22 Q. Okay. So in both cases for Cardinal 2  
23 and 3 and for the Lawrenceburg units, they are not --  
24 they are not part -- they are not on the books of  
25 Ohio Power.

1           A.    That's correct.

2           Q.    And the -- let's see, it's Conesville 3  
3   that is shown here.

4           A.    One thing before we --

5           Q.    Sure, go ahead.

6           A.    I want to mention when we start to talk  
7   about Cardinal 2 and 3, there is more to the story in  
8   the long-term forecast report, but we can come back  
9   to that.

10          Q.    Okay.  Conesville 3 that is shown on here  
11   is -- Conesville 3 is scheduled to be retired by the  
12   end of this year, December 31, 2012?

13          A.    Yes.

14          Q.    And also as part of corporate separation,  
15   Wheeling Power's load is planned to be transferred  
16   from Ohio Power to Appalachian Power; is that right?

17          A.    Yeah, that's the plan.  The plan is  
18   actually a merger of Wheeling Power with Appalachian  
19   Power and the termination of the AEP Ohio contract  
20   with Wheeling Power.

21          Q.    Okay.  So Wheeling Power's load being  
22   moved to Appalachian Power will actually be done  
23   after the merger of Wheeling Power into Appalachian?

24          A.    Yes.

25          Q.    Also on here the -- the other units that

1 have been discussed in this case, we also have the  
2 six Darby units and the four Waterford units. And  
3 those -- those are both natural gas units that were  
4 acquired by -- well, as shown on here, acquired by  
5 Columbus Southern after 2001; is that correct?

6 A. That's correct. One question for you, is  
7 this the complete schedules from the long-term  
8 forecast report or are any footnotes missing or  
9 anything? I'm used to seeing a lot of footnotes with  
10 these type of reports.

11 Q. Yeah. This is -- this was everything --  
12 this was everything from these pages.

13 A. Okay.

14 Q. No footnotes.

15 A. Sometimes it has, for example, when the  
16 units are acquired and so forth.

17 Q. Yeah. Now, in your testimony starting on  
18 page 5 of your testimony at line 2, you refer to  
19 Dr. Lesser's what you call the stranded cost plant  
20 exclusion. Now, you are aware that he excluded the  
21 Waterford and the Darby plants from his analysis  
22 because they were acquired after January 1, 2001.

23 A. I recall that's his rationale.

24 Q. And because his analysis reflects a  
25 pre-2001 embedded generation cost estimate; is that



1 fair?

2 A. I think that's what he attempted to do.  
3 I don't know if I would -- I haven't necessarily  
4 checked that theme, but I think that's what he  
5 represents it is.

6 Q. Now, with regard to the -- when we look  
7 at, for example, the gross plant in service that  
8 Dr. Pearce used in his testimony, that would reflect  
9 putting Waterford and Darby to the side, all other  
10 AEP Ohio-owned plants were acquired prior to 2001.

11 A. That sounds correct to me, but.

12 Q. Thanks. And the -- with regard to the  
13 plants listed in the FERC Form 1 that we were looking  
14 at, we had identified the -- we had identified Darby  
15 and Waterford as being acquired post-2001, and to  
16 your understanding, there is no other AEP Ohio-owned  
17 plants that -- on this list that were acquired after  
18 2001?

19 MR. CONWAY: Mr. Lang, let me interject.  
20 You refer to the FERC Form 1, are you referring to  
21 the long-term forecast report, Exhibit 126, or are  
22 you referring to some other document?

23 MR. LANG: Thank you, Mr. Conway. I  
24 think I did misstate that.

25 Q. With regard to FES Exhibit 126, the

1 long-term forecast report that we just looked at.

2 A. Yeah, as far as this list is concerned,  
3 that would be true.

4 Q. Now, as part of the PJM RPM, when the  
5 independent marketer calculates the avoided cost rate  
6 per generating unit but does not include the full  
7 embedded cost of the unit, does that mean that the  
8 unit will be retired?

9 A. Where are you in my rebuttal testimony?

10 Q. Actually this is a question related to  
11 your analysis of Dr. Lesser so I'm -- I'm asking you  
12 this particular question with regard --

13 A. My analysis about Dr. Lesser was pretty  
14 short and sweet and related to the fact he's  
15 inconsistent in what he did. He took out all these  
16 plant costs, most of them. I think he left -- on  
17 page 5 of my testimony --

18 Q. Mr. Nelson, can you answer my question?

19 MR. CONWAY: Your Honor.

20 MR. LANG: Could I have my question read  
21 back.

22 MR. CONWAY: Your Honor, I object to the  
23 interference with the answer to the question. He  
24 should let the witness answer in the fashion he set  
25 out to do it. If he has got a problem with it, he

1 can speak up later, but I object to interrupting the  
2 witness.

3 EXAMINER PARROT: Mr. Nelson, please  
4 complete your answer and then we'll see where we are  
5 at in terms of whether he has responded to your  
6 question.

7 MR. LANG: Because he is not addressing  
8 in any way my question, which is why I interrupted.

9 EXAMINER PARROT: We'll see if he gets  
10 there, and then we'll deal with it.

11 A. What I was addressing was the fact that  
12 in my question the analysis of Dr. Lesser -- my  
13 analysis of Dr. Lesser for the purpose of this  
14 testimony was around his treatment of the pool  
15 capacity payments and whether he was consistent with  
16 excluding of, you know, close to 900 million of plant  
17 in-service and also excluding I think the two gas  
18 units.

19 And so my analysis is really saying that  
20 if you are going to exclude all these costs  
21 post-2000, then you can't assume that the company AEP  
22 Ohio would still get the same \$401 million payments  
23 from other pool members because the cost of those  
24 units also drives the pool capacity payments.

25 So on page 5 of my testimony, what I've

1 done is shown that if you just applied a mere ratio  
2 to the pool capacity payments, that it would be  
3 reduced from 125 million -- dollars per megawatt day  
4 down to \$96.87 that's shown at the schedule at the  
5 top of page 5.

6 I don't get into the same rebuttal  
7 testimony arguments principally around the stranded  
8 cost issue. I think that's more of a legal issue,  
9 and I haven't done any analysis.

10 EXAMINER PARROT: All right. Did you  
11 want your question reread, Mr. Lang?

12 MR. LANG: My independent marketer  
13 question, yes, please.

14 (Record read.)

15 EXAMINER PARROT: And, Mr. Nelson, I'm  
16 going to ask you to answer the question, if you know.

17 THE WITNESS: One more time, that  
18 question.

19 (Record read.)

20 A. No, I don't see that question relating  
21 particularly to retirement decisions. I don't see  
22 that direct relationship.

23 Q. So a unit will remain in service if the  
24 market clearing price allows for recovery of avoided  
25 costs; is that correct?

1           A.    There's a lot of issues around unit  
2 retirement. I wouldn't get it down to that -- that  
3 granule one concept that would produce retirement.  
4 I'm not following your question very well, I guess.

5           Q.    Well, if the avoided costs that a unit  
6 receives are lower than the market clearing price,  
7 that allows the unit to recover some or all of its  
8 fixed costs; isn't that correct?

9           A.    As I have explained, your use of avoided  
10 costs, are we talking about capacity? Energy? I  
11 need a little more explanation to answer that type of  
12 question. And what period are we talking about? Are  
13 we talking long term? Short term? Hourly? There's  
14 just --

15          Q.    We are talking generally. Are these --  
16 are these concepts that you don't understand?

17          A.    I don't understand your question because  
18 it's too -- much too broad a question. I don't  
19 understand the concept. I don't think it's related.  
20 Retirement decisions are complex decisions. And they  
21 are not related to -- the market monitor doesn't  
22 dictate whether a unit is retired or not, if that's  
23 where you're headed.

24          Q.    Does whether a unit recovers its costs  
25 dictate whether a unit is retired or not?

1           A.     That would have a bearing long term. You  
2 would look at -- you know, the decision when to  
3 retire will be based on, you know, that analysis as  
4 well.

5                     For example, if you had a unit that was  
6 needing a retrofit in say 2016, you may keep it  
7 running in the interim because you don't have that  
8 capital outlay but you would look at all the  
9 economics during that period. It wouldn't really be  
10 dependent necessarily on just PJM market or PJM  
11 market monitoring.

12                    For example, you know, we have units  
13 operating in regulated states that are in PJM, but  
14 the PJM market doesn't determine whether those are  
15 getting cost recovery or not. For example, they make  
16 full embedded costs which would tidy -- you know,  
17 that's what our regulated states want. They don't  
18 want to transact with the market.

19                    They are going to look at -- you are  
20 going to look at that analysis a little bit and  
21 perhaps other analyses, so there's too many nuances  
22 to this question. You can't make a blanket statement  
23 on retirements just based on what you've stated, so  
24 that's the best I can do with that type of very broad  
25 question.

2601

1           Q.    Let's try it another way.  If for a  
2   particular unit AEP will not be recovering its full  
3   embedded costs for that unit for a one-year period,  
4   does that mean that AEP would shut down the plant?

5           A.    Again, you would have to know what -- you  
6   wouldn't make a decision on one year.  That's -- that  
7   would be foolish.

8           Q.    Would you also have to know whether --  
9   whether the company was recovering at least its  
10  variable costs or its avoided costs for that unit  
11  during that one-year period?

12          A.    Well, normally what you'd do, the unit  
13  may or may not run that depending on its variable  
14  costs.

15                   If the market energy price were  
16  sufficient, then it will run.  If it's not  
17  sufficient, then it may not run but that wouldn't  
18  necessarily mean you would retire it either.  Market  
19  prices can change pretty rapidly, so the fact of the  
20  matter is that you don't make a decision on any  
21  short-term parameters.

22          Q.    So for that one-year period you could  
23  certainly have the situation where a plant is  
24  recovering its variable costs so that plant will run,  
25  but it may not recover its full embedded costs during

1       that one-year period; is that fair?

2               A.     Again, you would have to put it in  
3       context. Are you saying the only source of revenue  
4       for that plant is the PJM RPM market? That's not  
5       necessarily the story for our plants. You know, we  
6       do bilateral deals. We have wholesale contracts that  
7       are cost based. We have regulated states that are  
8       definitely cost based so the PJM RPM market has no  
9       bearing on that decision.

10               You have to talk about a particular unit.  
11       You would have to set up the regulatory parameters  
12       around that. You would have to see whether we have  
13       other options.

14               There are certain units, for example,  
15       we've had wholesale customers come back to us that  
16       used to shop in the market, wanted a cost-based  
17       formula contract, as Mr. Pearce has proposed here.  
18       We wouldn't be looking at that type of thing in  
19       isolation. You have to put more details around your  
20       question.

21               Q.     All right. And I'm asking -- I am not  
22       just talking about PJM, I'm talking about all sources  
23       of revenue for a unit. If you are talking about all  
24       sources of revenue for a unit, that unit is  
25       recovering its variable costs or its avoided costs



1 during that one-year period, the plant is going to  
2 run but it may not -- and it may run even if it's not  
3 going to recover its full embedded costs for that  
4 one-year period, correct?

5 MR. CONWAY: Your Honor, I object. This  
6 line of questioning has gone full circle. It has  
7 become repetitive. He has given the best answer that  
8 he can. I think it's time to move on to a different  
9 line of questions, so I object.

10 MR. LANG: Still looking for an answer to  
11 that question, your Honor.

12 EXAMINER PARROT: I am too. The  
13 objection is overruled.

14 THE WITNESS: Could you repeat the  
15 question?

16 EXAMINER PARROT: Could we reread the  
17 question, Karen?

18 (Record read.)

19 A. Yeah, again, I think I've answered it.  
20 Maybe a little too long winded but, yeah, that  
21 one-year time period wouldn't drive the retirement  
22 of -- recovering its variable cost of production.  
23 You might keep that plant in service but there's  
24 other considerations. I mean, it's not that simple.

25 Q. Thanks. And I would like to ask you with

1 regard to Dr. Lesser's testimony -- by any chance do  
2 you have Dr. Lesser's testimony with you?

3 A. No, I do not.

4 MR. LANG: If I could just show him that.

5 Q. I want to show you table 3 from his  
6 testimony. Now, as part of your discussion of  
7 Dr. Lesser's testimony at pages 4 and 5 of your  
8 rebuttal testimony, did you review this section of  
9 his testimony that includes table 3?

10 A. Not very recently, no.

11 Q. Okay. The -- on line 1 of table 3, you  
12 see Dr. Lesser starts with the gross plant in service  
13 as of December 31, 2000?

14 A. Yes.

15 Q. Do you understand that that value  
16 includes all of the AEP Ohio existing generating  
17 units but would not include Darby and Waterford  
18 because they had not been acquired by that time  
19 period?

20 A. I don't see any math here to suggest  
21 that. If you're suggesting that he started with  
22 Dr. Pearce's numbers and then subtracted out  
23 something, if you could share with me the calculation  
24 and I could tie it to Dr. Pearce's work, I would be  
25 more comfortable because I don't know what this

1 number is here.

2 Q. Okay. Do you know whether the total  
3 gross in service of 4.3 billion as of the end of 2000  
4 is -- is accurate? Is that a number that you looked  
5 at?

6 A. If I looked at it, I haven't looked at it  
7 recently. I can't tell you whether that's accurate.  
8 It doesn't have the source, whether it's FERC Form 1  
9 or whatever, in this particular document, so I just  
10 don't know. It's just a number.

11 Q. Actually the footnote says 2000 FERC Form  
12 1 pages 204 to 207.

13 A. Oh, okay.

14 Q. So do you know whether that would include  
15 all of the AEP Ohio generating units existing as of  
16 December 31, 2000?

17 A. The FERC Form 1, those pages should  
18 include a list of those units that were on --  
19 reported in those particular pages. Again, did he  
20 take the sum of the plant balances from those pages?  
21 Is that what you're representing? The dollars, that  
22 is.

23 Q. Just trying to find out what you know.  
24 Now, the -- you do agree that the rate base is  
25 determined by the -- well, let me ask first, you see

1     that Dr. Lesser removes the accumulated depreciation  
2     from these plants in line 2 which left net generation  
3     plant in service on line 3?

4             A.    Yeah, that's what this document  
5     represents.

6             Q.    And with regard to net generation plant  
7     in service, the rate base is determined by the net  
8     generation in service taking into account  
9     depreciation, correct?

10            A.    Can you repeat the question or reread it?  
11                   (Record read.)

12            A.    Well, you are mixing a little bit  
13     concepts, rate base is a different number than net  
14     plant. Rate base includes other things besides net  
15     plant. That is a component of rate base.

16            Q.    And Dr. Pearce himself -- Dr. Pearce also  
17     calculated a return on rate base using the net  
18     generating plant in service, correct?

19            A.    As I said, including other things as  
20     well, that rate base is much broader than just net  
21     plant.

22            Q.    Right.

23            A.    There is that accumulated deferred  
24     federal income taxes and the like that are a major  
25     offset. We have working capital. I could go on,

1 prepayments, et cetera. So, no, there wouldn't be a  
2 comparison between this number and a rate-based  
3 comparison in Dr. Pearce's testimony.

4 Q. I absolutely agree there is -- there is  
5 other elements but use the net number not the gross,  
6 correct?

7 A. For rate base calculation, yes, you use  
8 net, that's correct.

9 Q. Now, I want to take you through a  
10 hypothetical. Suppose AEP builds a new generating  
11 facility for \$500 million that provides 100 megawatts  
12 of capacity. It goes in service next year, so it's a  
13 brand new plant. At that time there is no  
14 accumulated depreciation; is that correct?

15 A. Yes. It hasn't been depreciated.

16 Q. And in the hypothetical assuming there is  
17 a 20-year plant life and you have a straight-lined  
18 depreciation, that initial \$500 million cost will be  
19 depreciated by 5 percent each year or \$25 million.  
20 Do you follow that?

21 A. Well, there's tax depreciation, book  
22 depreciation.

23 Q. We are keeping this simple.

24 A. Keeping it simple, so you're saying  
25 20-year life and you're going to apply a 5 percent

1 depreciation rate, okay.

2 Q. Right, straight line.

3 A. Straight line.

4 Q. Okay. So do you follow?

5 A. Yes.

6 Q. Okay. So after 19 years, that -- you  
7 would then have 95 percent of the initial cost that  
8 would have been depreciated in that example, correct?

9 A. Yes, all things being equal if you  
10 haven't added additional capital during the course of  
11 that 20 years, so it's not a likely hypothetical.

12 Q. Now, as the plant depreciates over that  
13 20-year period, does its capacity also decline?

14 A. It could, particularly if you just, on  
15 your example again, put capital back into that plant  
16 over 20 years, I would expect it probably would have  
17 declined.

18 Q. Okay. Now, let's assume that you are  
19 putting capital into the plant over that 20-year  
20 period.

21 A. How much capital are we putting into it?  
22 Another 20 million?

23 Q. Enough to keep it running.

24 A. All right.

25 Q. So if you are putting enough to -- in to

1 keep it running, then you are still going to have  
2 capacity of 500 megawatts in that plant, correct?

3 Or, I'm sorry, 100 megawatts in my example?

4 A. Yes, and then, of course, your original  
5 investment net book value is going to be increased by  
6 your investment to keep it running.

7 Q. So the -- you know, it's not going to  
8 have -- if you are starting with 100 megawatts of  
9 capacity, you are not going to have 95 megawatts in  
10 the second year and 90 megawatts in the third year,  
11 your capacity doesn't track your depreciation; isn't  
12 that fair?

13 A. Okay. I wouldn't think it would track  
14 your depreciation, no. It would be affected by a lot  
15 of other things.

16 Q. And you could also have a fully  
17 depreciated plant that is still -- still generating,  
18 still producing capacity; is that true?

19 A. That's correct.

20 Q. Now, on the top of page 5, you calculate  
21 what you call a ratio, and you start with -- the  
22 first line you start with annual production fixed  
23 costs of \$1.1 billion; is that correct?

24 A. Yeah. That's from Dr. Lesser's table 7.  
25 That's his beginning costs on that table, line 1.

1           Q.    And that's also from Dr. Pearce's  
2    testimony because both -- it's both in Dr. Pearce's  
3    testimony and the FERC Form 1; is that your  
4    understanding?

5           A.    I believe that is in Dr. Pearce's  
6    beginning number. I'm not sure. There might be  
7    other things beyond these pages --

8           Q.    Actually --

9           A.    -- 204 and 207 of FERC Form 1. You would  
10   have to dig into that number to make sure it's  
11   consistent.

12                   For example, you would have in this  
13   instance if this is -- is this Ohio Power?  
14   Dr. Lesser's table 7, it's the merged number, I  
15   believe.

16          Q.    Yes.

17          A.    So you would have Lawrenceburg, for  
18   example, would be included in this, and you would  
19   have OVEC so there is a lot of other things in that,  
20   production costs.

21                   It should be able to, for the record, tie  
22   out that number and have a complete list of what's  
23   included in that beginning number so I don't think we  
24   should characterize it as a connection between this  
25   list of plants that we talked about earlier and this



1 number.

2 I wouldn't want to go there. I suspect  
3 there's other -- other things in there that won't tie  
4 out exactly what's included in this number. It could  
5 be ascertained from Dr. Pearce's testimony. I'm  
6 assuming that he picked up that number from  
7 Dr. Pearce's testimony.

8 Q. All right. So that in terms of what the  
9 total production costs are on an annual basis that's  
10 in Dr. Pearce's testimony, as you stated, Dr.  
11 Pearce's testimony does list out what's included in  
12 that including close -- gross plant -- the plant in  
13 service, the operating and maintenance costs. As you  
14 note in your testimony, it also includes the capacity  
15 revenues where in Dr. Pearce's testimony I think he  
16 calls it the capacity sales for resale, right?

17 A. Again, I think I would have to look at  
18 the schedule, but I assume it includes all valid  
19 production costs that Dr. Pearce identified in his  
20 exhibits as demand related.

21 Q. Now, the second line that you show at  
22 the -- in your calculation, the top of page 5, is  
23 Dr. Lesser's revised annual production costs of  
24 approximately \$260 million, so, again, that's a  
25 number that you've taken from his -- Dr. Lesser's

1 table 7, correct?

2 A. That's correct.

3 Q. And that includes his \$178 million  
4 adjustment for off-system energy sales, correct?

5 A. I don't have his table 7 in front of me,  
6 but I believe it does. But that could be verified by  
7 looking at table 7.

8 Q. Since here it says in your testimony you  
9 are trying to compare costs to costs, why did you  
10 include the off-system energy sales credit in your  
11 calculation?

12 A. I -- what I was comparing here is the  
13 total revised production costs of Dr. Lesser to what  
14 we think is the correct production costs and saying  
15 that production costs -- and that's demand-related  
16 production costs.

17 If they have gone down by this amount, I  
18 just said this as a simple ratio you would have to at  
19 least ratio down the 401 million pool credit because  
20 it's driven on the same type of costs. That pool  
21 credit that the other pool members paid to AEP Ohio  
22 is based on the sale set of costs so there is a  
23 credit in there of 401 million, so you can't take  
24 that full credit and knock out all the costs. That's  
25 very inconsistent.

1           Also, I am doing it for demonstration  
2 purposes, is showing a very large inconsistency.  
3 Now, whether it's adding back \$97, \$125 a megawatt  
4 day for that ratio or there may be some other precise  
5 number, but that's certainly in the ballpark. That's  
6 exactly what he's doing.

7           He's ignoring the fact that, you know, he  
8 is not excluding from the pool capacity payments all  
9 in plant costs. If he did that, then he would come  
10 up with a much lower pool capacity payment and that's  
11 the purpose of this exhibit.

12           In addition, he has removed megawatts  
13 associated with the gas units. Just removing those  
14 megawatts has an impact on the pool capacity payments  
15 that the other AEP pool members make so, again, this  
16 is just to recognize a very inconsistent approach and  
17 this is my attempt -- I am not going to do a full  
18 cost of service and so forth, but I think it's a  
19 valid comparison. I would say it's conservative.

20           Again, as I point out in lines 2 and 3, I  
21 am not getting into the fact here about a stranded  
22 costs calculation in and of itself. I think we can  
23 all brief that issue. It's a legal issue.

24           Q.    So you say.

25           A.    But you can't let stand the fact he

1 accepts \$401 million in pool capacity credits,  
2 removes all this cost, remember, the pool capacity is  
3 a cost-based rate, removes all this cost, leaves  
4 standing 401 million in capacity payments. It's just  
5 an invalid -- it doesn't -- it shouldn't be done that  
6 way and that's the point of this exhibit.

7 MR. LANG: Could I have my question read  
8 back? I can't remember what it was.

9 (Record read.)

10 MR. LANG: Could I have the first  
11 sentence of his answer?

12 (Record read.)

13 MR. LANG: Your Honor, although I don't  
14 think that's responsive to the question, I move to  
15 strike the answer, the rest of his answer, as not  
16 responsive to the answer.

17 MR. CONWAY: Your Honor, I think it was  
18 actually directly on point. He asked the question  
19 how did you -- why did you reflect some credit in  
20 this -- in this calculation. Your Honor, I think he  
21 called it an off-system sales credit. And Mr. Nelson  
22 explained why he did what he did in this chart at the  
23 top of page 5, and I think it was both -- both  
24 responsive and helpful to the record.

25 MR. LANG: He certainly discussed

1 generally what he did at the top of page 5 but that  
2 wasn't my question.

3 MR. CONWAY: Your Honor --

4 EXAMINER PARROT: I'm going to allow the  
5 answer to stand, but I do believe we are still kind  
6 of waiting for an answer to the question, so if you  
7 could offer that, please.

8 THE WITNESS: Okay. I include it because  
9 I think the -- what I was getting to in this exhibit  
10 is he's come up with \$78.53 for a dollar per megawatt  
11 day. You can see that in my table.

12 Dr. Pearce has come up with before losses  
13 343.98, and alls I'm saying if you took that  
14 relationship. I'm not getting into the nuance of  
15 off-system sales margins.

16 Now, I think I understand maybe your  
17 point there maybe to be apples to apples a little  
18 more on this ratio. What I would suggest is we take  
19 off of Dr. Pearce's number the -- his proposed energy  
20 credit and then I would do that ratio and you would  
21 be -- then it would be a valid comparison, so.

22 Q. Well, the proper comparison would be to  
23 at least in your analysis put the 178 million, add  
24 that back to the 260 million, otherwise you're double  
25 counting; isn't that right?

1           A.    I'm sorry, you said to add it back to  
2    what?

3           Q.    To the 260 million revised production  
4    costs.

5           A.    Again, I don't know if I would consider  
6    it double counting, but I think if you're suggesting  
7    a more valid ratio would be to take -- add back the  
8    off-system sales number because I do think this is a  
9    little bit of an inconsistency there between line 1  
10   and line 17 so I would probably agree to -- to that  
11   to develop a ratio.

12                    Again, it's the point that you have to  
13   adjust the full capacity. Certainly you can't come  
14   up with these type of numbers and not adjust the full  
15   capacity payment.

16           Q.    Because you're treating Dr. Lesser's  
17   analysis as essentially having AEP Ohio having only  
18   23 percent of its generating capacity so obviously  
19   there wouldn't be any off-system sales. It wouldn't  
20   be the energy credit. So even in what you're doing  
21   the ratio that you calculated is wrong.

22           A.    Well, that brings up a good point because  
23   he has removed a couple of plants, you know, and he  
24   would have to remove off-system sales. Again, what  
25   I'm doing is saying that you can't remove all the

1 costs of these plants and say that the full capacity  
2 credit would remain the same for the 1 million  
3 credit. It would have to be reduced so it's an  
4 inconsistency. Whether I have a slight inconsistency  
5 here, perhaps, but I don't -- I think Dr. Lesser's  
6 inconsistency is way and above any inconsistency we  
7 have.

8 Again, I just treat his as simple ratio.  
9 I don't think the whole issue of removing all these  
10 plant costs post-2000 is valid.

11 Q. So 178 million is slight. It doesn't  
12 matter.

13 A. So you're suggesting that 259, add 278 to  
14 that, and then do the ratio? We could do the math if  
15 you like.

16 Q. Well, the calculation that you are doing,  
17 the ratio that you are coming up with, what you're  
18 showing here is that taking Dr. Lesser's approach,  
19 AEP would not have earned the \$401 million capacity  
20 credit but would have only earned 23 percent of that  
21 credit.

22 A. That's an oversimplification. In fact,  
23 if we hadn't made any of this investment post-2000 in  
24 environment equipment, hadn't had Darby 1, I'm not  
25 sure there would be any full capacity payments

1 because these plants would probably not be operating,  
2 probably would have been retired, so it's -- it's a  
3 little bit of a nuisance.

4 But I say at least if you can't -- the  
5 point is he's taking out so much plant and he's not  
6 adjusting a credit that's based on that plant. It's  
7 just -- it's just not a valid way to do it. It's  
8 just very inconsistent.

9 Q. And the plants are operating so over the  
10 last 10, 12 years, AEP Ohio has recovered its  
11 variable cost to continue operating those plants?

12 A. Yes, but they have been operating with  
13 those investments in the plants. They have been  
14 operating with the investment in Darby and Waterford  
15 so this is just a bizarre concept to me that we are  
16 somehow excluding the post-2001 plant and saying that  
17 has no effect on the operation of the AEP pool. It's  
18 a very one-sided treatment of this issue, so.

19 Q. So AEP has continued to get cost  
20 recovery, for example, for those environmental  
21 investments you have in EICCR for the last few years;  
22 is that correct?

23 A. And that's more to the point why this  
24 investment hadn't been stranded. The Commission has  
25 recognized these environmental investments, that's



1 primarily what a lot of this plant is, were valid  
2 investments we were permitted to recover those  
3 investments through the EICCR and other mechanisms  
4 during the past 10 years and so -- so, again, I don't  
5 understand why we would now be excluding those.

6 In fact, if you look at the statute, the  
7 statute is very specific, even under an MRO you are  
8 allowed to recover environmental costs.

9 MR. RANDAZZO: I object.

10 A. And, you know, so I believe that, you  
11 know, this idea --

12 MR. LANG: If I could move to strike  
13 everything after "in fact," your Honors.

14 EXAMINER PARROT: Mr. Nelson.

15 MR. LANG: Mr. Nelson certainly likes to  
16 talk, but if he could be instructed to just answer  
17 the question, we could get through this this morning.

18 MR. CONWAY: And if Mr. Lang could  
19 refrain from interrupting the witness, I think he was  
20 explaining his understanding of the ESP framework.

21 THE WITNESS: Yes, because, Mr. Lang,  
22 I --

23 MR. LANG: Quiet, please.

24 MR. CONWAY: Mr. Lang.

25 EXAMINER SEE: Everybody, quiet.

1 EXAMINER PARROT: Everybody, yes, stop,  
2 please.

3 All right. I'm going to grant the notion  
4 to strike beginning with "in fact, if you look at the  
5 statute."

6 Let's move on, please.

7 MR. LANG: Thank you, your Honor.

8 EXAMINER PARROT: Next question.

9 Q. (By Mr. Lang) The -- under what you're  
10 showing here the reduction of the pool capacity  
11 credit would be because -- your understanding of  
12 Dr. Lesser's approach is that there is an equivalent  
13 reduction in AEP Ohio's installed capacity.

14 A. No. That's not completely true. It's  
15 not the installed capacity. It's the fact that the  
16 pool capacity payment is based on two things, it's  
17 the megawatts but it's also the cost. That's how you  
18 develop the pool capacity rate.

19 So if you take all those plants and the  
20 pool capacity rate could be greatly reduced, for  
21 example, it's -- it's probably in the neighborhood  
22 today of about \$3 a megawatt and that's based on the  
23 original investment in these generating units. So if  
24 you remove 70 percent of that cost, then the rate  
25 obviously would come down 70 percent.

1           So you would be -- let's see, I might be  
2     able to do the math in my head, but you are going to  
3     get a very reduced capacity rate by taking out that  
4     plant cost so, again, you don't have to go to the  
5     megawatt issue. Alls you have to go to is the cost  
6     side. You wouldn't have pool capacity rate of \$13 if  
7     you remove all the cost that underlies that rate.

8           Q.    The cost is still there if it's been  
9     recovered, correct? You said the company doesn't  
10    have any stranded costs so that means you have  
11    recovered your costs, correct?

12          A.    Well, that's not Dr. Lesser's position.  
13    He's taking out all that cost. Alls I'm saying, if  
14    you are going to take all that cost, you have to  
15    recalculate your pool capacity rate because pool  
16    capacity rates are based on those same costs. You  
17    can't disconnect those things, that's very  
18    inconsistent, that's the point of my testimony.

19          Q.    That's your understanding of Dr. Lesser's  
20    testimony but, so just to be clear with this ratio of  
21    23 percent, you are not saying that only 23 percent  
22    of the capacity exists under -- under your view of  
23    Dr. Lesser's analysis; the capacity is still there.  
24    You are focusing more on the costs rather than the  
25    actual existence of the units.

1           A.    Yeah.  In fact, what I'm doing more to  
2   rather than the megawatts, I am doing this ratio  
3   based on what costs remain and that goes to the  
4   rates, so I think this is valid saying you have to be  
5   consistent and reduce the pool capacity credit  
6   because you reduced the costs.

7           Q.    So the -- will all the units operating --  
8   all the units that were operating in 2001 that are  
9   included in Dr. Lesser's analysis will then transfer  
10  to AEP Generation Resources as part of the corporate  
11  separation?

12          A.    Some units have retired since that time.

13          Q.    Okay.  So there is probably Sporn and  
14  then Conesville 3 might not be transferred?

15          A.    I'm thinking of Conesville 1 and 2 were  
16  retired earlier so, yeah, there's been changes in the  
17  plant mix between 2000 and today.  I can't tell you  
18  all the changes.  Of course, there's been megawatts  
19  of change as well related to these plants when you  
20  put on scrubbers and so forth.  You know, there is  
21  parasitic loads, megawatts have changed, so it's not  
22  a static from 2000 to --

23          Q.    For the units retained by AEP Generation  
24  Resources after corporate separation, will those  
25  units continue to receive capacity -- continue to

1 receive revenues from capacity and energy sales?

2 A. For the units transferred, I would hope  
3 they would, yes.

4 Q. And would you also hope that those  
5 revenues would continue to offset the capacity  
6 charge?

7 A. After corporate separation, there would  
8 be no capacity charge.

9 Q. Are you -- yeah, let's -- there wouldn't  
10 be any capacity charge after corporate separation and  
11 before June 1, 2015?

12 A. Not related to pool. The pool has been  
13 terminated on January 1, 2014, that's an assumption,  
14 and consistent with that we are corporately  
15 separating on the date, so the pool goes away at that  
16 time.

17 Q. So AEP Generation Resources would not be  
18 receiving capacity revenues?

19 A. I didn't say that. I think you were  
20 asking about the pool capacity revenues.

21 Q. Okay. And the -- well --

22 A. I would hope they would receive capacity.

23 Q. The capacity charge to CRES providers in  
24 this case would still be in place after corporate  
25 separation and through June 1, 2015, correct?

1           A.    We hope so.  They are using our capacity  
2   so we would expect to be compensated for that  
3   capacity, yes.

4           Q.    And the revenue from that would still  
5   flow to AEP Generation Resources and cover the  
6   capacity costs, correct?

7           A.    It depends on how the rate is set,  
8   whether it would cover the capacity costs.  You know,  
9   if it's set at the proper rate, then it would recover  
10  at least some capacity costs.  There may be other  
11  sources of capacity revenue, you would have to line  
12  up, you know, and see what all your sources of  
13  revenue are, but certainly that's why we are here, I  
14  think, is to figure out what that capacity charge  
15  should be.

16          Q.    Now, you had referred earlier to  
17  Dr. Lesser removing the Darby and Waterford units  
18  from his analysis because of post-2001.  Are you  
19  aware that making the capacity credits adjustment to  
20  account for Dr. Lesser's removal of Darby and  
21  Waterford from his analysis results in a capacity  
22  charge of approximately \$91 per megawatt day?

23          A.    You would have to go through the math  
24  there.  I am not sure if you're talking about pool  
25  capacity or what are you talking about?

1           Q.    This -- the adjustment for the pool  
2    capacity for removing Darby and Waterford.  Have  
3    you -- have you seen any analysis of that that if you  
4    do it just for Darby and Waterford, that that would  
5    result in his credit being -- his capacity charge  
6    being approximately \$91 per megawatt day?

7           A.    Not familiar with that but, you know, the  
8    other thing we talked about earlier was if you remove  
9    the costs, that affects the capacity receipts in the  
10   pool.  If you remove megawatts, that also affects it.

11                For example, you know, in 2010, I believe  
12   AEP Ohio was selling about 2,500 megawatts under the  
13   pool.  We were compensated \$401 million.  If you  
14   remove Darby and Waterford, they would be out of the  
15   pool megawatts that were sold so, and that's about --  
16   I think we could look at your earlier exhibit and see  
17   what Darby and Waterford are.  Let's call Darby  
18   about -- I am not going to do the exact math, but  
19   400-some megawatts, and I think Waterford --

20           Q.    I think Waterford is 810.

21           A.    810, yeah, so if you would add those two,  
22   you could see just the fact you removed megawatts  
23   would cut the pool capacity receipts in more than  
24   half, so.

25                And then, of course, the other part of it

1 is the rate. The pool capacity works by the  
2 multiplication of how many megawatts you are buying  
3 as a pool member or selling as a pool member times  
4 the capacity rate. So in -- Dr. Lesser's kind of  
5 done two things. I'm being conservative in my 23.

6 He marked out the megawatts to be able to  
7 sell to other pool members by, let's call it 1,400  
8 megawatts, and then he's knocked down the cost of the  
9 remaining units that would affect the rates, so it  
10 would be selling less megawatts at a much lower rate  
11 so you get very little pool capacity revenue.

12 Q. Did you say that if you removed Darby and  
13 Waterford, it would reduce the capacity equalization  
14 payments by half?

15 A. Just the megawatts sold. I was using  
16 that basis. I haven't done the math to say it --  
17 but --

18 Q. So Darby and Waterford are half of the  
19 Ohio Power megawatts?

20 A. Half of the megawatts sold through the  
21 pool, and that's the way it works. You have to  
22 understand the pool calculation which I could take  
23 you there, if you would like. But you're only  
24 looking at the incremental. They are not selling --  
25 in the pool they are not selling -- they are only



1 selling 2,500 megawatts to sister companies, I  
2 believe, around that number, in 2010. So I'm using  
3 that. They are not selling the full megawatt load.

4 Q. So you're saying half -- half of the  
5 2,500 megawatts sold in the pool is -- just happens  
6 to come from Waterford and Darby?

7 A. No, that's not the way it works. You  
8 have to determine the capacity obligation of each  
9 member, and you include your total megawatts in that.  
10 You apply the MLR to determine what your obligation  
11 is and then you compare that to what your actual  
12 megawatts are and the difference is what you sell in  
13 the pool.

14 So it's a blend of all your megawatts.  
15 But if you took out -- my point is if you took out  
16 1,400 megawatts of Ohio Power just through the math  
17 of the pool, not long by 2,500 megawatts any longer,  
18 they would be long by 1,100 megawatts in my example,  
19 so that would reduce it alone and that's why, you  
20 know, I think anybody that's followed the pool, you  
21 know, there's been arguments about certain plants in  
22 different jurisdictions, and it affects the pool  
23 capacity settlement.

24 If you would like, I think I have some  
25 documents I could walk you through how the pool

1 obligation for capacity is established, but.

2 Q. I think I'll pass on that, but thank you  
3 for the offer.

4 Now, on page 5 of your testimony, you  
5 also referred to trapped costs. And at the top of  
6 page 6, you list different categories of costs that  
7 are not in Mr. Smith's testimony. Do you agree that  
8 these same categories of costs are not in  
9 Dr. Pearce's testimony that is part of his capacity  
10 charge calculation?

11 A. Well, with the caveat they shouldn't be  
12 in the demand side of the equation. These are energy  
13 costs, so.

14 Q. Right.

15 A. Dr. Pearce's calculation --

16 Q. If we can get to that, please, just  
17 answer my question. These are very simple.

18 The -- these costs because -- because  
19 they are energy costs, not demand, they are not in  
20 Dr. Pearce's calculation; is that right?

21 A. They are not in his calculation of the  
22 demand component. He has put out an energy credit,  
23 and they would be consistent in the energy credit.

24 Q. So he treated them as energy related, and  
25 they are not fixed costs, correct?

1           A.    He treated them as energy related and the  
2 point is that in staff's testimony of Smith --  
3 Witness Smith accepted Dr. Pearce's assignment of  
4 these costs to energy but then Witness Harter did  
5 not. He admitted he did not pick them up as reducing  
6 the energy margin credit.

7           Q.    So Mr. Smith gave them the same treatment  
8 as Dr. Pearce, correct?

9           A.    That's correct.

10          Q.    Okay. Does AEP Ohio recover part of its  
11 fixed costs through its margin on energy sales to SSO  
12 customers?

13          A.    I'm sorry, I can't drink and think at the  
14 same time.

15          Q.    I'll ask the question again. Does AEP  
16 Ohio recover part of its fixed costs through its  
17 margin on energy sales to SSO customers?

18          A.    As we've talked about, I think at length  
19 in certain proceedings, maybe in this one as well, is  
20 that generally, no, they wouldn't be part of the  
21 energy or variable costs charged to SSO customers. I  
22 believe that's considered demand-relate cost that's  
23 recovered based on that.

24          Q.    Does AEP recover parts of its fixed costs  
25 through its total generation-related charges to SSO

1 customers?

2 A. In its total charges to SSO customers,  
3 yes, it would recover its fixed and variable costs.  
4 We would have -- since Ohio Power is earning 10 to  
5 11 percent, that is evidence they are recovering  
6 their full costs.

7 Q. Do you agree that AEP Ohio should not  
8 double recover those costs, once from SSO customers  
9 and once from CRES providers?

10 A. Yeah, I wouldn't -- I don't think we are  
11 seeking any sort of double recovery of costs.

12 Q. Good. Now, do you agree that any sales  
13 to standard service offer customers are not MLRed  
14 under the pool agreement?

15 A. Yes. Retail rates have nothing to do  
16 with pool agreement and there would be no MLRing of  
17 internal load.

18 Q. So only the off-system sales are MLRed?

19 A. Not only the off-system sales are MLRed.

20 Q. Now, I believe you were here yesterday  
21 for the discussion of the AEP SC employee Mr. Weaver  
22 and his -- and his testimony in Kentucky? Were you  
23 here for that?

24 A. Yes, I was.

25 Q. And you understand that Mr. Weaver's

2631

1 group, the group that he is managing director of,  
2 provides forecasts of commodity pricing to all of the  
3 AEP electric operating companies.

4 A. I believe that's correct. I suspect that  
5 was in his testimony. I know that department was  
6 separate at one point from Mr. Weaver's department,  
7 but I think it's probably under him at this time. I  
8 think that's true. Did you pull that from his  
9 testimony or a document?

10 Q. I believe that was in his testimony.

11 A. Okay. Then I'll accept it.

12 Q. You are agreeing it's right, okay.

13 A. Yeah.

14 Q. You -- now, in this case you provided  
15 data to Mr. Meehan for his use, correct?

16 A. That's correct.

17 Q. Is it fair to say you did not provide any  
18 forecasting data from Mr. Weaver's group to  
19 Mr. Meehan?

20 A. No, that's not correct.

21 Q. Okay. What specific -- what specific  
22 forecasting data did you provide to Mr. Meehan that  
23 would have been generated by Mr. Weaver's group?

24 A. All of it.

25 Q. Then what specific forecasting data did

1       you provide to Mr. Meehan?

2               A.     If you could give me just a minute to get  
3       organized, I know I have a list here.

4               Okay. I can go down through the list of  
5       information we provided. A list of current Ohio  
6       units, including Amos 3, Mitchell, Hydro --

7               Q.     Mr. Nelson, before you go through the  
8       list, I was looking particularly for forecast  
9       information, so like an existing unit would not be  
10      included in part of that.

11              A.     If you're planning to retire units and so  
12      forth, I think it's important to -- in your forecast  
13      to list the units you think are in operation so I  
14      disagree. It would be part of the forecast. That's  
15      kind of critical to the forecast, knowing which units  
16      are going to be there and operating and make sure we  
17      have the complete list of units.

18              Q.     All right.

19              A.     Okay. So it would be detailed unit  
20      location; fuel type; in-service date; mode operation;  
21      base intermediate or peaking; projected unit  
22      retirement date for units that retired during the  
23      study period as you just said; projected unit minimum  
24      capacity by month; projected unit maximum unit  
25      capacity by month.

1                   Projected unit average heat rate, BTU per  
2                   kWh; projected unit average dispatch cost in dollars  
3                   per megawatt hour; projected unit SO2 rates, NOx  
4                   rates, CO-2, and mercury; projected unit fuel and  
5                   fuel handling costs; projected variable O&M, one-half  
6                   maintenance and consumable costs; projected Ohio  
7                   hydro unit generation; projected unit planned outage  
8                   maintenance dates.

9                   Projected unit equivalent unplanned  
10                  outage rate, forced outages; OVEC purchased data by  
11                  sub-period, weekday, weeknight, weekend, et cetera;  
12                  input/output curves; quadratic heat rate curve, I  
13                  won't give you the formula but.

14                 Q.    I appreciate that.

15                 A.    I do too.  You might follow up on some  
16                  math questions for me.  Unit minimum up and down  
17                  time, and that's minimum time a unit is projected to  
18                  run; minimum time a unit is out of service when it's  
19                  forced offline; unit startup costs; unit percent of  
20                  fuel used for startup when a base unit has been  
21                  offline, percent coal versus percent oil.

22                 Projected coal delivery data to each  
23                  unit, which includes delivered tons, dollars, sulfur,  
24                  percent and coal in cents per million BTU; forward  
25                  gas prices; Henry Hub price plus transportation

1       adders. That one I'm not sure if Mr. Meehan used our  
2       Henry Hub information or had his own. Obviously what  
3       we're providing is the cost side of the equation. He  
4       went ahead and dispatched them against the forward  
5       strips.

6               Projected emission costs dollar per  
7       dollar SO2 and NOx by state, 2009-2011  
8       historical Ohio unit and their service hours;  
9       historical performance data, 2007-2011 historical  
10      Ohio data; document describes AEP's area security and  
11      extended start constraints. I think that's -- we may  
12      have provided some other things, but I think that  
13      covers it.

14             Q.    Do you know whether the forward gas  
15      prices that were provided to Mr. Meehan were the same  
16      as in the testimony of Mr. Weaver that we saw  
17      yesterday?

18             A.    I don't know. I didn't look at those  
19      forward gas prices.

20             Q.    Other than the forward gas prices --

21             A.    I would add I suspect they were more  
22      recent for the current forecast.

23             Q.    Other than the forward base prices, do  
24      you know whether there were any other commodity price  
25      forecasts in what was provided to Mr. Meehan?



1           A.    Yes.  I just went through the list and  
2 commodities I would consider consumables are like  
3 things used to -- for environmental compliance we  
4 call those commodities.  We also -- you know, those  
5 types of things, yes, they would be provided,  
6 anything to operate the unit.

7           Q.    So the costs going into the unit, there  
8 would be some forecasts of the -- of the costs for  
9 those commodities like, as you said, the arena?

10          A.    Yes.  Those types of things would be in  
11 there.

12          Q.    And then --

13          A.    Of course, the tons emitted of SO2 and  
14 NOx and so forth would affect commodity prices and so  
15 forth.

16          Q.    You said Mr. Meehan dispatched against  
17 the forward strips.

18          A.    I think that's the way I understand it.  
19 I would prefer if you ask him.  I hate to muddy the  
20 record with an incorrect statement, but I am sure he  
21 can answer how he used our data.

22          Q.    And I just wanted to clarify, you  
23 referred to forward strips.  You are referring to  
24 forward energy prices?

25          A.    Yes.  I think the discussion yesterday

1 was around forward energy prices that are at the  
2 market is transacting at today but, again, I think  
3 all of this is better asked of Witness Meehan.

4 Q. Were any of AEP Service Corp.'s internal  
5 forecast of energy prices provided to Mr. Meehan?

6 A. No. We wouldn't have. Generally we  
7 would use the same -- for short-term financial  
8 forecasts, we would use the same methodology, I would  
9 think, that Mr. Meehan uses.

10 Q. If the Commission adopts an RPM-based  
11 capacity charge in this case, we wouldn't have to  
12 speculate about the proper energy credit or speculate  
13 about shopping levels; isn't that true?

14 THE WITNESS: I'm sorry, could I have  
15 that repeated.

16 (Record read.)

17 A. I guess if they -- the Commission  
18 determines something, we wouldn't have to speculate  
19 but that wouldn't necessarily mean that's the right  
20 answer other than, you know, we would still have the  
21 FERC proceeding to pursue whatever we needed to do if  
22 we felt that the decision here wasn't -- we were  
23 going to have to protect our rights, and we have  
24 rights under the FERC jurisdiction.

25 Q. So it wouldn't be speculating about

1 forward energy prices, but we would be fighting  
2 in the -- fighting it out at FERC is what you're  
3 saying.

4 A. Perhaps. I expect the Commission will  
5 give us a demand charge or a capacity charge that's  
6 compensatory to us so I don't need to speculate. I  
7 think we'll get a fair treatment from this  
8 Commission.

9 MR. LANG: Thank you, Mr. Nelson.  
10 And thank you, your Honors.

11 EXAMINER PARROT: Mr. Jones.

12 MR. JONES: Thank you, your Honors.

13 - - -

14 CROSS-EXAMINATION

15 By Mr. Jones:

16 Q. Mr. Nelson, are you familiar with AEP's  
17 AuroraXMP model?

18 A. Not -- I wouldn't call myself familiar  
19 with it. I know we -- Fundamentals Group does have  
20 that model. We run several different models for  
21 different purposes.

22 Q. Okay. So the AEP Fundamentals Group,  
23 they do use the AuroraXMP model; is that correct?

24 A. The Fundamentals Group I do believe uses  
25 that model, yes.

1           Q.    Okay.  Is the AEP Fundamentals Group the  
2           only group within AEP that uses Aurora?

3           A.    I'm not positive.  They are the one that  
4           comes to mind as a user of it.  I'm not sure if any  
5           other sections do use that Aurora model.

6           Q.    Okay.  Have you personally worked with  
7           AEP Fundamentals Group on the Aurora modeling?

8           A.    Personally worked on it, no.

9           Q.    Have you had any discussions with members  
10          of that group as to that modeling?

11          A.    I was on the same floor with that group  
12          and Mr. Weaver's group, and I understood what that  
13          group did, you know, from my interaction.  I don't  
14          think I ever particularly discussed the workings of  
15          the Aurora model with them, no.

16          Q.    Does Mr. Weaver -- is he the head of that  
17          group?

18          A.    He is the head of Resource Planning, and  
19          I think the question I had from Mr. Lang indicated I  
20          think that Fundamentals Group is under Mr. Weaver.

21          Q.    Okay.  Were you involved in Kentucky  
22          Power's case regarding the scrubber retrofit on Big  
23          Sandy?

24          A.    No, I was not.

25          Q.    But you are familiar with the Kentucky --

1 the Kentucky case?

2 A. I'm familiar with it on a general level,  
3 yes.

4 Q. And are you familiar with how the AEP  
5 Fundamentals Group used your model in support of that  
6 case?

7 A. I think it was for as -- I ran into Scott  
8 Weaver on the way out this morning and I think it was  
9 used for Monte Carlo simulation. I think the prime  
10 tool as I recall was Strategist so it was kind of a  
11 check against Strategist and some other modeling but  
12 I think they may have used it for Monte Carlo  
13 simulation.

14 Q. And when they used the Aurora model in  
15 the Kentucky case, did they use the zonal or the  
16 nodal version?

17 A. I don't know.

18 Q. Did you ask the AEP -- the Fundamentals  
19 Group to support their work in developing the  
20 capacity rates for CRES in this case?

21 A. No, I wouldn't have done that. I  
22 wouldn't have seen any reason to do that.

23 Q. You didn't have them do any modeling as a  
24 test for your methodology?

25 A. We didn't need to test our methodology

1     because, as our testimony indicates, it was based on  
2     a 2010 test period, and you don't have to get into  
3     forecasts of margins when you use 2010, you know,  
4     your margins and that's why I think 2010 as a test  
5     period is consistent across the board as we talked  
6     about trap costs and so forth.

7             So we didn't use a forecast in our  
8     calculation of a proper CRES capacity charge. We  
9     used a historic period which has a lot of benefits,  
10    but I'll stop there.

11            Q.    So it's your testimony, Mr. Nelson, that  
12    AEP did no analysis with its own Aurora model, direct  
13    rebuttal aspects of this case?

14            A.    The rebuttal aspects we got into in that  
15    situation put us into the criticism of staff's  
16    method. Of course, the staff's consultants had used  
17    Aurora, so we looked at Aurora but I can't tell you  
18    whether we did it.

19            We -- you know, it was a very short-time  
20    period so I am not sure we would have been able to do  
21    any Aurora modeling that would be reliable in that  
22    time period and, of course, as we talked before, we  
23    wouldn't use Aurora for that short-term analysis. We  
24    don't -- for financial forecasts and whatever, we  
25    don't use that.

1                   What Witness Meehan has done is  
2 consistent with the methodology we would use in our  
3 short-term financial forecasting so I just wanted to  
4 give you the complete picture on that.

5           Q.    Yeah. I'm trying to understand your  
6 testimony, Mr. Nelson. I wasn't clear. Was there  
7 Aurora modeling done in prep --

8           A.    My --

9           Q.    Wait.  
10                   -- in preparation for the rebuttal case  
11 in Mr. Meehan's testimony?

12           A.    I'm not sure. I'm not sure what they  
13 did. I know we reviewed the model, as you could  
14 probably tell from our cross and so forth, to see,  
15 you know, whether some of the things that the staff  
16 consultants talked about, how they used the model, so  
17 we did talk to our Fundamentals Group and, you know,  
18 developed a line of cross based on that.

19                   You know, they wouldn't use it for the  
20 purposes that the staff consultants used it in  
21 developing that line of cross. Whether we actually  
22 ran a model to validate something, I don't know  
23 personally, and I wouldn't expect that we would, you  
24 know, do that other than to test staff's methodology,  
25 but I think what we focused more on was understanding

1        nodal versus zonal, talking to folks that use it.

2                Our folks have -- I would say we have a  
3        lot more experience in the use of that model. We  
4        have a lot more people dedicated to that model so we  
5        just wanted to make sure listening to -- I'm  
6        sympathetic to the staff consultants in the sense  
7        they had a short time, they hadn't used the model  
8        that long to develop this, just to see how they used  
9        the model and whether it was appropriate for this  
10       application. But whether we actually produced some  
11       result, I can't tell you.

12              Q.     So it sounds like the model was run for  
13       purposes of trying to address criticisms of  
14       staff's --

15              A.     As I said, I don't -- I don't -- I am not  
16       aware of it but I can't say. I just wasn't in all  
17       the conversations. Again, I don't want to repeat  
18       myself, but we did it really to talk to the modelers  
19       to say how would you use this model, what are the  
20       nos, and how the consultants of staff, EVA, what was  
21       their flaws, but it wasn't done for purposes of  
22       validating the proper energy credit, if that's your  
23       question. I think what --

24              Q.     How do you know that if you are not sure  
25       whether or not the modeling was done or not? You



1 sound like you are sure about --

2 A. Well, I can tell you I am sure of that  
3 because what we've chosen to do is what Witness  
4 Meehan has done. That's -- that's what we think is  
5 the proper method to look at. If you are going to  
6 use a forecast other than the historic period I've  
7 talked about, then we think the way that our Witness  
8 Meehan has done it is the proper way for a short-term  
9 period like this.

10 Q. Mr. Nelson, you helped prepare  
11 Mr. Meehan, haven't you, for his testimony in this  
12 case?

13 A. I provided -- facilitated getting him the  
14 cost data that he needed.

15 Q. Well, it's fair to say you are in the  
16 inner circle that helped prepare him for this case;  
17 isn't that correct?

18 A. I'm not sure I characterize my role as  
19 "preparing" him. I was pretty swamped with getting  
20 my own testimony done. We all were under a short  
21 timeframe. I had been on calls as a group, but I  
22 wouldn't -- I wouldn't say that I -- I don't know  
23 that he needed much preparation from me.

24 Q. But you did help prepare him, correct?

25 A. In the sense that I provided cost data,

1 was on certain phone calls, but if that's considered  
2 preparation, I would accept that.

3 Q. How many conversations have you had with  
4 him in regards to this case?

5 A. Well, I have been in testimony review  
6 sessions where we are working on drafts and we had  
7 several of those. I would say -- I wasn't on all the  
8 calls with Mr. Meehan. I was in limited calls but  
9 where we might review our testimonies to make sure we  
10 are consistent, how we are handing off using things,  
11 I was in phone calls, probably I'm guessing about  
12 five conference calls.

13 Q. In the last week or how long?

14 A. During the course of since we retained  
15 him to start looking at this issue. We -- we met  
16 when he came in last night and with the attorneys and  
17 all and had a meeting there. That was in addition to  
18 the phone calls that we had.

19 Q. And when did you retain Mr. Meehan?

20 A. That would be a better question for  
21 Mr. Meehan. I'm not sure of the exact date.

22 Q. Well, when was the first conversation you  
23 had with Mr. Meehan?

24 MR. CONWAY: Your Honor, we are treading  
25 awfully close to the company's work product and

1 communications supervised by counsel. I just want to  
2 alert counsel for the staff that I'm close to an  
3 objection.

4 MR. JONES: Your Honor, I have gone  
5 nowhere near any communications other than asking  
6 when the communication occurred and have not asked  
7 for the content of any conversation but when the  
8 first contact and communication occurred.

9 EXAMINER PARROT: Mr. Nelson, you may  
10 answer the question.

11 A. Mr. Jones, my memory isn't real good on  
12 dates, and such but I could probably blend it in some  
13 sort of context for you. It was subsequent to  
14 Mr. Harter's testimony. I think, you know, probably  
15 a few days after that, that would probably be the  
16 first time I was involved.

17 Q. And who in your group would know whether  
18 Mr. Meehan ran the Aurora model for purposes of  
19 preparation for his testimony?

20 A. Mr. Meehan would tell you if he ran it.  
21 I think that's the best source.

22 Q. How about besides him?

23 A. Besides him?

24 Q. Yes.

25 A. I don't know. Our attorneys or someone

1       might.

2               Q.     Okay. I want to go back to the Kentucky  
3       Power case application. Are you familiar with the  
4       fuel cost assumptions that AEP used to evaluate the  
5       scrubber options in that case?

6               A.     I'm not familiar with the particulars of  
7       that case, as I mentioned.

8               Q.     Well, do you know if the fuel cost  
9       assumptions that were developed for that case were  
10      based upon Kentucky Power Form 1 fuel costs for 2010?

11              A.     I wouldn't think it would be based on  
12      FERC Form 1 in 2010. That isn't a period in the  
13      study period. What they would probably do is use the  
14      most exact information they had as a -- as I just  
15      went through a list of stuff we typically have. It's  
16      very exact.

17                     We look at our units, this is how we  
18      operate our business. We have to know how our units  
19      operate and so forth, so in the first -- in the  
20      short-term we would have used actual known contracts  
21      and so forth, I believe.

22                     Now, and then in longer term you get  
23      into, you know, if you are looking at 30 years, you  
24      start to use more fundamental information because  
25      there you kind of get to, you know, a forecast that

1 has gas prices, for example, on out that's not  
2 readily available, and it's not based on, you know,  
3 contracts that you have in place for your units.

4 Q. Well --

5 A. My point is, sorry, but I was trying --  
6 it may be a mix of things. It may be what you know  
7 in the short-term particular to your units, and then  
8 for longer-term purposes you may rely on a  
9 fundamentals-type analysis.

10 Q. Well, did AEP use forward-price curves or  
11 forecasts for that scenario in that case?

12 A. I don't know what they used. One thing I  
13 could add, though, is forward-price curves wouldn't  
14 be available for that period so they wouldn't have  
15 used forward-price curve for the whole study period.

16 As some would mention, the scrubber's  
17 going in 2016 so they are faced with using  
18 longer-term forecasts, you don't have a forward  
19 strip. I think they generate about three years, as I  
20 recall, that you could ask Witness Meehan on that.

21 Q. Go back a second. For the engagement for  
22 Mr. Meehan, how was that approached? Was he asked to  
23 develop an energy credit, or was he simply asked to  
24 critique staff's testimony?

25 A. I'm not sure what his contract was.

1 That's a question for the folks that dealt directly  
2 on that contract.

3 Q. And what are all the inputs you provided  
4 Mr. Meehan?

5 A. It's the list I read earlier. I could go  
6 back through it if you would like.

7 Q. The same list.

8 A. The same list.

9 Q. And did you provide coal --

10 A. Now, let me caveat, I don't do all  
11 this -- this work. I facilitated in getting the  
12 information from Mr. Weaver's group, Resource  
13 Planning, to Mr. Meehan. I knew where to go for this  
14 data and that was primarily my role, was facilitating  
15 that.

16 Q. Did you provide Mr. Meehan coal prices  
17 that are based upon 2011 Form 1 data?

18 A. No. As I mentioned before, this is a --  
19 Mr. Meehan is attempting to duplicate what the staff  
20 witnesses have done and it's a forecast period so you  
21 use forecasted coal prices. All of these things I  
22 mentioned here in my list were forecast items. But  
23 they would be based on actual contract information so  
24 we know, for example, you know, what the coal  
25 contracts are into all our plants and would use the

1 best available information on -- on those units.

2 Q. How about the natural gas price, do you  
3 use a forward-price curve?

4 A. Natural gas as far as our units,  
5 remember, I'm on the cost side. I want to  
6 differentiate. I'm not providing forecast of natural  
7 gas.

8 Q. Sure.

9 A. I think we did, as I mentioned, but I'm  
10 not sure if he used it or not. We provided what we  
11 used there. But on the cost side we look at our  
12 particular units and try to provide the appropriate  
13 gas costs for those units. Those units would be  
14 Darby, Waterford, Lawrenceburg and such.

15 Typically I don't think we have as much  
16 contract commitment on gas units so I think it tends  
17 to be more spot, but I could be wrong in that area.

18 Q. What did you tell Mr. Meehan to assume  
19 about the CSAPR, that would be the Cross States Air  
20 Pollution Rule, what application, if any, that had?

21 A. I wouldn't think we would have to tell  
22 him about the interpretation of CSAPR and so forth.  
23 That would be driving our costs. We have another  
24 group that, you know, we look at all those  
25 regulations obviously.

1           If you followed our press releases, these  
2 regulations are no more -- to AEP they are the most  
3 important thing. We are the -- probably the  
4 companies affected most by these things so we have  
5 quite a team that looks at all those issues around,  
6 you know, what's the prognosis for CSAPR, MATs, all  
7 these environmental regulations and then our  
8 forecasted information and projections is based on  
9 the best -- our best estimates of what rules will be  
10 in place.

11           We -- obviously you can model the rules  
12 in place today but we have -- we have to look forward  
13 and assume, as CSAPR is stayed currently, going into  
14 effect during this period and we make assumptions  
15 there and, of course, as I mentioned, the same data  
16 that all these costs would be used for our financial  
17 forecasting purposes as well, so we want to make sure  
18 it's as accurate as possible, takes into account  
19 everything we know about environmental regulations  
20 and everything we know about how our plants will  
21 operate under those environmental regulations.

22           Q.   Specifically asked for CSAPR and it  
23 sounds like you didn't have any conversation on  
24 CSAPR.

25           A.   As I said, we wouldn't need to have any.



1     What Mr. Meehan is using is a strip and I think as  
2     Mr. -- Witness Allen mentioned yesterday, the market  
3     makes its own assumptions about CSAPR and how it  
4     might affect market prices because what Mr. Meehan is  
5     doing is dispatching our units against a market price  
6     and in his modeling -- so I don't know that he -- you  
7     could -- I think, again, I would ask him the question  
8     about any conversations about CSAPR that we've had,  
9     but.

10           Q.     But your answer is no as it concerns you,  
11     right?

12           A.     As I said, we -- we may have had  
13     conversations about CSAPR, but we reflected CSAPR in  
14     the cost data we had, our best estimate of what CSAPR  
15     is, so hopefully that answers your question, but if  
16     not.

17           Q.     So you did have the discussion with him  
18     about CSAPR?

19           A.     I suspect that CSAPR came up because of  
20     the staff testimony around, you know, them  
21     modeling -- I'm sorry, not them but your witnesses'  
22     modeling environmental regulations and I think  
23     Witness Medine talked about CSAPR and so forth so he  
24     may have wanted to check what's AEP's assumptions on  
25     CSAPR and so forth.

1           But, again, I don't want to -- you know,  
2   that's kind of my knowledge on this issue. I think  
3   it's relevant. He probably would be interested in  
4   it. It's something we have to address because I  
5   think the staff witnesses have raised environmental  
6   regulations, but I can tell you I was telling you  
7   what we've provided in our data, what we've looked  
8   at, and why we think the data that we've provided is  
9   correct with respect to known environmental  
10  regulations for our units and future regulations.

11           Q.    So to your knowledge then Mr. Meehan then  
12  included CSAPR in his analysis is what you're saying,  
13  correct?

14           A.    I would ask him. He is going to be up  
15  next. It just -- I think it's just more fair to him  
16  and to me to just ask him what he did with CSAPR.  
17  And if I've mischaracterized anything in what he's  
18  done with it, he can correct. And I would accept  
19  that correction. I'm not going to tell you I know  
20  everything he did.

21           Q.    Okay. And did you also give him  
22  assumptions for emission allowances?

23           A.    In the data we provided we would have the  
24  operation of our plants under, you know, certain  
25  assumptions, so if that's your question, you know, we

1 put out what the various units emit in tons of, you  
2 know, various pollutants and then that's factored  
3 into our SO2 costs we have for these units, and so,  
4 yes, in the cost data we've taken into account all  
5 those environmental regulations and the repercussions  
6 on costs for all our units because it's critical to  
7 us, AEP, as being, you know, a large coal-fired  
8 company.

9 And as you've seen, we've lobbied heavily  
10 in all the environmental regulations that have been  
11 promulgated to make sure that, you know, we  
12 understand those regulations and that we can  
13 influence them and not burden our customers with  
14 costs.

15 Q. What specifically did you have him  
16 assume?

17 A. Again, I'm not sure we had him assume  
18 anything. We provided costs based on a set of  
19 assumptions. He didn't need to assume anything. I  
20 don't believe the assumptions affect our costs that  
21 we provided, but you can ask him whether any -- he's  
22 made any assumptions around these things, but from my  
23 perspective, I think the assumptions are made in our  
24 cost data, and then he uses our cost data.

25 Q. What, if anything, did you have

1 Mr. Meehan assume in regards to electricity demand  
2 growth?

3 A. Again, I didn't see any list of  
4 assumptions that we provided. I only know the list I  
5 read earlier.

6 Q. Okay. And did Mr. Meehan do any modeling  
7 runs with Pro-Mod?

8 A. I don't believe so. Again, you can ask  
9 him. I don't believe so.

10 Q. Was that a discussion between you and him  
11 at all?

12 A. No. Again, I wouldn't necessarily use --  
13 Pro-Mod is a cost -- the cost side of the equation  
14 so, again, all this data I just talked about is what  
15 Pro-Mod does. It's a production cost model. It  
16 doesn't forecast market prices and such. I just want  
17 to clear that up.

18 So this -- this data that we're using  
19 here would be used in Pro-Mod. It's basically the --  
20 Scott Weaver is the keeper of Pro-Mod and this is the  
21 data that comes from him, and it would be consistent  
22 with the Pro-Mod cost production model.

23 Q. Okay. In the group that Mr. Meehan is  
24 with, NERA, N-E-R-A, are they a licensee of Aurora?

25 MR. CONWAY: Could I have that question

1 reread, your Honor?

2 (Record read.)

3 A. I don't know. You can ask Mr. Meehan.

4 Q. Mr. Nelson, what is your understanding of  
5 how staff developed its estimate of off-system sales?

6 A. My understanding is they compared the  
7 total generation of the AEP Ohio fleet to the load of  
8 AEP Ohio. I'm not sure -- I don't believe they did  
9 anything with the load of Wheeling, but I'm not  
10 positive. I suspect -- I believe they didn't.

11 And then what you do is you do an hourly  
12 analysis and see if you had excess above the load to  
13 sell into the off-system sales market. So the  
14 generation would be dispatched against a market  
15 price, and then you determine whether you have  
16 excess -- or off-system sales to make in that  
17 particular hour.

18 Q. Okay. And, Mr. Nelson, is it your  
19 testimony it is an error that the amount of shopping  
20 affects energy credits pursuant to staff's analysis?

21 A. I wouldn't necessarily call that one fact  
22 an error. I think it's problematic in this  
23 proceeding because from a cost-of-service point of  
24 view, and I did a cost-of-service modeling, you  
25 might -- you know, it could be a reasonable approach

1 but the problem is that normally you do that type of  
2 analysis with a stable jurisdictional allocation.

3 For example, if you knew Virginia and  
4 West Virginia, I'm going -- something Mr. Kurtz  
5 brought up but, you know, they have a jurisdictional  
6 percent that's rather stable. You can use another  
7 method there; however, if your shopping is a variable  
8 and if staff, for example, you know, came up with a  
9 method where we were going to track actual shopping,  
10 you know, monthly or something, then it might --  
11 might be better suited -- I don't necessarily agree  
12 with other parts of staff.

13 I don't want to imply that if we fix kind  
14 of the variables of shopping issues, that I would  
15 agree with how they've treated, for example, giving  
16 the margins on our retail load to CRES providers.  
17 That doesn't make sense for a lot of reasons. But  
18 just the fact that your original question whether it  
19 was an error, I don't want to go that far. I just  
20 don't think it's well-suited to this process here.

21 Q. Okay. The energy credit is affected by  
22 the amount of shopping in staff's analysis due to the  
23 application of the MLR; is that correct?

24 A. Yes. It may be helpful on page 9 of my  
25 testimony there is a diagram there that shows, I

1 believe, how staff had, you know, modeled their  
2 energy credit and I think this was presented to Staff  
3 Witness Medine and she -- she agreed with some things  
4 other than I think the 26 percent that's in the  
5 second box.

6 I changed that to up to 26 percent. I  
7 think that would be consistent with her response  
8 there. But, yes, it's a limited -- I will call it a  
9 limited application of the MLR just because it just  
10 fixes the shopping at 26 percent, establishes an  
11 off-system sales, and then applies the MLR to that  
12 fixed number.

13 So they did use -- the staff did use the  
14 MLR to some extent. It's just -- it's just not --  
15 it's limited and I don't think it's proper. And  
16 obviously I have a lot of problem with providing our  
17 retail margins to CRES providers. That's -- that's a  
18 little beyond me why we would be doing that but. I  
19 hope I answered your question.

20 Q. So the MLR is a factor that's the cause  
21 of that result; is that correct?

22 A. I'm sorry, I didn't understand that  
23 question.

24 Q. The cause of affecting the energy credit  
25 as to the amount of shopping.

1           A.     In the staff's modeling, it would affect  
2     the energy credit. In fact, in the last page of my  
3     testimony I can give you the effects of the MLR.

4           Q.     That's okay. You answered my question.  
5     Thank you.

6                     Mr. Nelson, if the level of switching  
7     increases and a larger portion of AEP Ohio's energy  
8     margins are redistributed to the AEP pool, will the  
9     plant be more or less available to AEP Ohio?

10          A.     Mr. Jones, I don't see a direct  
11     connection there. It's kind of a broad question.  
12     Maybe you could rephrase or ask me once again.

13          Q.     Well, I am asking if the plant would be  
14     more or less valuable to AEP Ohio if there's  
15     increased switching and a larger portion of AEP's  
16     energy margins are redistributed to the AEP pool.

17          A.     You have got to remember the pool has  
18     been in place a long time, and it's got all different  
19     facets to it. We're talking primarily about MLRing  
20     of off-system sales but there's the capacity credit.  
21     There's also sales of primary energy so I don't know  
22     that following the pool changes anything for AEP  
23     Ohio.

24                     What we're actually suggesting is that  
25     the pool should be followed because it is a FERC



1 contract and we can't pick and choose. We would be  
2 in a lot of trouble if each state got to pick the  
3 part of the pool they liked and at the expense of  
4 another state.

5 So I hope that answers your question.  
6 The pool is a fundamental underlying concept so I  
7 don't think it affects valuation one way or another.  
8 What we're suggesting is that when you do your energy  
9 credit, that you should be true to the pool  
10 operation.

11 Q. So let me understand, the value of the  
12 AEP assets, is it dependent on the level of switching  
13 or not?

14 MR. RANDAZZO: May I ask when you say  
15 "assets" are here, are you talking about generating  
16 assets?

17 MR. JONES: Generating assets.

18 MR. RANDAZZO: Thank you.

19 A. Again, I just -- I don't know how to  
20 answer that question. I don't understand the  
21 premise.

22 Q. Okay. As part of the pool agreement, is  
23 AEP Ohio due approximately 40 percent of the  
24 off-system sales margins from Appalachian Power,  
25 Kentucky Power, and Indiana and Michigan?

1           A.    Yes, they receive that.

2           Q.    They receive the 40 percent from the  
3 other members of the pool?

4           A.    Yes. All off-system sales are shared.  
5 It can be generated from any company. They would get  
6 40 percent of I&M's, 40 percent of -- it would be  
7 summed and then they get 40 percent share, whoever  
8 makes the off-system sale.

9           Q.    Right. Do you include this revenue  
10 stream in your analysis of the energy credit?

11          A.    In the 2010 data we use, yes, all of  
12 those transactions would be -- all those transactions  
13 would be reflected and, again, that's one of the  
14 reasons I think that we should be consistent and use  
15 Dr. Pearce's work. It's based on a complete set of  
16 information, complete set of data. It fully reflects  
17 all transactions, off-system sales sharing, and  
18 all -- and it's accounted for every cost in 2010. So  
19 it is a test to your concept.

20          Q.    Mr. Nelson, did staff include this  
21 revenue stream for the analysis of the energy credit?

22          A.    Not that I can see directly. As I point  
23 out in my testimony, I'm not sure exactly what the  
24 staff is trying to model. They've done some things  
25 that I -- I didn't know if it was post-corporate

1 separation and pool termination view because you do  
2 have the transfer of Amos and Mitchell, for example,  
3 out of there.

4 Today Amos and Mitchell are part of AEP  
5 Ohio so it's kind of a -- but you do apply the MLR,  
6 as I said, in a limited fashion as well, so you have  
7 got a little bit of a hodgepodge there. I did not  
8 see anything particular to the item you mentioned in  
9 your work.

10 Q. Mr. Nelson, the fact that staff did not  
11 include this revenue stream in its analysis of the  
12 energy credit, doesn't that make staff's analysis  
13 conservative?

14 A. No, because I think there's a lot of  
15 other issues that you would need to consider. I  
16 would first have to know is the pool operating or not  
17 because, you know, they also have the full pool  
18 capacity credit in there on Mr. Smith's work so he's  
19 got the \$400 million credit in there so it's not --  
20 the staff is not quite consistent.

21 And by the way, I just want to point out  
22 when we review Mr. Meehan's work, it doesn't have the  
23 pool layer on it either. It's kind of a no-pool view  
24 I think, to be consistent with the methodology that  
25 the staff witnesses have done, so I just want to be

1 clear on that.

2 But if you are using 2010, all of those  
3 transactions that happened, so you're assured of not  
4 missing anything if you use a test period like 2010  
5 and account for all -- everything in the FERC Form 1  
6 that I believe Dr. Pearce's formula has done.

7 MR. JONES: Your Honor, I would ask to  
8 strike everything after his answer "No." He answered  
9 the question. The rest of it is not responsive to my  
10 question.

11 MR. CONWAY: Your Honor, I think he was  
12 explaining his answer. He's entitled to do that, why  
13 he didn't agree, it was conservative, staff's  
14 approach was conservative, as a result of the  
15 presumption or hypothetical that Mr. Jones presented  
16 to him. He explained it wasn't conservative and he  
17 gave the reason why it was not conservative, why  
18 there are other errors.

19 MR. JONES: Your Honor, he went way  
20 beyond the scope of the question. It wasn't relevant  
21 to the question.

22 EXAMINER PARROT: The motion to strike is  
23 denied.

24 Q. (By Mr. Jones) Mr. Nelson, is it your  
25 understanding Amos and Mitchell, capacity generation

1 were not included in either of the capacity or  
2 energy-critical calculations for staff's analysis?

3 A. That's correct.

4 Q. Okay. And in regard to how staff  
5 determined revenues from off-system sales, is your  
6 criticism -- is it your criticism in how the  
7 off-system sales were calculated or how the MLR was  
8 applied by staff?

9 A. Well, I would have a criticism in the  
10 amount of off-system sales to begin with because I  
11 think staff has left off Wheeling, so they are  
12 overstated. I don't think it's so much around  
13 off-system sales. My criticism is around the sharing  
14 of the nonshopping margins to CRES providers.

15 I think they've, you know, applied the  
16 right MLR as I could tell to their number. Again,  
17 their number might be overstated a little bit because  
18 of Wheeling which is a firm wholesale customer.  
19 That's cost-based rates so there wouldn't be margins  
20 available to share for that account but -- or for  
21 that customer, I'm sorry, not account.

22 Q. Okay. So it's limited to nonshopping  
23 customers; is that your answer, that criticism?

24 A. Limited, I, of course, address the  
25 methodology. As far as the margins produced though,

1 we obviously have disagreements there which I think  
2 both Witness Allen and Meehan have addressed, so.  
3 But as far as applying, you know, if you've probably  
4 identified off-system sales, setting aside the  
5 Wheeling issue, and you've applied a 40 percent MLR  
6 to that off-system sale, you know, that sounds  
7 correct, that statement.

8 Q. Okay. Thank you. All right. What needs  
9 to occur from a regulatory perspective for the pool  
10 agreement to expire? Do you know?

11 A. I believe that we will need approval of  
12 the FERC. There's more involved than just getting  
13 that approval to just terminate it as far as working  
14 with our states, but I think it ultimately comes down  
15 to needing FERC approval to terminate that contract.

16 Q. And how about each state effected by the  
17 pool, would it need approval there too?

18 A. As far as the pool is concerned, no, as  
19 far as termination of it.

20 Q. Okay. And if the approvals you need to  
21 obtain by the end of 2013 does not occur, does the  
22 pool agreement continue until they do?

23 A. Yeah, I would think if the FERC hasn't  
24 approved the termination of the pool, the pool  
25 agreement would continue.

1           Q.    So would you agree, Mr. Nelson, there is  
2   a level of uncertainty associated with whether or not  
3   AEP Ohio is going to be granted that pool termination  
4   in that timeframe of January 1, 2014?

5           A.    There's always a level of uncertainty.  
6   The only thing I would add is Entergy Corporation  
7   went through a similar proceeding, they have a pool  
8   very similar to ours, and had provided notice in  
9   their docket.

10               And the FERC is pretty clear that, you  
11   know, we have the right to terminate that pool and,  
12   of course, we provided the proper three-year notice  
13   for termination of the pool so I would think we are  
14   probably on pretty solid ground as far as the  
15   termination.

16               Now, we'd also be concerned about our  
17   states, you know, and how that might affect them and  
18   if, you know, we are going to be talking to all the  
19   states to make sure that, you know, that date, you  
20   know, so I can't say it doesn't slip because we still  
21   have the choice to terminate, when we pull the  
22   trigger, but I would say that, you know, so there is  
23   uncertainty.

24           Q.    Mr. Nelson, the outcome post the pool  
25   agreement, AEP Ohio has suggested that it could

1 include transfers and bilateral agreements; is that  
2 correct?

3 A. Post-pool termination? Post-pool as far  
4 as meeting the needs of the other pool members, you  
5 know, we have a plan out there which has been laid  
6 out, and I think it's in my ESP testimony in the  
7 corporate separation testimony here but not in this  
8 case but in the other filings that are concurrent to  
9 this case.

10 And our plan, of course, is to transfer  
11 Amos and Mitchell to Appalachian and Kentucky Power  
12 to facility -- to fill their deficit. We also are  
13 proposing, as you know, a merger of Wheeling Power  
14 and Appalachian Power, though that's a less indirect  
15 effect here on Ohio, but.

16 Q. And how about the bilateral agreements,  
17 can you tell me more about that?

18 A. I said -- I said less indirect, I should  
19 say less direct perhaps.

20 Q. Can you tell me more about the bilateral  
21 agreements?

22 A. Are you referring to anything in  
23 particular?

24 Q. No, as to what you know.

25 A. Oh, yeah, I certainly would think that,



1     you know, if we have opportunities to enter into  
2     bilateral agreements, we would -- as I mentioned, we  
3     have a lot of wholesale customers out there. I think  
4     Dr. Pearce mentioned perhaps 22 wholesale customers  
5     in various states so, you know, if there is an  
6     opportunity to enter into a contract that makes sense  
7     for us and the customer, we are going to do it. You  
8     would also -- yeah, I hope that answers your  
9     question.

10           Q.     Mr. Nelson, are SSO retail sales subject  
11     to redistribution under the AEP interconnection  
12     agreement?

13           A.     Retail sales, no.

14           Q.     Mr. Nelson, on page 14 of your testimony  
15     you provide a sample calculation of the average rate  
16     method for several levels of switching. You include  
17     margins from retail sales in your gross margin  
18     numbers; is that correct?

19           A.     They are not the margins from retail  
20     sales. I look at it a little differently. And  
21     there's a table at the top of 14 that goes through  
22     that methodology. What it says is that you don't  
23     really need to put these things in a bucket. If a  
24     kWh is available to sell in the PJM market, then that  
25     produces a certain margin and that margin, of course,

1 needs to be shared on an MLR basis.

2 And just to tie this discussion,  
3 Mr. Jones, back, if you go to my -- page 7 of my  
4 testimony, I compare the three methods I've discussed  
5 in the testimony, the results, and I think the  
6 important thing to note from this is that when you  
7 get down to 100 percent shopping, the rate under the  
8 three methods converges and, of course, that's shown  
9 on the diagram of the next page how the rates  
10 converge but it's a little bit of a different concept  
11 and -- but it -- I think the important thing from the  
12 staff point of view is under the average rate method  
13 an off-system sale is an off-system sale.

14 We are not going to be able to track that  
15 kilowatt hour and say this is an AEP kilowatt hour  
16 put into PJM. Under the pool all off-system sales  
17 are treated the same; everybody gets their MLR share  
18 of that off-system sale.

19 Q. Mr. Nelson, again going back to the  
20 average rate method proposed in your testimony, what  
21 portion of the gross margin is adjusted for MLR in  
22 the 26 percent shopping case?

23 A. You could see that on -- in the table at  
24 the top of 14 it shows you the gross margin  
25 attributable to shopping, the MLR is applied to that

1 gross margin. Because, again, it would be sold into  
2 the PJM market. We couldn't designate it,  
3 Appalachian, you don't get to share in this one, this  
4 is AEP Ohio's hour, it wouldn't work that way. So  
5 you apply the 40 percent MLR factor for AEP Ohio to  
6 that gross margin.

7 MR. JONES: That's all the questions I  
8 have. Thank you.

9 EXAMINER PARROT: Mr. Conway, would you  
10 like to take a break before we determine if you have  
11 redirect?

12 MR. CONWAY: Yes, your Honor.

13 EXAMINER PARROT: Let's take a 10-minute  
14 break. Thank you, everyone.

15 (Recess taken.)

16 EXAMINER PARROT: All right, let's go  
17 back on the record.

18 Any redirect, Mr. Conway?

19 MR. CONWAY: Just a couple of questions,  
20 your Honor, thank you.

21 - - -

22 REDIRECT EXAMINATION

23 By Mr. Conway:

24 Q. Mr. Nelson, towards the end of your  
25 cross-examination by Mr. Jones, do you recall a

1 question regarding the treatment of costs by  
2 Mr. Smith relating to the Amos and Mitchell plants?

3 A. Yes.

4 Q. And could you explain, clarify, or  
5 correct how Mr. -- Mr. Smith treated the capacity and  
6 energy costs related to Amos and Smith -- I'm sorry,  
7 Amos and Mitchell? Excuse me.

8 A. Yes. Mr. Smith left Amos and Mitchell in  
9 his capacity cost calculations. Amos and Mitchell  
10 were excluded on the energy margin calculation.

11 MR. CONWAY: Thank you, Mr. Nelson.

12 Your Honor, that's all I have.

13 EXAMINER PARROT: All right. On that  
14 limited basis any recross, Ms. Yost?

15 MS. YOST: No, your Honor.

16 EXAMINER PARROT: Ms. Thompson?

17 MS. THOMPSON: No, your Honor.

18 EXAMINER PARROT: Mr. Yurick?

19 MR. YURICK: No questions, thank you,  
20 your Honor.

21 EXAMINER PARROT: Mr. Kurtz?

22 MR. KURTZ: No questions.

23 EXAMINER PARROT: Mr. Randazzo?

24 MR. RANDAZZO: No questions, your Honor.

25 EXAMINER PARROT: Mr. Lang?

1 MR. LANG: No, thank you.

2 EXAMINER PARROT: Ms. Kaleps-Clark?

3 MS. KALEPS-CLARK: No questions.

4 EXAMINER PARROT: Mr. Jones?

5 MR. JONES: No questions, your Honor.

6 EXAMINER PARROT: Thank you very much,  
7 Mr. Nelson.

8 MR. CONWAY: Your Honors, I would renew  
9 our motion at this time of Mr. Nelson's rebuttal  
10 testimony, AEP Ohio Exhibit No. 143.

11 EXAMINER PARROT: Are there any  
12 objections to the admission of AEP Exhibit 143?

13 Hearing none, AEP Exhibit 143 is  
14 admitted.

15 (EXHIBIT ADMITTED INTO EVIDENCE.)

16 EXAMINER PARROT: Mr. Randazzo.

17 MR. RANDAZZO: Yes, I would move IEU 121,  
18 122, 123, and 124.

19 EXAMINER PARROT: Are there any  
20 objections to IEU Exhibits 122 through 124?

21 MR. CONWAY: Your Honors, there's no  
22 objection to 121 or 122. With regard to IEU 123  
23 which includes an excerpt from Mr. Pearce's exhibits  
24 to his testimony along with a number of handwritten  
25 notes, I think -- I think Mr. Nelson was not at the

1     outset overly familiar with the comparison that  
2     Mr. Randazzo sought to make, although I think he  
3     ultimately concluded it was an improper comparison  
4     and inaccurate.

5             And so we object to the admission of IEU  
6     Exhibit 123 because of the -- I believe as Mr. Nelson  
7     explained, the apples-to-oranges comparison of the  
8     handwritten notes in the margin to the excerpt from  
9     Mr. Pearce's pages KDP-3 and 4.

10            With regard to IEU 124 the witness was  
11     not familiar with the document. This is the  
12     impairment analysis document. The witness was not  
13     familiar with it. And so there's no foundation for  
14     the document through the witness.

15            I would also note that the document was  
16     dated -- had an issue date of November of 2011 which  
17     was well before the entry on rehearing in this case  
18     which, of course, changed the regulatory situation  
19     dramatically.

20            So the document in addition to not having  
21     a foundation for its admission is stale and is not --  
22     it's not able to advance the cause on any issue of  
23     fact in the proceeding. So we object to 123 and 124  
24     of IEU's exhibits.

25            EXAMINER PARROT: Response?

1                   MR. RANDAZZO: With regard to 123 I  
2     don't -- I will defer to the Bench's ruling on that.  
3     It was the handwritten numbers there for the  
4     convenience of parties. The numbers are all in  
5     Dr. Pearce's testimony, as we discussed with  
6     Mr. Nelson yesterday. And I showed him where they  
7     came from so whatever the Bench rules on 123, fine by  
8     me.

9                   With regard to 124, Mr. Conway referred  
10    to it as the impairment analysis and as your Honors  
11    know, I explored this subject with Mr. Graves when he  
12    was on the stand and he described the role of an  
13    impairment analysis relative to identifying whether  
14    or not there's adequate cash flow to recover the  
15    costs of generating assets.

16                  But more specifically, I would like to  
17    focus on what I think the major purpose of Exhibit  
18    124 is relative to the issues in this proceeding.  
19    In -- in this case AEP has taken the position that as  
20    explained in Dr. Pearce's testimony, it is -- that  
21    the AEP Ohio generating capacity and the costs  
22    associated with this capacity to support generation  
23    service to switching customers is the basis upon  
24    which a capacity charge should be developed if you  
25    believe that embedded cost-based ratemaking approach

1 is appropriate. From that assumption Dr. Pearce's  
2 mathematical illustration based upon FERC Form 1 data  
3 follows.

4 In the testimony of Mr. Nelson and other  
5 witnesses the -- Mr. Nelson acknowledged at page  
6 2533, line 14, in response to a question of mine  
7 which was the -- "but the FRR obligation as you've  
8 just defined it is an obligation that is satisfied by  
9 resources other than those owned and controlled by  
10 AEP Ohio, correct? Yeah," answering Mr. Nelson.  
11 "The FRR obligation is on a system basis, East system  
12 basis."

13 And at pages 2517 and 2518, Mr. Nelson  
14 indicated most of the issues he was addressing in his  
15 testimony were related to the generation function.  
16 As I've already indicated, Dr. Pearce's testimony  
17 contains this critical assumption that AEP Ohio's  
18 generating assets are the source of the capacity that  
19 is provided to CRES suppliers, and the cost of those  
20 generating assets should be used to compute a  
21 so-called cost-based capacity charge, and that is  
22 summarized on page 3 of Dr. Pearce's testimony as I  
23 discussed with Mr. Nelson yesterday.

24 So the entire so-called embedded cost  
25 formula rate that is proposed by AEP Ohio in this



1 proceeding is based upon Dr. Pearce's view that we  
2 should be using embedded costs of generation of AEP  
3 Ohio as the -- to establish a cost-based rate.

4 With regard to IEU Exhibit 124 which is a  
5 self-authenticating document, there's no question  
6 about its authenticity or the -- whether or not it's  
7 properly an AEP internal document that was provided  
8 in discovery. The document authenticates itself and  
9 then goes on to explain that the -- for the AEP Ohio  
10 generating assets they are not cost-based regulated  
11 generating assets, explaining that at page 3 of 5,  
12 and that the noncost-based generating assets are not  
13 operated separately but are coordinated and  
14 dispatched with the generating assets owned by the  
15 other East cost-based regulated operating companies.

16 It also states at page 3 of 5 that due to  
17 the nature of the electrical energy and the operation  
18 of the plants through the pool, it is impossible --  
19 not just difficult, it is impossible to match cash  
20 inflows from sales to cash outflows from either  
21 purchased or generated power by unit or plant.

22 At page 2 of 5 in IEU Exhibit 124 AEP  
23 acknowledges that the generation -- generation assets  
24 of the Ohio companies are not cost-based regulated.

25 Finally, getting to Mr. Conway's

1 characterization of IEU Exhibit 124, at page 4 of 5,  
2 the IEU exhibit shows the results of AEP's internal  
3 effort to determine if future cash flows from the  
4 entire AEP East generating fleet including the AEP  
5 Ohio owned and controlled generating assets are  
6 sufficient to recover the company's generating  
7 assets.

8 At page 4 of 5 the chart that's boxed in  
9 that page indicates that the excess estimated cash  
10 flow is approximately \$22.2 billion. If this was a  
11 relevant document in this proceeding, if there was a  
12 document that was probative to the core issues in  
13 this case dealing with what AEP Ohio's generating  
14 assets have to do with establishing a cost-based rate  
15 for capacity provided by AEP Ohio to CRES suppliers  
16 and whether the generating assets of AEP Ohio might  
17 be stranded as a result of some circumstance, I think  
18 Exhibit 124 is probably the most useful to the  
19 Commission's analysis.

20 For those reasons I would ask that  
21 Exhibit 124 be admitted.

22 EXAMINER PARROT: Mr. Conway.

23 MR. CONWAY: Just a few comments in  
24 response. I would just observe that this impairment  
25 analysis document, again, is directed towards

1 analyzing the entire AEP East fleet, not -- not AEP  
2 Ohio. So it's not connected to the subject at hand  
3 here which is AEP Ohio.

4 It deals with cash flow analyses. It  
5 doesn't deal with ratemaking which is what we're  
6 about here. And it also deals with the matter on a  
7 30-year review. It doesn't deal with it on a current  
8 three-year -- three-year forward view. So it's  
9 not -- simply isn't relevant to any of the issues of  
10 the case despite Mr. Randazzo's efforts to  
11 characterize it otherwise. So we would object to the  
12 admission of the document.

13 EXAMINER PARROT: Are there any other  
14 objections to the admission of IEU Exhibits 121  
15 through 124?

16 All right. IEU Exhibits 121 through 122  
17 there are no objections. Those are both admitted.

18 (EXHIBITS ADMITTED INTO EVIDENCE.)

19 EXAMINER PARROT: With respect to  
20 Exhibits 123 and 124, the Bench will also admit those  
21 exhibits and allow the Commission to determine what  
22 weight, if any, should be afforded to them based upon  
23 the testimony of the witness.

24 Finally, Mr. Lang.

25 MR. LANG: Thank you, your Honor. FES

1 moves Exhibit FES No. 126.

2 EXAMINER PARROT: Are there any  
3 objections to the admission of FES Exhibit 126?

4 MR. CONWAY: No, your Honor.

5 EXAMINER PARROT: All right. Very good.  
6 FES Exhibit 126 is admitted.

7 (EXHIBIT ADMITTED INTO EVIDENCE.)

8 EXAMINER PARROT: Mr. Conway.

9 MR. CONWAY: Thank you, your Honor.  
10 (Witness sworn.)

11 EXAMINER SEE: Mr. Conway.

12 MR. CONWAY: Thank you, your Honor.

13 - - -

14 EUGENE T. MEEHAN

15 being first duly sworn, as prescribed by law, was  
16 examined and testified as follows.

17 DIRECT EXAMINATION

18 By Mr. Conway:

19 Q. Mr. Meehan, could you state your full  
20 name for the record.

21 A. My name is Eugene T. Meehan, M-E-E-H-A-N.

22 Q. And, Mr. Meehan, by whom are you  
23 employed?

24 A. I'm Senior Vice President with NERA  
25 Economic Consulting.

1           Q.    And, Mr. Meehan, did you prepare or have  
2 prepared under your supervision rebuttal testimony  
3 which has been prefiled in this proceeding?

4           A.    Yes, I did.

5           Q.    And, Mr. Meehan, do you have a copy of  
6 your prefiled testimony with you?

7           A.    I do.

8           MR. CONWAY: Your Honors, at this time I  
9 would like to mark as AEP Ohio Exhibit 144, I  
10 believe, Mr. Meehan's rebuttal testimony that was  
11 prefiled in this proceeding.

12           EXAMINER SEE: The exhibit is so marked.

13           (EXHIBIT MARKED FOR IDENTIFICATION.)

14           Q.    Mr. Meehan, I would like to ask you  
15 whether you have some -- any corrections or additions  
16 to make to your testimony at this time, and I would  
17 first like to turn your attention to page 26 of your  
18 prefiled testimony and ask you if you have any  
19 corrections to make on page 26.

20           A.    Yes. On line 4 of page 26, the word "or"  
21 should be "for," F-O-R.

22           Q.    And before we continue on, do you have  
23 any other corrections to make to any of the pages of  
24 your testimony that precede page 26?

25           A.    Yes, I have a few corrections on page 8.

1 On page 8, line 18, "33.75" should be "33.25."

2 Q. Those are dollars, Mr. Meehan?

3 A. Yes, 33.70 -- "\$33.75" should be  
4 "\$33.25". On line 20, "\$3.75" should be "\$3.25." "33  
5 percent" should be "35 percent," on that same line.

6 On line 21, "33 percent" should be  
7 "35 percent," and on line 22, "33 percent" should be  
8 "35 percent." Those are the additions/corrections  
9 that would precede that.

10 Q. Okay. And then you mentioned a change on  
11 page 26 changing the word "or" to "for" on line 4; is  
12 that correct?

13 A. Correct.

14 Q. And then what is the next correction you  
15 have to your testimony, if any?

16 A. On page 33, line 3, it would be more  
17 accurate if "under \$700 million" read "under  
18 \$600 million." Both, of course, are true, but "under  
19 600 million" would be more accurate.

20 Q. I notice that your Exhibit ETM-1 which is  
21 your resume or your vitae is -- is referred to as  
22 ETM-1. Would you have a correction to the  
23 designation of that exhibit to your testimony?

24 A. Yes. To be consistent with the  
25 testimony, it should be ETM-R1.

1           Q.    Okay.  Now, your testimony indicated a  
2   change of the "\$700 million" figure to "\$600 million"  
3   on page 33 and that -- does that relate to your  
4   exhibits ETM-2 and 3?

5           A.    Yes.  It would be from ETM-2, from the  
6   bottom box of ETM-2.

7           Q.    Okay.  Do you have any corrections to  
8   make to the Exhibits ETM-2 and ETM-3?

9           A.    I do.  I have replacement exhibits for  
10   ETM-2 and 3.  There -- they are in substance the  
11   same, very little change to the numbers, but the  
12   replacement exhibits would match my workpapers.

13                  So the replacement exhibits were the  
14   exhibits that were distributed with the workpapers,  
15   workpaper 11A, and were the exhibits intended to be  
16   filed with the testimony, inadvertently an earlier  
17   set of ETM-2 and 3 from a run that was not finalized  
18   was filed with the testimony.

19                  So Exhibit ETM-R2 and ETM Exhibit R3  
20   which are being handed out now would replace those  
21   exhibits.  As I would note, the changes are on the  
22   order of 1 percent and would not affect any of my  
23   conclusions.

24           Q.    So is your correction that you would have  
25   substituted for what currently is included with your

1 prefiled testimony as Exhibits ETM-2 and ETM-3 the  
2 exhibits being passed out which are designated as  
3 ETM-R2 and ETM-R3?

4 A. Yes. Those are the exhibits I intended  
5 to attach to the testimony and are the exhibits  
6 included and consistent with my workpapers.

7 Q. And do you have any other corrections or  
8 additions to make to your testimony at this time?

9 A. No, I do not.

10 MR. CONWAY: Your Honor -- excuse me.

11 Q. And if I were to ask you the questions in  
12 your prefiled direct testimony which has been marked  
13 as AEP Ohio Exhibit 145, would your answers be the  
14 same as they appear in that document as corrected in  
15 the manner you have described here this morning and  
16 supplemented substitution of revised Exhibits ETM-R2  
17 and R3?

18 A. Yes, they would.

19 EXAMINER SEE: Mr. Conway, you said  
20 Exhibit 144 or 145? I think it should be AEP 144.

21 MR. CONWAY: Hold on a second.

22 Thank you for that correction, your  
23 Honor. You are right. It should be 144.

24 Q. Mr. Meehan, could you make that change to  
25 your testimony so if you get questions about AEP



1 Exhibit 144, there is no doubt in your mind that's  
2 your rebuttal testimony?

3 A. Yes, I will.

4 MR. CONWAY: Thank you, your Honor.

5 Q. Let me ask the question again then,  
6 Mr. Meehan. With the corrections and additions  
7 you've made to your prefiled rebuttal testimony that  
8 is corrected and supplemented by the manner in which  
9 you've described this morning, including the revised  
10 Exhibits ETM-R2 and R3 that have now been substituted  
11 for your testimony previously marked as AEP Ohio  
12 Exhibit 144, would your answers be the same as they  
13 appear in that document?

14 A. Yes, they would, Mr. Conway.

15 MR. CONWAY: And, your Honors, at this  
16 time I would move for the admission of AEP Ohio  
17 Exhibit 144, and Mr. Meehan is available for  
18 cross-examination.

19 EXAMINER SEE: Ms. Kaleps-Clark.

20 MS. KALEPS-CLARK: No questions, your  
21 Honor. Thank you.

22 EXAMINER SEE: Mr. Lang?

23 MR. LANG: Yes, thank you, your Honor.

24 - - -  
25

## CROSS-EXAMINATION

By Mr. Lang:

Q. Good morning, Mr. Meehan.

A. Good morning, Mr. Lang.

Q. When were you first retained by AEP Ohio for this engagement?

A. The 26th or 27th of April.

Q. And what was your assignment?

A. My assignment was to review the testimony then of Mr. Harter, critique the testimony, and if alternate modeling was needed to perform that critique, to perform alternate modeling.

Q. When did you first start your work?

A. I would say it was a Friday, I believe if the 28th was the closest Friday, probably starting substantive work would have been the 28th. There may be a little work the day before on the Thursday. So I'm not sure. If the 27th was a Friday, then it was the 27th.

Q. All right. On pages 27 and 28 of your testimony, you describe different data provided to you -- provided to you by AEP Ohio Witness Nelson. Can you -- can you tell us on what date Mr. Nelson provided that data to you?

A. That data would have come in on, you

1 know, the 27th, 26th, 27th, 28th of April, dribbling  
2 in in different fashions.

3 Q. So that would have been right around the  
4 date that you were retained?

5 A. Yes.

6 Q. Did you also execute a contract with AEP  
7 Ohio on that -- on the date you said was your  
8 retention date?

9 A. No. The work has been quite expedited.  
10 We have been doing this all on just an oral  
11 understanding.

12 Q. Okay. Were you in the room when  
13 Mr. Nelson earlier today described the data that he  
14 provided to you?

15 A. Yes.

16 Q. And was his description of the data that  
17 he provided to you accurate? Is there anything that  
18 he left out?

19 A. It's hard to do that from memory. He  
20 certainly got the key elements, which were the  
21 input/output curves, the fuel costs, the minimum up  
22 and down times.

23 We also received maintenance schedules,  
24 retirement dates, information on units that were must  
25 run, units that were not staffed on a seasonal basis,

1 projections of the costs of the coal units  
2 considering the current contracts, the adders or  
3 basis for gas.

4 We did actually develop our own forward  
5 gas and power price forecasts. And we did receive  
6 things like variable O&M consumables and emission  
7 allowance costs from AEP -- or emission allowance  
8 prices, I guess would be.

9 Q. So you said that you used your own  
10 natural gas price forecasts so you did not use what  
11 was provided to you by AEP with regard to natural gas  
12 price forecasts?

13 A. Well, AEP had provided natural gas price  
14 forwards, but they were as of the date of March. We  
15 examined our own forwards. We took our gas forward  
16 prices from -- for the last update of this testimony  
17 I believe it was May 9.

18 Q. So your natural gas forwards would be as  
19 of May 9. Can you tell us how that compared to what  
20 AEP provided that was from sometime in March?

21 A. Not exactly but the forwards have dropped  
22 considerably from March 16 to now so they are lower.

23 Q. Now, you also mentioned fuel cost data,  
24 and on page 19 of your testimony, line 3, you state  
25 that "The correct level of fuel cost is about \$24 per

1 megawatt hour based on data provided by AEP."

2 Can you tell me what data you used to  
3 develop the estimate of \$24 per megawatt hour fuel  
4 costs for Gavin?

5 A. Yes. AEP would have provided a forecast  
6 for each month of the fuel that would come out of  
7 inventory for Gavin, I think primarily based upon  
8 existing contracts committed to over the period. Of  
9 course, if they didn't do the whole burn, it would be  
10 filled in with some spot purchases, but it is what  
11 AEP forecasts right now based upon its contracts that  
12 are locked in, probably a little residual at spot for  
13 what the fuel costs for Gavin will hit the books on  
14 at each month in the future.

15 Q. Did you have an opportunity to review any  
16 of the coal contracts for Gavin?

17 A. I did not do that. I relied on AEP for  
18 the cost data.

19 Q. Do you know whether the coal contracts  
20 include must-take provisions?

21 A. No, I did not review the coal contracts.

22 Q. Just asking you if you know what -- if  
23 you happen to know if that's a particular provision  
24 that's in the contract, if that's something you  
25 discussed with Mr. Nelson or someone else at AEP?

1           A.    No, I do not know whether -- the type of  
2 contract.

3           Q.    Did you learn from AEP whether the coal  
4 contracts have any price adjustment provisions?

5           A.    No. I did not review that.

6           Q.    Did you -- with regard to the fuel cost  
7 estimates for the time period of the analysis that  
8 was provided by AEP, did you confirm that data  
9 against other -- other non-AEP data?

10          A.    No. I'm really sponsoring the analysis,  
11 and I'm relying on AEP to provide and support  
12 independent cost data.

13          Q.    Does your analysis assume that there will  
14 be changes in coal prices over the next three years?

15          A.    There are -- there certainly are changes  
16 in coal prices on a monthly basis.

17          Q.    Is there -- is there an identifiable  
18 trend? Is it trending up, down? Is it something you  
19 could say?

20          A.    You know, it's in my workpapers. My  
21 general feeling is that there's a light upward trend,  
22 not a large upward trend, but you certainly can look  
23 at that.

24          Q.    Does your analysis take into account  
25 forward energy sales made by AEP Ohio -- or made by

1 AEP?

2 A. No. My analysis, as I state in my  
3 testimony, is an analysis of the gross margins that  
4 could be achieved selling the entire output of the  
5 units against the PJM spot market.

6 Q. Mr. Meehan, would it be fair to assume as  
7 part of your analysis that if AEP Ohio does have  
8 long-term contracts for coal, that AEP Ohio would  
9 also be engaging in forward energy sales as a hedge  
10 against those contracts?

11 A. No, not necessarily.

12 Q. Is -- would it be one of the options for  
13 AEP Ohio to engage in?

14 A. Could AEP Ohio make a forward sale? I  
15 don't know of anything that would prohibit that but  
16 they do have -- obviously still have a residual load  
17 obligation for the load that does not switch.

18 Q. If I could ask you to turn to page 23 of  
19 your testimony. At lines 3 to 5 you refer to the  
20 unrealistic assumption that units can be turned off  
21 and on at the flip of a switch. Is -- is it your  
22 position that the AuroraXMP model does that?

23 A. Well, it would be my position that I  
24 would suspect the AuroraXMP model gives the user a  
25 lot of ways to control if that's done or not. But

1 from Ms. Medine's testimony where she says that units  
2 have input into the model into her version of Aurora,  
3 only the full load heat rate and a zero on or off  
4 heat rate, that, yes, the way she is using the model,  
5 she has to be using it in a way that allows that, and  
6 I think my analysis confirms that that has to be the  
7 case. That's the only way she could get numbers that  
8 unrealistic, in part, would be to use the model that  
9 way.

10 Q. If the model is turning units off and on  
11 by the hour, then it would not reflect negative  
12 margins for any hour; is that correct?

13 A. That should be the case, yes.

14 Q. Okay. Are you aware that Ms. Medine's  
15 model runs do reflect negative margins?

16 A. No. I don't believe that level of detail  
17 was provided.

18 Q. On page 25 of your testimony, lines 7  
19 through 11, you state that price will differ by  
20 plant. Is it -- is it correct that your analysis  
21 does not include the impact of the AEP pool agreement  
22 or the AEP East interconnection agreement on energy  
23 revenues?

24 A. Yeah. I make clear right up front in my  
25 testimony I'm looking at the gross margins, what the



1 units would get selling in their entirety to the PJM  
2 market. I am not looking at the AEP intercompany  
3 agreement.

4 Q. Now, the units -- when the units sell  
5 into the PJM market, that's done through the AEP East  
6 pool; isn't that correct?

7 A. I don't believe that's correct. I don't  
8 believe the pool sits between the units and the  
9 market. There may be a bidding agent, a service  
10 corporation that does, but the pool would operate  
11 after the fact.

12 Q. Well, the pool -- well, can you explain  
13 what you mean the pool operates after the fact, that  
14 means the pool deals on -- on the revenue side; is  
15 that what you're referring to?

16 A. No. We -- operate after the fact to  
17 divide up the load and the generation. I mean PJM is  
18 a gross -- essentially you can look at all the  
19 generation as being sold into the PJM market and all  
20 of the load that's being purchased from the PJM  
21 market.

22 Q. And then under the pool, the revenue from  
23 off-system sales is allocated on a pool-wide basis;  
24 is that your understanding?

25 A. You know, I don't even get into that.

1 I'm preparing the gross margins. I think the parties  
2 in this case, both staff and AEP, have their  
3 methodology for going from gross margins to  
4 reflecting pool sales, but that's not an issue that I  
5 looked at.

6 Q. On page 28 of your testimony, the top  
7 around line 3, I think, you refer to units that must  
8 run for area security. Is the determination of those  
9 units also based on information provided to you by  
10 AEP Witness Nelson?

11 A. Yes, it is.

12 Q. Is part of what's included in your  
13 analysis calculating the 8,760 hours shape for  
14 day-ahead LMPs?

15 A. Yes.

16 Q. And that's done -- that calculation is  
17 done at the AEP -- is done at the AEP generation hub?

18 A. Yes, and then it's adjusted to the plant  
19 loads.

20 Q. So what is the basis for that  
21 calculation?

22 A. Okay. I'll just refer to my testimony  
23 so -- to make it a little bit easier to follow. It  
24 would start at page 23, line 16. So at page 23, line  
25 16, as I describe for the first step is to take the

1 monthly on- and off-peak market price for each month,  
2 this would be the quoted price, the average of the  
3 bid in ask at the AD Hub for the remainder of '12,  
4 2013, '14 and the first four months of '15.

5 Now, generally what we'll see at this  
6 point in time is that for the remainder of '12, the  
7 detail is available on a monthly or bi-monthly basis  
8 for on- and off-peak quotes.

9 For 2013, peak quotes are available. For  
10 '14, '15 and off peak of '15 only calendar quotes are  
11 available so the first step. Then we look at  
12 historical ratios from January, 2009, until the  
13 present and we look at where the individual months  
14 traded relative to the annuals and we break the  
15 annual calendar quotes if monthly quotes aren't  
16 available out into annual -- out into monthly on- and  
17 off-peak quotes. So for each month from 2012 to  
18 2015, we have a market representation of the actual  
19 quote at the AD Hub.

20 Now, the second step we calculate the  
21 basis differential between the AD Hub which is the  
22 AEP Dayton Hub which is a traded point where the  
23 forward market's quoted and the AEP generation hub  
24 and we do that using historical day-ahead LMP data.  
25 Just to be clear, the basis differential is the

1 percentage difference.

2 And what we would see is that  
3 consistently or fairly consistently the AEP gen hub  
4 trades a few percent below or prices out a few  
5 percent below the Dayton Hub, the AEP Dayton Hub. We  
6 then develop 8,760 hour shape using 2011 data for the  
7 day-ahead LMPs at the AEP generation hub. And --

8 Q. I think I can -- if I could stop you  
9 there, because that was -- the question was about  
10 that -- I guess only through bullet point 3. So and  
11 you said when you developed that shape, you are using  
12 2011 data, you are not using the average of the 2012  
13 through 2015 that's in the first bullet point; is  
14 that correct?

15 A. Right. That doesn't exist.

16 Q. Okay. What is the basis for believing  
17 that the pattern of day-ahead prices in 2011 will be  
18 representative of prices going forward?

19 A. Well, one of the things is that these  
20 things change every day so even though we are using  
21 one year, we are getting 8,760 different  
22 observations. And consistently in my experience a  
23 hub line, the generation hubs are always going to  
24 trade below the AD Hub.

25 When you use a model, you have to assume

1 single year for load shape so it's a necessity to  
2 assume a single year. I think 2011 is as good as any  
3 historic year that we have. In my experience what  
4 year you use wouldn't make a big difference. So  
5 using it is a necessity to take a year and I used the  
6 most recent historical year.

7 MR. LANG: Thank you, Mr. Meehan. That's  
8 all the questions.

9 EXAMINER SEE: Ms. Kingery.

10 MS. KINGERY: I have no questions, thank  
11 you.

12 EXAMINER SEE: Mr. Darr.

13 MR. DARR: Thank you, ma'am.

14 - - -

15 CROSS-EXAMINATION

16 By Mr. Darr:

17 Q. Good morning, Mr. Meehan.

18 A. Good morning, Mr. Darr.

19 Q. This is the -- at least the second time  
20 that you've prepared testimony for the Ohio  
21 Commission; is that correct?

22 A. It's the third time.

23 Q. And at least one case you prepared  
24 testimony with regard to -- do you want to take a  
25 break?

1           A.    I'm good.

2           Q.    Previously you provided testimony for the  
3 FirstEnergy operating companies; is that correct?

4           A.    I did.

5           Q.    And in preparation for that testimony you  
6 reviewed the statutory provisions that would govern  
7 the approach used by the FirstEnergy company in that  
8 case, correct?

9           A.    Yes, I did.

10          Q.    And specifically in that case you were  
11 looking at the operating provisions or the operable  
12 provisions of Senate Bill 3 as the effect of the  
13 FirstEnergy transition plan; am I correct in that as  
14 well?

15          A.    That would be correct.

16          Q.    And in your testimony that you prepared  
17 you indicated specifically what the transition period  
18 would be in that case?

19          A.    I don't recall that. I recall looking at  
20 shopping projections. And opining on the  
21 reasonableness of the shopping direction.

22          Q.    Specifically your testimony was to  
23 address the shopping credit and any incentive credit,  
24 correct?

25          A.    I believe that's correct, yes.

1           Q.    In preparation for that you also analyzed  
2           the relevant market periods or market transition  
3           periods as well, did you not?

4           A.    I may have.  I don't recall that portion  
5           of the testimony.

6           Q.    Would it assist you in your testimony  
7           today to take a look at that testimony?

8           A.    Sure.

9           Q.    And if it would assist you, specifically  
10          if you would take a look at pages 3 and 4.

11          A.    Okay.  I'm there.

12          Q.    Could you take a look at that and tell me  
13          if this refreshes your recollection?

14          A.    Yes.

15          Q.    And you identified at that time that  
16          there would be a five-year market development period,  
17          correct?

18          A.    Right.  I was not developing that.  I was  
19          just identifying that, yes.

20          Q.    And also you identified that there would  
21          be a five-year rate freeze with a discount of  
22          5 percent on the generation rate -- or a 5 percent  
23          generation rate reduction for residential customers,  
24          correct?

25          A.    Correct.

1           Q.    And you also identified the Commission  
2           would have to make findings of the level of the  
3           generation costs and generation regulatory assets  
4           which will determine the amount that the EDU would be  
5           permitted to collect, correct?

6           A.    Yes, that was my understanding of one of  
7           the key elements of the prevailing legislation.

8           Q.    And you also identified there would be a  
9           limit on the period of recovery for generation  
10          transition costs which you identified as above market  
11          or stranded generation costs of five years and  
12          establish the number of EGC or generation assessment  
13          charge per kWh basis in order to recover those costs,  
14          correct?

15          A.    That was my understanding of SB 3 as it  
16          applied to the FirstEnergy operating companies, yes.

17          Q.    And I may have misspoke.  The GTC, the  
18          generation transmission cost, correct?

19          A.    Yes, correct.

20          Q.    And there would also be a determination  
21          of the generation components or as it became --  
22          officially became known as big G of the rate by  
23          subtracting from the total frozen rate of the T&D  
24          component or unbundled components such as taxes,  
25          regulatory transition charge, and the generation



1 transition charge, correct?

2 A. That is correct.

3 Q. Now, for this assignment, you outlined  
4 for us some of the materials that Mr. Nelson provided  
5 for you and that included a variety of AEP-specific  
6 cost information and projections, if I understand it  
7 correctly; is that right?

8 A. Yes, basically AEP cost information.

9 Q. And when we are talking about AEP, are we  
10 talking about the generation facilities of AEP Ohio,  
11 or are we talking about some larger entity?

12 A. Just AEP Ohio for my analysis, only the  
13 AEP Ohio information was required.

14 Q. And when we're talking about the  
15 information you received, are we talking about any  
16 information with regard to other resources that might  
17 be deemed generation resources for purposes of PJM?

18 A. I don't understand the question.

19 Q. You're familiar that there are different  
20 kinds of resources that may be bid into the PJM  
21 market?

22 A. Yes.

23 Q. And some of those resources are, in fact,  
24 generation plant, correct?

25 A. Correct.

1           Q.    Some of those resources may also be  
2 energy efficiency resources, correct?

3           A.    I don't believe energy efficiency can be  
4 bid into the energy market.

5           Q.    How about demand resources?

6           A.    There's certain types of demand resources  
7 that can be bid.

8           Q.    Would emergency response resources be  
9 part of those?

10          A.    They could be.

11          Q.    I'm sorry?

12          A.    It's possible.

13          Q.    What about the capacity market?  Are  
14 there different kinds of resources that could be bid  
15 into that market as well?  Besides --

16          A.    Besides --

17          Q.    Plant?

18          A.    -- generation?

19                Well, there are certain demand resources  
20 that will qualify for some of the energy limited  
21 components of the capacity market.

22          Q.    What about energy efficiency?

23          A.    You know, I am not sure in PJM what  
24 they've done on that.  I know in some markets you can  
25 bid energy efficiency into capacity markets and

1 others you can't.

2 Q. Are you familiar with the reliability  
3 assurance agreement?

4 A. I haven't read it in about 10 years.

5 Q. And that would predate the creation of  
6 the RPM market, correct?

7 A. I think the reliability assurance  
8 agreement does predate that, yes.

9 Q. Make sure we're talking about the same  
10 thing, would you agree with me that the RPM market  
11 was created as a result of modifications in roughly  
12 2004, 2005, through 2006? If you know.

13 A. Modifications to what? I know the market  
14 started in 2007.

15 Q. And replaced the capacity credit market?  
16 So your review of the RAA predated the adoption of  
17 RPM?

18 A. Yes, but as I said, I believe the RAA  
19 itself does.

20 Q. Going back to the question that -- before  
21 we started off on this discussion of the RAA, besides  
22 the materials that were provided to you by AEP Ohio  
23 with regard to the operation of their facilities and,  
24 for example, future energy and environmental  
25 expenses, did you receive any documentation about the

1 scope or statutory provision that would govern this  
2 proceeding?

3 A. No.

4 Q. Did you receive any materials with regard  
5 to administrative provisions that might govern this  
6 proceeding?

7 A. No. I don't believe they would be  
8 necessary. My assignment was to review Mr. Harter's  
9 testimony, subsequently Ms. Medine's testimony, and  
10 provide my opinion as to how well that reflected  
11 gross margin.

12 Q. So the bottom line is you were to provide  
13 a correction and a proposal as to how to calculate  
14 the energy credit.

15 A. Definitely not -- that's not what I  
16 testified to. It's not what I did.

17 Q. Well, share with me again the scope so  
18 that we all understand it.

19 A. My scope was to critique Mr. Harter and  
20 Ms. Medine's testimony as to the level of gross  
21 margins produced, and in doing so, if needed, to come  
22 up with an alternate quantification of gross margins.  
23 Gross margins are one input in the capacity credit.  
24 I don't go beyond gross margins. That's something  
25 that both AEP and staff have methodologies for doing.

1       So I don't delve beyond the gross margin analysis.

2               Q.     Fair enough.  If I understand it  
3       correctly, then, the scope of your task for today was  
4       to provide testimony with regard to a critique of the  
5       staff position with regard to the energy credit and  
6       also to provide an alternative calculation as to the  
7       energy credit; is that correct?

8               A.     Well, the primary purpose for the  
9       alternative calculation is to examine the  
10      reasonableness of staff's calculation.  But in doing  
11      so I do provide an alternate calculation that could  
12      potentially be used after processing for the other  
13      factors to compute an alternate version of the energy  
14      credit.

15              Q.     So I'm guessing the answer to my question  
16      is yes?

17                   MR. CONWAY:  Objection.  He answered the  
18      question.

19                   MR. DARR:  Actually, he didn't, your  
20      Honor.  He gave us a wonderful explanation of what he  
21      did but he didn't answer the question, which was yes  
22      or no.

23                   MR. CONWAY:  He explained what the  
24      purpose of his testimony was including the  
25      alternative calculation of the energy credit as a

1 means to critique the staff's position. He's  
2 explained it twice now and Mr. Darr keeps trying to  
3 go back and get him to agree that it's two separate  
4 things that he did when it's all integrated, so I  
5 object.

6 MR. DARR: And I object to Mr. Conway  
7 explaining his testimony, your Honor.

8 EXAMINER SEE: Thank you. Thank you,  
9 Mr. Darr.

10 Thank you, Mr. Conway.

11 (Record read.)

12 EXAMINER SEE: Go on, Mr. Darr.

13 MR. DARR: Thank you, your Honor.

14 Q. (By Mr. Darr) Based on your experience  
15 here in Ohio, is it your understanding that  
16 generation is a competitive service under Ohio law?

17 A. You know, I don't feel comfortable  
18 answering that question. After SB 3 I think I would  
19 have said yes. With the new legislation I have to  
20 say I really just don't understand how the --  
21 certainly people are certainly always allowed to  
22 shop, but I really don't understand the intersection  
23 of competitiveness in regulation under the whole  
24 energy supply plan framework.

25 Q. Have you made any independent study of

1 the effects of Senate Bill 3 -- excuse me, Senate  
2 Bill 221 on Senate Bill 3?

3 A. No. That's why I don't understand it. I  
4 have done no studies.

5 Q. Would you agree with me capacity service  
6 is a part of the generation service?

7 A. No. I just don't have a good enough  
8 basis for understanding what you mean by those terms.

9 Q. Well, on page 8 of your testimony, you  
10 state "As I understand the situation, the PUCO may  
11 set an FRR capacity rate that is generally based on  
12 subtracting energy margins from fixed costs." What's  
13 the source of that understanding?

14 A. I recall reading prior pleadings in the  
15 capacity case, I guess it's this case where it was  
16 explained that AEP was requesting a cost-of-service  
17 rate.

18 Q. Are you opining as to the scope of the  
19 Commission's authority to set that rate?

20 A. I am not.

21 Q. And you've already indicated that I  
22 believe that you haven't reviewed the -- well, let me  
23 ask this again.

24 In case I've missed it, have you reviewed  
25 in any way the FRR provisions as part of your

1 presentation of your testimony? I'm speaking now of  
2 the ones contained in the PJM document.

3 A. No. Again, I'm just looking at the gross  
4 margins and that would not be relevant to my -- to my  
5 work here.

6 Q. Repeatedly in your testimony you  
7 criticize the gross margin estimate developed for the  
8 staff to be used as an offset for the cost-based  
9 capacity for AEP Ohio during the remainder of the  
10 fixed resource requirement period; is that correct?

11 A. Correct.

12 Q. Is it correct that one of your most  
13 significant criticisms, which I noted at page 6, the  
14 second bulleted point, of the energy margin analysis  
15 performed on behalf of the staff or for the staff, is  
16 the failure to calibrate the model outputs against  
17 actual market results; is that correct?

18 A. I think that's conceptually correct, yes.

19 Q. Would it be your view that any  
20 administratively determined offset should be  
21 calculated in a similar manner, that is, against the  
22 market to the extent that forward-market prices are  
23 available?

24 A. Yes.

25 Q. In order to calibrate model outputs,



1 would another option to using future prices be the  
2 use of actual market transactions? Other actual  
3 market transactions?

4 A. Well, if they were contemporaneous and  
5 covered the same product or service, sure, you could  
6 look at that. But they would have to be  
7 contemporaneous is the key.

8 Q. Would bids in an auction for electricity  
9 supply be another valid source for those future  
10 market prices?

11 A. I would doubt you would find one for a  
12 comparable product.

13 Q. If you could, would that be appropriate?

14 A. If you could find one for the net  
15 revenues produced by plants sufficient as AEP's, I  
16 don't think it would be for supply.

17 It would be to have some type of product  
18 like that. It certainly could be appropriate, but I  
19 don't think that exists in the market.

20 Q. Your testimony indicates that you relied  
21 on Mr. Nelson for all the units' specific operating  
22 characteristics, and I think we mentioned that  
23 earlier, correct?

24 A. Correct.

25 Q. Do you know if the costs provided to you

1 by Mr. Nelson are historical actual costs or whether  
2 they are forecast in the future costs?

3 A. As I said, I believe by and large they  
4 are forecasts formed especially on the fuel price  
5 side by existing contractual provisions, but they are  
6 forecasts of the costs that will prevail over the  
7 2012 to 2015 period.

8 Q. So it's your belief these are forecasts  
9 as opposed to historical; is that correct?

10 A. That's correct.

11 Q. Mr. Nelson also provided with you forced  
12 outage rates; is that correct?

13 A. Correct.

14 Q. Do you know if those were historical or  
15 estimated future forced outage rates?

16 A. I don't know. My suspicion would be they  
17 would be historical, that companies would not  
18 forecast those.

19 Q. Your workpapers show you used quotes for  
20 power needed at the AD Hub, as we discussed  
21 previously. Do you know what the source for those  
22 quotes is?

23 A. You know, I don't. I discussed that with  
24 my staff. They regularly pull these quotes, and it  
25 would probably be Bloomberg. They also have access

1 to broker quotes, but they tend to rely on Bloomberg  
2 when it's possible.

3 Q. Did you go back and verify a particular  
4 source?

5 A. No. Again, someone on my staff did that  
6 and someone else checked it. I didn't go back and  
7 verify those calculations.

8 Q. Is it correct within of your criticisms  
9 of the analysis performed on staff is that it fails  
10 to accurately reflect how AEP generating units will  
11 be run?

12 A. Yes, that is correct.

13 Q. And that's because you believe the  
14 modeling performed on behalf of the staff does not  
15 accurately capture things like minimum and maximum  
16 run times, heat rates, and that vary over the output  
17 range of a generation plant, correct?

18 A. That's correct.

19 Q. And an additional criticism you have to  
20 the staff analysis is that they relied upon zonal  
21 rather than nodal models; is that correct?

22 A. That's correct.

23 Q. Is it correct that congestion occurs in  
24 the LMP market price when that -- let me start over  
25 again. Is it correct that when congestion occurs in

1 an LMP market price, there's separation that occurs  
2 in the price of the buses?

3 A. Yes.

4 Q. Is it correct that when congestion occurs  
5 in an LMP market, a generation unit that is  
6 contributing or causing the congestion will see its  
7 price lowered at that bus?

8 A. Well, I think that's a fair  
9 characterization, yes.

10 Q. And when congestion occurs in an LMP  
11 market, if additional output from a generator could  
12 help relieve the transmission constraint, the price  
13 of that -- at that generator's bus in the network  
14 will increase, correct?

15 A. Relative to what it would be absent no  
16 congestion, yes.

17 Q. Are you aware that congestion is a  
18 frequent occurrence in an LMP network?

19 A. Yes.

20 Q. Did you study as part of your analysis  
21 for this proceeding how many hours in the recent  
22 years in which congestion affected the prices within  
23 the AEP zone in PJM?

24 A. Yes.

25 Q. Did PJM dispatch generations up or down

1 to manage that congestion, if you know?

2 A. Well, there would be some nodes with  
3 negative congestion which would imply a downward  
4 dispatch; some nodes with positive congestion which  
5 imply an upward dispatch.

6 Q. Are you aware if PJM has contracts with  
7 other entities such as the Midwest ISO that would  
8 obligate PJM to re-dispatch this energy to help  
9 manage transmission within the Midwest ISO?

10 A. I am not aware of PJM contracts with the  
11 Midwest ISO.

12 Q. Now, you relied on future market prices  
13 as the foundation of your analysis over this  
14 three-year period, correct?

15 A. For the revenue side of my analysis, yes.

16 Q. And these prices that you relied on were  
17 a combination of monthly and annual delivery quotes?

18 A. That's correct.

19 Q. So for a number of these months during  
20 this period, you did not have information at the  
21 hourly level of granularity, correct?

22 A. Right. I went through that with  
23 Mr. Lang, how we created the hourly profiles.

24 Q. And we've discussed -- you discussed with  
25 him and it's discussed in your testimony how you

1 broke that down to hourly average amounts, correct?

2 A. Correct.

3 Q. In your workpapers do you have any  
4 estimates of the AEP East hourly loads during the  
5 three periods -- three-year period you analyzed?

6 A. No. It's not a necessary input to my  
7 workpapers.

8 Q. Did, in your workpapers did you estimate  
9 the PJM hourly loads during the three years?

10 A. No. Again, I would say that's not a  
11 necessary input to my workpapers.

12 Q. Did you look at the eastern  
13 interconnection for purposes of doing your analysis?

14 A. Implicitly, yes, I think the eastern  
15 interconnection is certainly implicit in the AD Hub,  
16 the market outlook of what's going to be happening  
17 through there and how it's going to flow through to  
18 this market, yeah. Yes.

19 Q. Did you have in your workpapers any  
20 estimate of the eastern connection hourly loads  
21 during the three-year period?

22 A. No. Again, it's not necessary.

23 Q. In terms of your determining of the  
24 dispatch, can you explain to us how you dispatch the  
25 generating units as you an -- that you analyzed in

1 order to estimate the gross margins?

2 A. Yes. Once I have an hourly profile which  
3 is based off the forward prices for the month, the  
4 on- and off-peak periods and the historic AEP gen hub  
5 load shape adjusted to the nodes by a basis factor, I  
6 then look in detail at each of the -- each of the  
7 units and look at their costs and their operating  
8 constraints, their minimum up and down time.  
9 Essentially simplistically I can describe -- go  
10 through on a chronological basis, start the unit up  
11 when the outlook for profits over its minimum up time  
12 would be positive and the profits in that hour would  
13 be positive, shut the unit down when the outlook and  
14 the hourly profits cease to be positive.

15 If the unit started up, it has to run  
16 over its minimum down time, or minimum up time. If  
17 it's down, it has to stay down over its minimum down  
18 time and then determine if a unit would not run, it  
19 would not be economic to -- it would be economic to  
20 run over the entire, let's say, 36 or 72 hour up time  
21 period.

22 But let's say over the nighttime hours it  
23 would be uneconomic, it runs at minimum load, and  
24 then look for situations where if it's on at minimum  
25 load but it would be more economical to -- because of

2714

1 the low incremental cost at that point increase its  
2 loading we would increase the loading at that point  
3 and figure out where the unit would run in light of  
4 these constraints, what its revenues would be and  
5 what its costs would be.

6 Q. Now, this was specific for the AEP units  
7 only, correct, AEP Ohio units?

8 A. AEP Ohio units, correct.

9 Q. Your dispatch model did not take into  
10 consideration any physical conditions or limitations  
11 that might occur on the PJM system, did it?

12 A. They would be all implicit in those  
13 hourly prices.

14 Q. You understand the term "security  
15 constrained unit dispatch"?

16 A. Yes.

17 Q. Can you explain what your understanding  
18 of that is?

19 A. A security constrained dispatch is  
20 essentially a linear programming dispatch to a second  
21 contingency.

22 Q. Okay. Can you turn that into English for  
23 the record?

24 A. Well, a security constrained dispatch has  
25 all of the generating unit bids and offers for



1 incrementing and decrementing. It has all the  
2 transmission information. The security constrained  
3 part of that is then figured out for the each of the  
4 five-minute intervals that it looks at. It figures  
5 out what is the dispatch level that can minimize  
6 costs given those bids and given two contingencies,  
7 in other words, two things happening on the system;  
8 two transmission lines failing, a generator and a  
9 transmission line failing, and it produces its -- its  
10 resulting price.

11 Q. And are you familiar with the fact that  
12 PJM uses a set of constraints similar to what you've  
13 just described?

14 A. Yes.

15 Q. Now, with regard to the units that you  
16 reviewed, are you -- to your knowledge does AEP Ohio  
17 dispatch its generating units or does AEP offer its  
18 units into the PJM market?

19 A. I believe AEP offers units into the PJM  
20 market.

21 Q. Is it correct that one of the reasons  
22 that PJM relies on the security constrained unit  
23 dispatch is to manage the transmission congestion  
24 that we've been talking about and make sure that --  
25 make sure facilities are not overloaded?

1           A.    Relative to their second contingency  
2   loads, yes.

3           Q.    Is it correct that one of the reasons PJM  
4   relies on security constrained unit dispatch is to  
5   make sure voltage remains within acceptable levels?

6           A.    Sure.

7           Q.    And is it also correct that one of the  
8   reasons PJM relies on security constrained unit  
9   dispatch is adequate VARs support is available?

10          A.    I'm not sure but I don't believe VARs  
11   would be included in the security constrained  
12   dispatch.

13          Q.    Did AEP Ohio specify to you any units  
14   that must be treated as must-run units?

15          A.    Yes.

16          Q.    And could you identify that for us,  
17   please?

18          A.    They are in my workpapers. I don't  
19   believe I can identify them off the top of my head.  
20   I know two units of Kammer must run. And there were  
21   like three other units but I don't recall those.

22          Q.    Now, you also, as we talked about before,  
23   identified concerns about the lack of calibration in  
24   the EVA model, correct?

25          A.    Yes.

1           Q.    And your point is that actual future  
2   prices provide a superior input assumption to predict  
3   gross margins rather than the EVA approach of  
4   attempting to model future LMPs, correct?

5           A.    Correct.

6           Q.    Would you also agree that using historic  
7   cost of fuel would not be a properly -- would not be  
8   properly addressing the calibration concerns?

9           A.    I don't think using a historic cost of  
10   fuel in going-forward analysis is -- is accurate. I  
11   don't know that I would put that under a calibration  
12   issue.

13          Q.    In general it wouldn't be appropriate for  
14   your -- your approach to the calculation; is that  
15   correct?

16          A.    Well, I think for anyone who is  
17   projecting margins, I would not want to use a  
18   historic cost of fuel.

19          Q.    And I think you would agree that  
20   determining what the appropriate margin is is more  
21   than just calculating the forward LMP, correct?

22          A.    Definitely. You have to consider the  
23   operating constraints as well and you have to  
24   consider the costs.

25          Q.    For example, you would -- a good

1 prediction of LMPs might be offset by a bad  
2 prediction as to cost, correct?

3 A. Definitely.

4 Q. Is there anything in your workpapers that  
5 indicates how you tested your model to as whether or  
6 not it accurately measured gross margins?

7 A. Well, I actually would say my Pro-Model  
8 is calibrated to the forward prices because it's  
9 derived from the forward prices.

10 Q. So the calibration is inherent in your --

11 A. In the use of the forward prices.

12 Q. Did you go back and attempt to look at  
13 the forward prices versus the LMPs for prior years to  
14 see whether or not that bore any relationship one to  
15 the other?

16 A. I did not do that.

17 Q. Now, with regard to NERA, in addition to  
18 providing testimony, you also prepare, for lack of a  
19 better term, white papers, correct?

20 A. That is one -- we do that on occasion,  
21 yes.

22 Q. And, in fact, you, with Wayne Olson of  
23 NERA, have prepared a white paper for Compete  
24 Coalition, correct?

25 A. Correct.

1           Q.    And that white paper appears on your  
2 website at NERA?

3           A.    I have not checked that recently.  I  
4 would assume it may.

5           MR. DARR:  May I have this marked as IEU  
6 Exhibit 125?

7           EXAMINER SEE:  Yes, 125.

8           MR. DARR:  Thank you, your Honor.

9           EXAMINER SEE:  The exhibit is so marked.

10          (EXHIBIT MARKED FOR IDENTIFICATION.)

11          Q.    Do you have in front of you what's been  
12 marked as IEU Exhibit Ohio 125?

13          A.    I do.

14          Q.    Could you identify this for us, please?

15          A.    This would be a white paper prepared for  
16 the Compete Coalition discussing the benefits of  
17 competitive electricity markets.

18          Q.    And when was this prepared?

19          A.    I'm looking for a date and absent a date  
20 my guess would be -- oh, it's February, '08.

21          Q.    And where did you find that date?

22          A.    On the front page.

23          Q.    Helpful, isn't it?

24          A.    Yes.

25          Q.    Would you identify for the record who the

1 Compete Coalition is?

2 A. It's a group of electricity consumers and  
3 producers that favor competitive markets, I believe  
4 it includes entities such as Wal-mart, Constellation  
5 Energy, would be two members I can recall.

6 Q. And would I be correct that in this paper  
7 you contrast what you describe as traditionally  
8 regulated utilities with an obligation to serve on  
9 the cost-of-service electric structure markets which  
10 refer to the organization of electric markets in  
11 states where utilities no longer have an obligation  
12 to plan and build generating capacity and have often  
13 divested generation ownership?

14 A. Are you reading that from a portion of  
15 the paper? I have to say it's hard to recall this  
16 paper generally right now.

17 Q. Well --

18 A. I do recall preparing it, but.

19 Q. I'm looking at page 1 of the "Executive  
20 Summary," for example. And specifically note 2.

21 A. Okay. Note 2 discusses what  
22 traditionally regulated utilities do.

23 Q. Okay. Specifically on page 1 of the  
24 executive summary you are outlining here the  
25 comparison that you're going to be drawing throughout

1 the white paper, correct?

2 A. Well, I think I say the purpose of the  
3 paper it to present an objective review of both  
4 traditional and competitive electricity markets in  
5 order to assist policy makers as they critically  
6 assess their policy options.

7 Q. And this paper was drafted in response to  
8 price increases that were occurring in the  
9 electricity market at the time; is that accurate?

10 A. At this time there certainly were price  
11 increases occurring in traditionally regulated  
12 markets.

13 Q. And is it fair to say you were responding  
14 to criticism of deregulation of generation markets as  
15 being a cause of those price increases?

16 A. That's a reasonably fair  
17 characterization, yes.

18 Q. And, in fact, you attribute those price  
19 increases to the -- to coincident; is that not  
20 correct?

21 A. I don't recall to that extent. You would  
22 have to show me. What do you mean, regulated price  
23 increases in the deregulated market price increases?

24 Q. If you go to page 3 of the summary, the  
25 last bullet, is it not correct you say "Recent price

1 increases are largely driven by fuel price increases,  
2 and have occurred in both competitive and  
3 traditionally regulated states"?

4 A. I do say that, yes.

5 Q. And would it be fair to say among the  
6 conclusions of your white paper is that the  
7 differences between cost-of-service regulated states  
8 and prices derived from competition are predictable  
9 and certainly include the fact that regulated rates  
10 are founded on utilities' and regulators' judgment  
11 about attributes of the product rather than the  
12 discipline of the market -- of market forces; is that  
13 correct?

14 A. I don't know. Could you point me to  
15 that?

16 Q. Well, I'm on page 2, first bullet.

17 A. Yes. I think what I'm referring to there  
18 is that if you have regulated rates rather than  
19 having market discipline, you may have things like  
20 commissions setting reliability standards that may be  
21 high or environmental RPM TS types of impacts, and  
22 those are going to be factors in setting traditional  
23 rates, where if you leave that to the market, the  
24 market would decide on those.

25 Q. Then you've also concluded that regulated



1 rates result in utilities and regulators imposing  
2 their choices on customers; is that correct?

3 A. Yes, I do conclude that.

4 Q. And you also conclude that "Cost-based  
5 regulation makes it difficult for customers to make  
6 choices based on their own preferences and responses  
7 to market price signals," correct?

8 A. Correct.

9 MR. DARR: Your Honor, with regard to the  
10 rest of this examination it refers to a confidential  
11 portion of Mr. Meehan's workpapers and I want to  
12 know, first of all, whether or not the company wishes  
13 to maintain the confidentiality of the materials in  
14 those workpapers, and second, whether or not it would  
15 be appropriate to -- if that's the case, whether or  
16 not it would be appropriate to hold this -- remainder  
17 of my cross-examination until the others have  
18 completed theirs.

19 MR. CONWAY: We definitely want to  
20 maintain the confidentiality of our information, your  
21 Honor.

22 EXAMINER SEE: Okay. Let me inquire, is  
23 there another party that plans on cross-examining the  
24 witness on any portion -- on any portion -- if you  
25 plan on cross-examining the witness based on the

1 confidential information.

2 MR. JONES: No, your Honor.

3 EXAMINER SEE: So you would be the only  
4 one, Mr. Darr.

5 MR. DARR: If it would be helpful, I can  
6 share with the company right now the one page, one  
7 line basically, actually several lines of the  
8 workpaper, and they can make a decision about whether  
9 or not they wish to maintain confidentiality about  
10 this one day's information which might -- you know,  
11 there is no point in maintaining confidentiality of  
12 this if -- or going through this difficult process if  
13 we -- they're not -- if they are going to waive --  
14 excuse me.

15 MR. CONWAY: Well, your Honor we don't  
16 know quite what it is we are being asked to consider  
17 waiving the confidential -- confidentiality for, so  
18 maybe if we took a short break and talked to Mr. Darr  
19 about it, come to a conclusion.

20 EXAMINER SEE: We can do that,  
21 Mr. Conway.

22 Let's take a -- let's take a break until  
23 12:30.

24 MR. DARR: Thank you, your Honor.

25 (Recess taken.)

1 EXAMINER SEE: Let's go back on the  
2 record.

3 Mr. Conway, have you had a chance to  
4 review the item that Mr. Darr was going to show you?

5 MR. CONWAY: Yes, your Honor. I think  
6 that our agreement is that Mr. Darr will use the  
7 document in his cross-examination but attempt to  
8 achieve the objectives he has without actually  
9 reciting specific values from the document, and as a  
10 result, we would at a minimum be able to avoid having  
11 the transcript be sealed during the  
12 cross-examination -- for the cross-examination and we  
13 can deal with at the end of that whether or not there  
14 is any need to actually admit the document into the  
15 record, and if not, great, if it is, then we simply  
16 would be left with sealing the -- sealing of one- or  
17 two-page document rather than -- rather than having  
18 the combined challenge of the transcript plus the  
19 document. I think that's our -- our agreement. Am I  
20 correct?

21 EXAMINER SEE: That correct, Mr. Darr?

22 MR. DARR: I think the plan is generally  
23 as he's described it. If it needs to be drilled down  
24 to specific information, then we'll cross that bridge  
25 when we get to it.

1 EXAMINER SEE: Good. Then let's proceed.

2 Q. (By Mr. Darr) As part of the materials  
3 that you provided in support of your testimony, you  
4 provided a rather extensive set of workpapers,  
5 correct?

6 A. That's correct.

7 Q. And in those workpapers, is a calculation  
8 by plant of hourly margins; is that correct?

9 A. Correct.

10 Q. And do you have in front of you the  
11 calculation for June 1, 2012, for the Amos 3 plant?

12 A. I do.

13 Q. Now, with regard to that particular  
14 plant, let's just take a look at the first hour  
15 that's listed there. And, again, with the  
16 understanding that we're not going to go into the  
17 values contained in the calculation of the first  
18 hour, could you just walk us through how this  
19 worksheet calculates the gross margin?

20 A. Okay. I can walk through each of the  
21 columns, if that would help, without mentioning the  
22 numbers.

23 Q. Okay. Well, you start out with the -- in  
24 the first column an identification of the date and  
25 hour, correct?

1           A.     Date and the hour, yes.

2           Q.     And then for that hour you provide an  
3 hourly dollars per megawatt hour LMP price, correct?

4           A.     Yes, the market price, yes.

5           Q.     And then in the next column it's split up  
6 between minimum capacity and maximum capacity. Could  
7 you explain what that refers to?

8           A.     The minimum capacity is the minimum  
9 capacity of the unit, and the maximum capacity is the  
10 maximum capability of the unit.

11          Q.     Now, would you go through the rest of the  
12 cost calculation and how you go about doing that?

13          A.     On the next column is the capacity at the  
14 most efficient operating point. That's a theoretical  
15 point. It doesn't have to be between the min and the  
16 max. It says given the heat rate curve what would be  
17 the most efficient point to operate this unit at so  
18 it identifies here a value.

19                 And then in the next column we identify  
20 what we call capacity level where price equals  
21 marginal cost. And, again, this could be anywhere  
22 from negative to above the capacity unit, takes the  
23 heat rate curve, takes the LMP in column 2, and says  
24 given a completely unconstrained world, where would  
25 this unit operate such as the incremental cost at

1     that point would just equal the market price. And  
2     for this unit this variable is probably not used too  
3     often.

4             For some units, you know, it could come  
5     into play if dispatch was between min and max. If it  
6     was to fall between min and max, it would be  
7     relevant.

8             We then look at the operating level in  
9     this unit which in this case is all the maxed  
10    capacity, and if we could flip the sheet for a  
11    second, that would be the -- the -- that would be  
12    the, you know what that -- we don't have to flip yet.  
13    The operating level of the unit is actually the  
14    unit -- at which the unit would operate if it were to  
15    be operating in that hour.

16            We look at the average heat rate at the  
17    operating level. That's solved by taking the  
18    operating level and what's called the input/output  
19    curve, the heat rate curves, it's a quadratic  
20    equation.

21            We look at the adjusted fuels in dollars  
22    per million BTU, and adjusted fuel is the fuel cost  
23    data provided by AEP forecast contracts lined up,  
24    what it's going to be in dollars per million BTU.

25            We look at the variable O&M, also a value

1 provided by AEP. We have startup costs in there. We  
2 don't look at them every hour but they're in there.  
3 We then compute the variable energy costs. The  
4 variable energy cost is a function of the adjusted --  
5 the average heat rate at the operating level and the  
6 adjusted fuel costs, and that's adjusted for fuel  
7 handling, SOx and NOx emission, that's adjusted  
8 between the raw fuel costs and the adjusted fuel  
9 costs and we come up with a variable energy cost for  
10 the unit for that hour.

11 We then look at the -- at the gross  
12 revenues and the gross revenues are simply the  
13 operating level, and as you can see in the Operating  
14 Level column, that's mostly the maximum capacity but  
15 there's a few hours when the most efficient -- the  
16 capacity level were price equals MC is below the  
17 minimum, so the unit operates at the minimum level of  
18 capacity.

19 So we have variable costs here either  
20 reflect operation at max or operation at min. Gross  
21 revenues are the operating level times the hourly  
22 LMP. Energy costs are the operating level times the  
23 variable energy costs.

24 Then if we flip over, we have net  
25 revenues and we have two columns of net revenues; one

1 is by the hour and the other is a 72-hour look-ahead,  
2 so it's a sum over the next 72 hours. And if the  
3 unit is not operating in the prior hour, the  
4 look-ahead over the 72 hours will adjust for startup  
5 costs. It will take the startup costs out of the net  
6 revenues.

7 We then look if it's a maintenance hour  
8 or unit retired hour. This unit has no maintenance  
9 or unit retirements in this day. We then look at the  
10 minimum up and down time. And that corresponds to  
11 our look-ahead window, how far we look ahead for  
12 profits.

13 We then look if it's an unconstrained  
14 start hour or an unconstrained dispatch hour. And we  
15 then look at the remaining down time. Now, since  
16 this unit was started in this hour and it was started  
17 because you can see in the first hour the revenues in  
18 that hour were profitable and the revenues over 72  
19 were profitable so it starts, then it becomes a  
20 constrained dispatch hour for the remainder of its  
21 minimum uptime.

22 We look at its production which is its  
23 operating level from the previous page, its gross and  
24 net revenues, again, just copied over from the  
25 previous page, and then the net revenue per hour



1       which is a subtraction of the energy costs from the  
2       gross revenue.

3               MR. DARR:  What I'm going to do is offer  
4       to provide the -- what I would suggest we do at this  
5       point, given the complexity of what he's just  
6       described, is probably mark a redacted version and  
7       have that identified.  Is that acceptable to the  
8       Bench and to the parties?

9               MR. CONWAY:  Yes.

10              EXAMINER SEE:  Do you have that ready?  
11       Do you have one ready now?

12              MR. DARR:  I do not have one ready.  I  
13       did not anticipate we would try to do this  
14       step-around.  I would do that after lunch, if that  
15       would be appropriate.

16              MR. CONWAY:  So you would black out all  
17       the values in the column then?

18              MR. DARR:  Yes.

19              MR. CONWAY:  Okay.

20              MR. DARR:  And could we have this marked  
21       as IEU Exhibit 126.

22              EXAMINER SEE:  We will reserve IEU 126  
23       for that purpose to be provided after lunch.

24              (EXHIBIT MARKED FOR IDENTIFICATION.)

25              Q.     (By Mr. Darr) And for purposes of the

1 record, Mr. Meehan, the description you just gave is  
2 a description of what we have just asked to have  
3 marked as IEU Exhibit 126, correct?

4 A. That is correct.

5 Q. Now, with regard to the dispatch of this  
6 particular unit over this particular hour, is the  
7 assumption of the model that all of the generation  
8 associated with that unit would be dispatched into  
9 the PJM system at that point?

10 A. Yes.

11 Q. Is there any assumption made with regard  
12 to what the company may have offered for that unit to  
13 PJM in the day-ahead market?

14 A. Well, yes, implicitly, yes, the unit  
15 would be bidding at its cost.

16 Q. Is there any assumption made in your  
17 model with regard to whether or not a particular unit  
18 would have to be run because of a designation by PJM  
19 that it's a must-run unit?

20 A. Yes, there is.

21 Q. Where would we find that in your  
22 workpapers or in your analysis?

23 A. I would have a separate workpaper for the  
24 must-run units and I believe there's data in my  
25 analysis that identifies the must-run units. I'm

1       sorry, data in my workpapers that items which units  
2       are must run.

3               MR. DARR: May we have a moment, please,  
4       just a moment?

5               EXAMINER SEE: Yes.

6               Q.    The information that you used with regard  
7       to the designation of the must-run units, did that  
8       come from AEP or AEP Ohio?

9               A.    It came from AEP Ohio, yes.

10              Q.    Did you have any calculations with regard  
11     to must-run units based on transmission constraints  
12     as identified by PJM?

13              A.    No. I relied on AEP Ohio to identify  
14     what units would be must run, and I believe I  
15     describe in my testimony I handled them differently.

16              MR. DARR: Thank you, that's all I have,  
17     and I will provide the redacted version of the  
18     exhibit after lunch.

19              EXAMINER SEE: Okay.

20              MR. DARR: Thank you.

21              EXAMINER SEE: Let's go off the record  
22     for a minute.

23              (Discussion off the record.)

24              EXAMINER SEE: Let's go back on the  
25     record.

1 Mr. Kurtz.

2 MR. KURTZ: Thank you, your Honor.

3 - - -

4 CROSS-EXAMINATION

5 By Mr. Kurtz:

6 Q. Good afternoon, Mr. Meehan.

7 A. Good afternoon, Mr. Kurtz.

8 Q. Would you turn to page 23 of your  
9 testimony. Is this the section where you begin your  
10 discussion on how you've calculated the energy  
11 credits?

12 A. Yes, it is.

13 Q. Okay. So I understand what you've first  
14 done is develop a calibrated hourly nodal price for  
15 market power described in this section of your  
16 testimony?

17 A. Correct.

18 Q. Okay. So once you have the market price,  
19 on page 27, I believe, you describe how you  
20 determined the detailed variable cost data for all  
21 the AEP Ohio generating units?

22 A. Correct.

23 Q. Okay. Then on page 28, the next step in  
24 your analysis question 27 is to analyze the dispatch  
25 of the units, the must run, the minimum load, the

1 maximum, et cetera, to get a dispatch order?

2 A. That's correct.

3 Q. So what you've done is you've calculated  
4 the -- the gross margin or the average gross margin  
5 on all of the AEP Ohio generating plants assuming all  
6 the output from these plants was sold at market  
7 pricing; is that correct?

8 A. Almost. I would say you could calculate  
9 the average from it but I would say more calculated  
10 the total.

11 Q. If we look on your Exhibit 2, if we  
12 could -- you have the dollars and the kilowatt hours.  
13 We could certainly calculate the average; isn't that  
14 right?

15 A. That's correct.

16 Q. So what you've done is you've taken the  
17 AEP Ohio generation and you've assumed it was all  
18 going to be sold into the PJM spot market and  
19 determined how much over this three-year period the  
20 gross margin AEP could realistically be expected to  
21 earn?

22 A. Right. I valued the gross margin  
23 assuming it was all priced at the node LMP.

24 Q. You cited on page 34 major errors in the  
25 staff's analysis. One is the \$200 million Gavin fuel

1 error and the other is a -- the assumption that the  
2 staff witness used that the heat rate would be at the  
3 full load heat rate. That's a \$256 million error in  
4 your mind?

5 A. Yes, they are both -- yes.

6 Q. Okay. So if -- if the Commission were  
7 interested in knowing how much profit or gross margin  
8 AEP Ohio was really going to make on power -- on  
9 energy freed up from shopping just for the shopping  
10 load rather than the assumption that all of the AEP  
11 Ohio's energy was sold at market pricing -- let me  
12 back up.

13 You understand that not all of AEP's  
14 generation in the real world is sold at LMP. They  
15 serve the standard offer load at the regulated rate.

16 A. Well, I think there is a buy/sell. I  
17 mean they sell at LMP at the node and buy back at the  
18 zone.

19 Q. Okay. But the SSO load pays the fuel  
20 adjustment charge and the demand and the energy  
21 charges as regulated by this Commission.

22 A. Like I said, I'm only addressing the  
23 gross margins. I really did not look into any of  
24 those other issues.

25 Q. I understand, but you calculated the

1 gross margin assuming all of the energy was sold at  
2 spot market LMP when, in fact, in the real world the  
3 majority of the energy is sold to nonshopping  
4 standard offer load. You -- isn't that correct?

5 A. I don't know the shopping percentage. It  
6 is correct that I calculated LMP of gross margins  
7 assuming everything sold at LMP and that other  
8 witnesses make whatever adjustments are needed after  
9 that.

10 Q. Okay. Now, if the Commission wants to  
11 know how much gross margin or profit AEP was likely  
12 to earn on energy freed up from shopping, that would  
13 be a different calculation, wouldn't it, than what  
14 you've done is assuming that all of the energy sold  
15 is at LMP?

16 A. What I've done is assuming all of the  
17 energy is sold at LMP, yes.

18 Q. Okay. And if the Commission wanted to  
19 know how much money in the real world gross margin  
20 AEP was likely to make from energy freed up, that  
21 would be a different calculation, wouldn't it?

22 A. Yes. I have not made that calculation.

23 Q. Okay. For example, the Gavin error would  
24 be irrelevant if the Commission were looking at how  
25 much gross margin AEP would make off of selling

1 energy that was freed up from shopping? Gavin would  
2 be irrelevant, wouldn't it, because that unit is  
3 dispatched first to meet native load?

4 A. I couldn't testify to it being  
5 irrelevant, no. I don't know that -- if you're  
6 saying Gavin would be retained to meet native load,  
7 other units would sell --

8 Q. You understand that the fuel adjustment  
9 charge in Ohio stacks the generation in terms of  
10 highest cost to least cost and the least cost  
11 resources are used to serve native load first and  
12 what's left over is sold off system --

13 MR. CONWAY: Objection.

14 Q. -- in the real world?

15 A. No.

16 MR. CONWAY: Objection. He was in the  
17 middle of answering the previous question and  
18 Mr. Kurtz interrupted him so I would like him, if he  
19 had more to say in response to the prior question, be  
20 afforded the opportunity to complete his answer  
21 before Mr. Kurtz follows up.

22 Could you read the prior Q and A.

23 EXAMINER SEE: Did you complete your  
24 answer, Mr. Meehan?

25 THE WITNESS: I don't believe I had but I



1 don't believe that right now.

2 EXAMINER SEE: Read the question and part  
3 of his answer back.

4 (Record read.)

5 A. Right. I think what I was going to say  
6 is Gavin produces a lot of the margin, it's a big  
7 unit, so I don't think it would necessarily be  
8 irrelevant. I mean, you couldn't just pull Gavin out  
9 of the numbers that either staff proposes or I  
10 propose and say the rest is -- is some type of  
11 nonretained margin or use our analysis to say that it  
12 would apply to the other generation because we're  
13 looking at or I'm looking at the entire fleet versus  
14 the PJM market.

15 So I'm not familiar with the fuel  
16 adjustment clause or how that's done in Ohio. I  
17 don't know if Gavin would go at the bottom or if  
18 there would be proportions, but you would have to do  
19 an entirely different analysis if what you were  
20 trying to get at was what other margins on the units  
21 above the base load units that would be solved. This  
22 is just an entirely different analysis I'm doing.

23 Q. That's my point, and those are the units  
24 that are actually serving off-system sales, aren't  
25 they?

1           A.    I haven't looked at that.

2           Q.    Well, you understand the economic  
3 dispatch order of utilities, don't you?

4           A.    Yes.

5           Q.    Okay. They dispatch the lowest cost unit  
6 first and so on and so forth up to meet demand,  
7 correct?

8           A.    That's correct.

9           Q.    Now, according to your workpapers, Gavin  
10 is a -- is a \$29 per megawatt hour variable cost unit  
11 which is right at the bottom of all the -- of all the  
12 AEP units you have modeled, isn't that right?

13          A.    It's one of the more economical. Some of  
14 the gas units can get that load as well.

15          Q.    So if Gavin were dispatched first to meet  
16 native load, all of those costs would be recovered in  
17 the fuel adjustment charge for nonshopping customers,  
18 correct?

19          A.    You know, you would have to ask an AEP  
20 witness how the fuel adjustment clause works. I just  
21 don't know.

22          Q.    Again, if the Commission were concerned  
23 about how much profit or gross margin AEP was going  
24 to make in the real world from energy that was freed  
25 up from shopping, then to the extent that the cycling

1 costs -- heat rate costs are recovered in the fuel  
2 adjustment charge, you would have to take that into  
3 account in your analysis, wouldn't you?

4 Let me rephrase. The high heat rate  
5 costs that are inherent in cycling the units to the  
6 extent that that's reflected in the fuel adjustment  
7 charge for nonshopping customers in Ohio, that cost  
8 is already picked up, isn't that true?

9 A. Would you repeat the question?

10 Q. Yes. You understand that -- just assume  
11 that most of the load -- load in Ohio is not shopping  
12 right now and there's a fuel adjustment charge to  
13 recover costs to the extent they are cycling costs  
14 built into the -- the cost of serving native load,  
15 that's recovered implicitly in the fuel adjustment  
16 charge or directly really through -- through higher  
17 fuel costs associated with a worse heat rate?

18 MR. CONWAY: Your Honor, I would object  
19 at this point. The witness has already indicated  
20 he's not familiar with the operation of the fuel  
21 adjustment clause and Mr. Kurtz is asking him to  
22 assume that it works in a certain fashion and agree  
23 with his assumption. So I think it's unfair to the  
24 witness and I think it's also misleading. I think  
25 the witness doesn't -- isn't able to help Mr. Kurtz

1 with this line of questioning.

2 Q. I'll rephrase. You've calculated a  
3 \$256 million heat rate error in staff's testimony; is  
4 that correct?

5 A. Well, I wouldn't call it a heat rate  
6 error. It's failure to recognize the full range of  
7 heat rates and plant operation at the most efficient  
8 level and cycling and the need to run at minimum load  
9 sometimes.

10 Q. Okay. How should we just characterize  
11 that? Can we call it a heat rate error?

12 A. I think it's failure to model  
13 constraints.

14 Q. You've identified a \$256 error in staff's  
15 testimony for failure to model operating constraints;  
16 is that correct?

17 A. Correct.

18 Q. Okay. Is it correct that it's about 2.3  
19 dollars a megawatt hour error?

20 A. I haven't calculated that.

21 Q. On your Exhibit 2 you have generation  
22 under three different assumptions. Which generation  
23 should we use? I assumed it was -- the first  
24 scenario all the AEP units.

25 A. No. The 256 is actually not on here.

1 It's related to the non-must-run coal units only.

2 Q. Right. So \$626 million error but --  
3 which generation gigawatt hours should we divide by  
4 to get a price per megawatt hour?

5 A. It's none of the ones on Exhibit ETM-2.

6 Q. So there's a \$256 million error you've  
7 identified. Isn't it true that to the extent that  
8 those costs are recovered from nonshopping customers  
9 in the fuel adjustment charge, then -- then that --  
10 that amount of money is already being recovered?

11 MR. CONWAY: Objection. He's already  
12 indicated he's not familiar with the operation of the  
13 FAC.

14 EXAMINER SEE: Overruled. Answer the  
15 question, Mr. Meehan.

16 A. Well, I mean it sounds like a total gig.  
17 You are asking me to assume if costs are recovered  
18 that are already recovered. I think I would have to  
19 agree with that.

20 Q. Okay.

21 A. But I don't know that to be a fact.

22 Q. Assume that off -- that the cheapest  
23 generation is serving native load and that's  
24 recovered through the fuel adjustment charge. As --  
25 as there's more shopping and you move down the stack,

1 the profit margin, again, by -- almost by definition  
2 is going to be higher for each megawatt hour sold off  
3 system as you move further down the stack; isn't that  
4 right?

5 In other words, it's not an average --  
6 it's not an average margin, it's a margin that  
7 changes with the level of shopping.

8 A. Well, your profit margin is certainly  
9 higher on your lower-cost units, but one of the  
10 reasons I'm reluctant to go here is I don't know, for  
11 example, if a unit is running at minimum load it's  
12 not going to be the lowest cost generation.

13 It may in a later hour be the lowest cost  
14 generation, but I don't know how the fuel adjustment  
15 clause, for example, would handle it if that unit was  
16 the most expensive unit in that hour but happened to  
17 be on at minimum.

18 Q. Now, you indicated there would have to be  
19 an entirely new analysis if the Commission wanted to  
20 know how much profit margin was made on energy freed  
21 up from shop -- from shopping. What -- how would  
22 that analysis have to work?

23 A. Well, I think it would depend on how you  
24 would structure the problem and maybe you could do  
25 some of it out of the hourly results here. But I'm

1 following the gross margin model, it's the same model  
2 that Mr. Harter and Ms. Medine put in, so I'm trying  
3 to critique that and emulate that.

4 If we're -- what I'm responding to you on  
5 with the new analysis is if there is instead some  
6 desire to say, okay, here's generation and here's the  
7 generation used to meet the nonshopping load and here  
8 is the average costs and then here is the sales of  
9 above that that are made either to the pool or to the  
10 PJM market, I don't think my analysis is intended to  
11 look at that and, of course, a lot of things would  
12 have to change including the denominator of the  
13 capacity you're using, the fixed costs. All of that  
14 would have to be somehow adjusted so it was  
15 consistent.

16 Q. Isn't that the real world question though  
17 for the Commission? Not how much profit margin could  
18 be made if all the power AEP generates is sold at  
19 LMP. We know that's not true. We know the majority  
20 sold to nonshopping customers.

21 If the Commission wanted that real world  
22 answer, then your testimony doesn't address it; isn't  
23 that correct?

24 A. Well, my testimony addresses I think  
25 what's the real world projection of gross margins,

1     that's the framework, as I said, used by Mr. Harter  
2     and Ms. Medine that the company's using and I think  
3     they have a way to adjust that to the Commission's  
4     satisfaction but it's not intended to look at the  
5     whole operation of the fuel clause and what  
6     generation is retained for serving nonshopping load.  
7     It doesn't look at that.

8             MR. KURTZ: Thank you, your Honor.

9             EXAMINER SEE: Mr. Yurick?

10            MR. YURICK: No questions, thank you,  
11     your Honor.

12            EXAMINER SEE: Ms. Thompson?

13            MS. THOMPSON: No questions, your Honor.

14            EXAMINER SEE: Ms. Kyle?

15            MS. YOST: Yost.

16            EXAMINER SEE: Yost, sorry about that.

17            MS. YOST: We switched out this morning.

18                    - - -

19                    CROSS-EXAMINATION

20     By Ms. Yost:

21             Q.     Good afternoon, Mr. Meehan. My name is  
22     Melissa Yost, I'm with the Office of Ohio Consumers'  
23     Counsel.

24             A.     Good afternoon, Ms. Yost.

25             Q.     If I could have you take a look at your



1 testimony which is Exhibit 144 in front of you,  
2 specifically page 33.

3 A. Yes, I'm there.

4 Q. Question 34. Question 34 is in regards  
5 to "How can you be sure that your analysis doesn't  
6 grossly understate the gross margin?" Do you see  
7 that?

8 A. I do.

9 Q. And in regards to your answer starting on  
10 line 13, is states in your answer "Adjustments from  
11 the AD Hub which is the traded product to the AEP  
12 generation hub and then to each generation node could  
13 also be done slightly different -- differently by  
14 different analyst - for example using a 7 by 24 as  
15 opposed to on and off peak basis differentials or  
16 using individual months as opposed to annual average  
17 basis, but again, that impact will not be material  
18 relative to the difference with EVA."

19 In regards to your statement that it  
20 would not be material relative to the difference with  
21 EVA, what do you mean by that?

22 A. Well, I believe the EVA analysis is  
23 producing a number for gross margins of roughly 2-1/2  
24 of what I have. And what I mean is that while you  
25 could maybe do something different in here and affect

1 my results by a few percent either up or down, it's  
2 going to be irrelevant relative to the gap of the two  
3 and a half times.

4 Q. Can you quantify your answer in terms of  
5 millions of dollars?

6 A. I would say my judgment would be it could  
7 be a couple percent and I don't know the direction.

8 Q. So when you reference using example --  
9 for example, a 7 by 24 as opposed to an on and  
10 off-peak basis differential, do you know what the  
11 result would be if you used your methodology with  
12 those different adjustments?

13 A. I have not run all the permutations in my  
14 methodology, no.

15 Q. Are there such adjustments to the AD Hub  
16 that would be more likely to result in higher gross  
17 margins?

18 A. No. I don't believe so.

19 Q. Are there certain adjustments that would  
20 result in higher gross margins when you adjust both  
21 the AD Hub and the generation node?

22 A. I couldn't identify them. I don't think  
23 so.

24 Q. When you were running your calculation,  
25 did you use different adjustments to the AD Hub and

1 then also change the generation node as you've  
2 indicated in your testimony?

3 A. I used the adjustment between the AD Hub  
4 and the generation node. I used the generator node  
5 shape, the generation hub shape, and then I just  
6 forward the generation hub to each generation node.

7 Q. So you ran several different calculations  
8 in getting your results? You made different  
9 adjustments --

10 A. No. They are just step-wise adjustments.

11 Q. So you ran your calculations and your  
12 methodologies just one time to get the results that  
13 are indicated today?

14 A. Well, we certainly iterated through a  
15 couple of times but I only -- I only made one -- I  
16 did not run for different adjustments between the  
17 AD -- AD Hub and the AEP gen hub or different bases  
18 between the AEP gen hub and the nodes. I just used  
19 the single relationship or single set of  
20 relationships.

21 Q. So you used the same set of relationships  
22 every time you ran your calculation?

23 A. Yes.

24 Q. Was that customary for you not to adjust  
25 those in order to find out what the --

1           A.    For something like this analysis, yes, to  
2    use a single historical relationship look is  
3    customary.

4           Q.    And in regards to line 8 you talk about  
5    that you've developed a logical set of commitment  
6    rules.  What are those commitment rules?

7           A.    I think I describe them later in my  
8    testimony, but essentially the commitment rules are  
9    if the plant is economic in the hour and for the next  
10   72 hours, to commit the unit.  To look at the startup  
11   costs at that point.  At the end of the dispatch to,  
12   again, look ahead 72 hours and look at the plant  
13   economics and make a decision upon shutting it off or  
14   keeping it running at that point.

15                They basically all look at the profit in  
16   the hour and the 72-hour profit look-ahead.

17           Q.    Now, these --

18           A.    I'm using as 72 for shorthand for the  
19   minimum run and up and down time period.  The  
20   different units have different up and downtimes so if  
21   it's 24, 36, 48, 72, I would look over the up or down  
22   time commitment PRE.

23           Q.    Now, the commitment rules which you said  
24   you developed, did you develop them specifically for  
25   this project or are these rules that you use

1 consistently throughout your practice?

2 A. No. I developed them for -- for this  
3 project. You would have to look at data that would  
4 be very specific to each utility.

5 Q. And, again, when you were analyzing --  
6 analyzing the values and determining the commitment  
7 rules for this product -- project here, did you at  
8 times change your commitment rules throughout?

9 A. Yes. I probably iterated through  
10 commitment rules to see what I thought was producing  
11 the most realistic dispatch.

12 Q. And when you ran your analysis, did you  
13 ever -- did your overall gross margin revenues ever  
14 increase in the amount that is indicated in your  
15 testimony today?

16 A. I couldn't really say because they were  
17 all preliminary results and had a lot of things that  
18 may have been corrected. Certainly we may have had  
19 some analysis with higher results and some with  
20 lower. I don't think we ever had substantially  
21 different results.

22 Q. Did you ever have any results that were  
23 \$1 billion or more?

24 A. No.

25 Q. Do you recall any results over

1 900 million?

2 A. Again, I don't think with the full set of  
3 data but I just don't know. That's not impossible  
4 that at some point with preliminary data we have had  
5 for all units something in that range.

6 Q. Is there anything you could look at to  
7 refresh your recollection?

8 A. No. We probably would override those  
9 results.

10 Q. When you say "override those"?

11 A. We want to retain those results if we are  
12 making corrections to the model.

13 Q. Is there anyone else who would have  
14 knowledge of what the results were throughout the  
15 calculations?

16 A. I don't believe so.

17 Q. Did you share your results with company  
18 personnel?

19 A. Not until the end. These are the results  
20 I'm most comfortable with.

21 MS. YOST: Just a minute, your Honor.

22 EXAMINER SEE: Yes.

23 MS. YOST: Excuse me, if I could have the  
24 reporter read back the answer about the response  
25 margins being over 900 million, please.

1 EXAMINER SEE: Sure.

2 (Record read.)

3 Q. Just -- so just to clarify your answer,  
4 you do recall some results being -- showing gross  
5 margins over the -- in the \$900 million range?

6 A. Not specifically, no. I'm just saying  
7 it's possible. I don't think it's possible that a  
8 correct run would have that but I can't rule out at  
9 some point we had a run that had that.

10 MS. YOST: I have no further questions.  
11 Thank you.

12 EXAMINER SEE: Thank you, Ms. Yost.

13 Let's take a lunch break until  
14 2:00 o'clock.

15 (Thereupon, at 1:16 p.m. a lunch recess  
16 was taken.)

17 - - -

18

19

20

21

22

23

24

25

2754

1 Tuesday Afternoon Session,  
2 May 15, 2012.

3 - - -

4 EXAMINER SEE: Let's go back on the  
5 record.

6 Mr. Jones.

7 MR. JONES: Thank you, your Honor.

8 - - -

9 EUGENE T. MEEHAN  
10 being previously duly sworn, as prescribed by law,  
11 was examined and testified as follows.

12 CROSS-EXAMINATION

13 By Mr. Jones:

14 Q. Good afternoon, Mr. Meehan.

15 A. Good afternoon, Mr. Jones.

16 EXAMINER SEE: Mr. Jones, do you want to  
17 pass that to me?

18 Q. Mr. Meehan, you had previously testified  
19 you had -- you were contacted by AEP Ohio about this  
20 case around April 26; is that correct?

21 A. I believe I said the 26th or 27th.

22 Q. 26 or 27. And did you -- and how were  
23 you approached about this case? I mean, what -- did  
24 they ask you to perform, was the scope of your  
25 engagement here was to criticize staff's analysis of



1 the energy credit in this case?

2 A. Well, to review staff's analysis and  
3 provide my opinion.

4 Q. And who made contact with you about that?

5 A. It was counsel for AEP. I believe it was  
6 either Mr. Nourse or Mr. Crespo.

7 Q. And who did you work with in preparation  
8 for your testimony?

9 A. Well, with counsel, Mr. Nelson,  
10 Mr. Vaughn, Mr. McClean at AEP and a variety of  
11 people at AEP.

12 Q. Okay. And let me ask you, is AEP -- are  
13 they a significant client of NERA?

14 A. Not probably on a percentage basis,  
15 certainly well less than 1 percent.

16 Q. So have --

17 A. Probably less than half a percent. But  
18 obviously they are a client.

19 Q. Have you had a steady relationship with  
20 AEP Ohio?

21 A. Well, my colleague testified for them  
22 last year in the ESP case. Prior to that I don't  
23 think we've done anything for quite a while with AEP  
24 Ohio.

25 Q. Okay. And were you asked to estimate

1 energy credit for this case?

2 A. To the extent that it would be helpful in  
3 sort of demystifying the EVA analysis and provide  
4 useful information, yes. No -- well, sorry. The  
5 gross margin I was asked to look at in that context.  
6 I was not asked to estimate the energy credit.

7 Q. Okay. Mr. Meehan, can you explain the  
8 difference between a forward-price curve and a  
9 forecast?

10 A. Yes.

11 Q. What is that difference?

12 A. A forward price is something that's  
13 observed in the market, it's a buyer and a seller.  
14 It's quoted. It's traded, business transacts at it.  
15 A forecast is sort of a person's view of what the --  
16 of what market will be in the future. Usually based  
17 on some type of modeling exercise.

18 Q. So would you agree then that a  
19 forward-price curve reflects on what parties may be  
20 willing to transact today for a date and a time in  
21 the future but may not necessarily reflect that --  
22 that market price in the future?

23 A. I think both -- I mean, neither a forward  
24 price nor a forecast is going to reflect the price in  
25 the future. The price in the future is going to

1 change from what you would forecast or project with a  
2 forecast market price -- a forward-market price at  
3 this time. I think a forward-market price is the  
4 best forecast of the market price in the future.

5 Q. So is it your testimony that the only  
6 reliable number to use in the analysis of the energy  
7 credit in this case is the forward-price curve power?

8 A. More or less, yes. I mean, I think if a  
9 forward price exists for a product or a commodity, as  
10 I say in my testimony, I think it's sort of arrogant  
11 to say you have a forecast that's better than that.  
12 If you do, you probably should be out trading, not --  
13 not testifying.

14 Now, there is a lot of reasons for a  
15 model -- model provides more information if you're  
16 looking at fuel consumption, fuel usage, or comparing  
17 alternatives. But when a forward price is available,  
18 I think it is generally superior to a view of the  
19 market developed from a forecast.

20 Q. Well, isn't it true, Mr. Meehan, that the  
21 forward-price curves change hourly and daily?

22 A. That's one of the benefits. They reflect  
23 the latest market information where forecast takes a  
24 while to prepare and by definition is dated.

25 Q. And by the fact they do change hourly and

1 daily, then, how do you decide which forward-price  
2 curve to use?

3 A. I think you would use the more recent --  
4 most recent one.

5 Q. And what do you do if there's a material  
6 change in the forward-price curve subsequent to your  
7 analysis?

8 A. You should update your analysis. I mean,  
9 you have the same changes in forecast. Your forecast  
10 would change if you updated it. Your forecast  
11 doesn't not change because it has the virtue of being  
12 stable. It is the virtue of not changing because it  
13 gets dated.

14 Q. And do you know if AEP hedges future  
15 power prices?

16 A. I'm not aware of their hedging policies.

17 Q. And do you have any expertise in fuel  
18 supply?

19 A. Well, I work with fuel data all the time  
20 but I would not consider myself a fuel supply expert,  
21 no.

22 Q. Okay. Expert in coal or natural gas?

23 A. Well, I'm more familiar with natural gas;  
24 coal I would not consider myself an expert.

25 Q. And are you familiar with the Cross

1 States Air Pollution Rule, the CSAPR, pronounced  
2 "Casper"?

3 A. I'm generally familiar with that, yes.

4 Q. Okay. And what -- what is your  
5 understanding of the requirements of that rule?

6 A. I just know it puts environments on a  
7 variety, specifically of older units, particularly  
8 older coal units, and that there's a lot of talk  
9 enacted if it's not stay released it would lead to  
10 certain retirements of the units.

11 Q. Okay. So it's your understanding that  
12 currently that rule is -- has been stayed being  
13 effective?

14 A. That's my understanding, yes.

15 Q. Let me ask you, does the forward-price  
16 curve reflect that rule?

17 A. Yes.

18 Q. And do you also understand that staff's  
19 analysis reflects the rule going into effect  
20 January 1, 2013?

21 A. I think it reflects an analyst's  
22 adjustment of what would happen under that rule, yes.

23 Q. And do you disagree with that assumption?

24 A. I would rather trust the market. I  
25 really didn't critique that specific assumption. I

1 don't have a specific opinion myself when the date  
2 that CSAPR is going to go into effect.

3 Q. Now, in regard to the inputs that were  
4 provided to you by AEP Ohio, was any of that  
5 information proprietary?

6 A. I believe most of it is proprietary, yes.

7 Q. And --

8 A. Well, it's confidential at least. I  
9 don't know if it's proprietary but it's confidential.

10 Q. And does it make the -- because it's  
11 proprietary, does it make it difficult then to fully  
12 examine and validate that information by others?

13 A. I don't know that that's the case. They  
14 provided -- I mean it's confidential but it's all  
15 been provided in workpapers.

16 Q. Let me ask you was the basis of the coal  
17 prices the '01 FERC Form 1 data?

18 A. That really is a question for -- for  
19 Mr. Nelson. My understanding though is it's the  
20 contracts that are in place to supply those units in  
21 the near future, not the Form 1 data.

22 Q. And do you know whether or not those  
23 prices varied by year then?

24 A. Yeah, I believe I covered that with Mr.  
25 Lang, yes. They vary by month.

1           Q.    How about the emission allowance price  
2           forecast for SO<sub>2</sub>, seasonal NO<sub>x</sub>, and annual NO<sub>x</sub>? What  
3           assumptions were made there for you?

4           A.    I think they varied more by year than by  
5           month, but they are all in my workpapers. I can't  
6           recall the exact values. I can't recall the values  
7           at this time.

8           Q.    And did AEP Ohio provide you with the  
9           heat rate curve for each plan?

10          A.    Yes.

11          Q.    And is this data publicly available?

12          A.    Not to my knowledge, no.

13          Q.    Okay. And what did AEP Ohio provide you  
14          with respect to the variable operating costs of that  
15          plan?

16          A.    They provided me dollar per megawatt hour  
17          estimates.

18          Q.    And this data is publicly available?

19          A.    You would have to ask Mr. Nelson that.

20          Q.    Okay. And did you review all the inputs  
21          that you received to determine either their accuracy  
22          or their appropriateness for use in your analysis?

23          A.    No. I believe I indicated in my  
24          testimony I relied on AEP for those cost inputs.  
25          They are more familiar and they have a witness who

1       could validate the inputs.

2               Q.     And the forward-price curves of power,  
3       the annual numbers for 2013 and '14; is that correct?

4               A.     And '15.

5               Q.     And '15.  So you're saying, yes, that's  
6       correct?

7               A.     That I used annual curves?

8               Q.     Yes.

9               A.     What is the question?

10              Q.     Yes, the annual forward-price curves for  
11       power being annual numbers.

12              A.     Nothing to do with where I got them, just  
13       did I use them?

14              Q.     Yes.

15              A.     Yes, I used them.

16              Q.     And what adjustments, if any, did you --  
17       what adjustments, if any, did you make to reflect  
18       prices varied by hour?  Did you make any adjustments?

19              A.     Yeah, I think it's in my testimony and we  
20       went through this this morning as well.  I first  
21       adjusted those annuals to monthlies looking at the  
22       trading pattern of monthly to annual forward products  
23       from January, 2009, to I believe March, 2012.  I then  
24       looked at the LMP shape of -- at the AEP generation  
25       hub for a shaped hourly product to a flat product to



1 just those forward prices. And then I looked at the  
2 basis between each generation node and the AEP  
3 generation hub to shape those forward prices not only  
4 to monthly on and off peak but to hourly LMPs.

5 Q. Do you know how coal was delivered to the  
6 Muskingum River station?

7 A. No.

8 Q. Do you know how coal is delivered to the  
9 Mitchell station?

10 A. No.

11 Q. Do you know the type -- what types of  
12 boiler Kammer has?

13 A. No. I think all the information that I  
14 got is summarized on sort of in the heat rate curve  
15 and the operating characteristics. I don't look at  
16 that detail.

17 Q. Okay. Are you aware that the Department  
18 of Energy recently released its short-term energy  
19 outlook which states that coal prices are expected to  
20 fall? Are you aware of that -- of that publication?

21 A. I have not looked at that publication.  
22 I've heard that statement in this room I think  
23 yesterday.

24 Q. Okay.

25 A. But as I said, I believe that would be

1 more properly directed to Mr. Nelson, and I believe  
2 as I said, most of the coal as I understand it is  
3 already under contract.

4 Q. And if the CSAPR rule goes into effect,  
5 let's assume it does, January 1, 2013, do you expect  
6 coal -- coal demand to fall further?

7 A. Could. I don't think it would affect  
8 prices that are already contracted for but coal  
9 demand could fall.

10 Q. What about spot prices?

11 A. I guess all else equal, they would --  
12 they would rise, although the way gas prices are,  
13 they certainly could be limited by the -- by the gas  
14 unit and economics.

15 Q. Are you saying that if demand falls,  
16 price will rise?

17 A. Spot prices?

18 Q. Yes.

19 A. I think what I'm saying if supply falls,  
20 if the supply of coal generation falls because of the  
21 CSAPR rule, spot prices would rise. So it's not if  
22 demand falls. It's supply that's falling.

23 Q. Coal prices would fall?

24 A. I don't think that was your question.  
25 Your question was would spot prices rise or fall.

1 Q. Right.

2 A. Right. If all that happened was coal  
3 prices fall, then spot prices should fall.

4 Q. And do you know what AEP Ohio assumes  
5 with respect to the CSAPR rule for their analysis?

6 A. Well, I think all I could tell you is the  
7 effects of that would show perhaps in the retirement  
8 dates that they supplied.

9 Q. Okay.

10 A. And there's a fair amount of units that  
11 retire in sort of midway -- well, not midway, let's  
12 say right around after the first quarter of 2015.

13 Q. And what emission costs did you use in  
14 your analysis? Did you provide that?

15 A. I provided it. I don't recall it off the  
16 top of my head but it's certainly in my workpapers.

17 Q. Okay.

18 A. There's a SOx cost and NOx cost I think  
19 by zone.

20 Q. And you say that's a document in your  
21 testimony?

22 A. No, it's in my workpapers.

23 Q. Workpapers, okay. And would you please  
24 provide the outputs -- the outputs you provided to  
25 AEP Ohio?

1           A.     They are in Exhibit ETM-R2 and Exhibit  
2     ETM-R3.

3           Q.     Are these your outputs, Mr. Meehan, or  
4     was there any filtering done by AEP, any manipulation  
5     of your outputs?

6           A.     AEP had no input at all into my outputs.

7           Q.     And, Mr. Meehan, is NERA, is it a  
8     licensee of Aurora?

9           A.     I believe our European -- one of our  
10    European offices has a license to Aurora. I don't  
11    know if they currently use it but if they did, they  
12    would be having the European data set modeling in  
13    Europe. NERA, we do not have any license currently  
14    to Aurora or use Aurora at the present time. In the  
15    U.S.

16          Q.     Okay. For your analysis did you rely on  
17    any Aurora analysis being done by AEP Ohio?

18          A.     No.

19          Q.     Did you have any discussions about Aurora  
20    modeling with AEP Ohio?

21          A.     AEP Ohio asked if we ran Aurora and had  
22    it and I told them no, we did not.

23          Q.     And your European office, do they license  
24    the nodal or zonal version of Aurora?

25          A.     I wouldn't know. I wouldn't know what's

1 appropriate to Europe either.

2 Q. Okay. So you personally never worked on  
3 any analysis involving an Aurora?

4 A. I never worked firsthand with Aurora, no.

5 Q. And are you aware that AEP is a licensee  
6 of Aurora?

7 A. Yes.

8 Q. Mr. Meehan, have you ever valued a  
9 utility generating asset?

10 A. Yes, I have.

11 Q. And how do you reflect energy margins in  
12 your evaluations?

13 A. Projected energy margins, discounted net  
14 present value.

15 Q. And you concluded from your testimony  
16 that EVA overstate gross margins; is that correct?

17 A. Yes.

18 Q. Okay. And that the overstatement is due  
19 to power prices that are too high and costs that are  
20 too low; is that correct?

21 A. I believe the power prices are somewhat  
22 too high and not adjusted to nodal. I believe the  
23 costs are too low, especially the Gavin fuel costs  
24 which I think is the most significant error. And  
25 then I believe the modeling of just the full load

1 heat rate is inappropriate.

2 Q. Mr. Meehan, if power prices are higher  
3 and all other things being equal, then would margins,  
4 would they be larger?

5 A. All other things equal, higher power  
6 price also tend to increase margins, yes.

7 Q. Okay. And the effect on the margins  
8 would be larger than the effect on the power price?

9 A. Yes.

10 MR. JONES: At this time, your Honor, I  
11 would like to mark an exhibit for the record.  
12 Approach the witness?

13 EXAMINER SEE: Yes.

14 MR. JONES: This would be Staff Exhibit  
15 110.

16 (EXHIBIT MARKED FOR IDENTIFICATION.)

17 Q. Give you a second to look that over.

18 I have handed you, Mr. Meehan, what has  
19 been marked as Staff Exhibit 110. Do you see that  
20 before you?

21 A. Yes, I do.

22 Q. And this is the forward-price curve  
23 presented in the source used for this -- these curves  
24 are the energy velocity sweep and the trading from  
25 January 4 of 2010 through May 7, 2012. Do you see

1 all that information being provided on the graph  
2 there?

3 A. Yes, I do.

4 Q. Okay. And I would like to begin by  
5 asking you, first of all, do you know what year this  
6 case started, this capacity case?

7 A. No.

8 Q. Would you be willing to accept, subject  
9 to check, that this case started in 2010?

10 A. Yes, I think I could check this, yes.

11 Q. Okay. And you would agree with me, would  
12 you not, that today we're sitting in 2012, correct?

13 A. Yes.

14 Q. Okay. Now, looking at this exhibit,  
15 Staff Exhibit 110, if this hearing were being held on  
16 December 31, 2010, would gross margins you calculated  
17 be the same or different?

18 A. Well, I'm sure they would be different.  
19 But, again, all else equal, of course, they would be  
20 significantly higher but you would then have to look  
21 at the costs as well. A fair amount of my gross  
22 margin comes from the gas plants. I don't know if we  
23 would have had those in 2010. But certainly I think  
24 at any point in time going back to 2010, this level  
25 of difference in energy prices would have produced a

1 different estimate of gross margins.

2 Q. And let me ask you, if the hearing were  
3 to be held in October of 2012, would your gross  
4 margins be the same or different looking at Staff  
5 Exhibit 110?

6 A. Did you say October, 2012?

7 Q. Yes.

8 A. Well, we don't know what the price is  
9 going to be in October, 2012.

10 Q. I'm sorry, I'm sorry, March, March, 2012.

11 A. It looks like they would have been  
12 somewhat different. The prices look a little lower,  
13 actually, in March '12.

14 Q. So between those two -- those points we  
15 discussed, which -- which point would you choose if  
16 you had a preference?

17 A. Well, I would choose the most recent  
18 point if I was trying to figure out what the most  
19 real projection is. As of the current time.

20 Q. Okay.

21 A. And I think the same is true with if I  
22 forecast, any forecast you properly made during these  
23 times would have changed as well.

24 Q. And it's most likely, is it not,  
25 Mr. Meehan, that forward price also change in the



1 future?

2 A. Sure. Forward prices change and responds  
3 to market conditions for the future. You can see  
4 they generally have -- it looks like they sort of  
5 have two levels in here, one, pre-January, 2012, and  
6 then another after January, 2012, but even within  
7 those levels they do oscillate some.

8 Q. And, Mr. Meehan, is it fair to say your  
9 analysis is based on a single point of the graph on  
10 this exhibit for your analysis?

11 A. Sure, and I think the same is true of any  
12 forecast you would make.

13 Q. Mr. Meehan, can you predict forward  
14 prices one month from now or one year from now for  
15 that matter?

16 A. I can't, no.

17 Q. Mr. Meehan, does -- how does EVA's price  
18 forecast compare to the 12-30-2011 forward-price  
19 curve?

20 A. I did not compare it to the 12-30-2011  
21 forward-price curve.

22 Q. Mr. Meehan, did you independently review  
23 the fuel cost assumptions that AEP provided to you?

24 A. No. Mr. Nelson testified to those.

25 Q. And would you agree, Mr. Meehan, that the

1 single largest cost is fuel, so if AEP Ohio is  
2 overstating fuel cost, your margins would be  
3 understated?

4 A. And vice versa, yes. I mean, fuel is  
5 very important to the analysis.

6 Q. Mr. Meehan, does the AEP pool operating  
7 agreement have a significant impact on AEP Ohio's  
8 earnings?

9 A. I couldn't answer that question. I  
10 haven't reviewed any detail on that.

11 Q. Let me ask you, Mr. Meehan, did you  
12 employ Pro-Mod to do your analysis?

13 A. No.

14 Q. Let me ask you, Mr. Meehan, in conducting  
15 an analysis of the Eastern interconnect, is anybody's  
16 bias imposed into the analysis by customizing inputs  
17 for one utility but not the others, particularly if  
18 they are based upon a different methodology in the --  
19 in the heat rates, average heat rates versus optimum  
20 heat rates? Would there be a bias there if you  
21 applied two different heat rates there?

22 A. I don't think you can answer that  
23 question generally. It depends on what's in your  
24 data set. It depends if you approved the data for  
25 one utility and that was far out of line and the

1 other utilities are not out of line or other plants  
2 aren't out of line, you are improving your analysis.  
3 Generally I believe it's good practice to correct  
4 known errors. And update when you can.

5 Q. Have you ever used different heat rates  
6 for your analysis?

7 A. I don't understand the question.

8 Q. Well, you said that -- give me an example  
9 of how -- when you would do that, when that has been  
10 done and your involvement.

11 MR. CONWAY: Could I have the question  
12 read back, please?

13 (Record read.)

14 MR. JONES: I withdraw the question.  
15 It's convoluted. I withdraw that.

16 Q. Mr. Meehan, does your analysis account  
17 for minimum up and minimum down time for all units?

18 A. For all nongas units and non-must-run  
19 units it does, yes.

20 Q. And does your analysis accurately capture  
21 plant behavior?

22 A. I believe it does.

23 Q. And what hourly data did you use to  
24 calculate the 8,760 price shape?

25 A. The 2011 AEP gen hub shape.

1 Q. And is that data publicly available?

2 A. Yes.

3 Q. And can unit requirements affect the  
4 market price of electricity?

5 A. Yes.

6 Q. And will it affect the hourly prices  
7 uniformly across all hours?

8 A. Not necessarily.

9 Q. And how does your forecast deal with  
10 changes in price shape?

11 A. Well, as I said, in the 2011 price shape  
12 we have 8,760 samples. But I do not try to forecast  
13 changes in price shape. I don't believe they would  
14 be material to my results.

15 Q. Let me ask you how did you validate the  
16 basis differential between the AD Hub and the AEP gen  
17 hub?

18 A. Well, I used historical data.

19 Q. And how well does the hourly AD Hub  
20 predict AEP generation hub at an hourly granularity?

21 A. I think -- I think predicts it fairly  
22 well. I was confident using just one average basis  
23 applied to the shape. Certainly there are some  
24 variations in individual hours between that basis.

25 Q. And your -- so you can provide a

1 confidence interval around your basis?

2 A. I don't have a statistical confidence at  
3 the moment.

4 Q. And how can you be confident then if you  
5 don't have that?

6 A. Well, I've worked with these shape data  
7 for quite a while and I know that shapes tend to have  
8 a pretty small impact on your end result. So as I  
9 said, why different analysts could have done  
10 different shaping of the forwards to hours as long as  
11 you have a reasonable day/night shape, you are going  
12 to get quite similar results in terms of the gross  
13 margin.

14 Q. Mr. Meehan, is it true that the  
15 conversion from monthly to hourly data exclusively  
16 relies on hourly data from 2011?

17 A. That's correct. We use one year, 2011.

18 Q. Okay. And any anomaly in the shape of  
19 the 2011 data would then be propagated forward; is  
20 that correct?

21 A. True, but as I said, you got 8,760  
22 samples in that one year.

23 Q. And was there anything unusual in the  
24 2011 data related to loads?

25 A. Not that I'm aware of.

1 Q. Did you check to see if 2011 was normal  
2 or abnormal in regard to weather?

3 A. You mean like heating degree days or  
4 something? I did not do that check.

5 Q. You did not do that?

6 MR. JONES: That's all I have. Thank  
7 you.

8 THE WITNESS: Thank you.

9 EXAMINER SEE: Mr. Conway? Any redirect?

10 MR. CONWAY: Thank you, your Honor.

11 - - -

12 REDIRECT EXAMINATION

13 By Mr. Conway:

14 Q. Mr. Meehan, towards the end of Mr. Jones'  
15 cross-examination he asked you whether you could  
16 predict I believe it was forward prices one month  
17 from now. Do you recall that?

18 A. Yes.

19 Q. And can you or any analyst predict what a  
20 properly executed forecast would produce one month  
21 from now?

22 A. No. I don't think we could.

23 Q. And do you recall a line of questions  
24 from Mr. Kurtz regarding an analysis of gross margins  
25 from energy freed up from capacity sales as opposed

1 to analyses of gross margins such as the type that  
2 you and Staff Witness Harter and Staff Witness Medine  
3 conducted?

4 A. Yes, I do.

5 Q. Okay. And I believe Mr. Kurtz asked you  
6 about whether the margins produced by the generation  
7 fleet at the top of the stack would be lower than  
8 what would be produced by the generation at the  
9 bottom of the stack. Do you recall that question?

10 A. I'm not sure about the lower but I recall  
11 a question about the difference at the top and the  
12 bottom of the stack, yes.

13 Q. And how would gross margins in your view  
14 produced from generation at the top of the stack  
15 compare to gross margins from generations further  
16 down -- generation further down the stack?

17 A. Well, holding the price constant as you  
18 go down the stack, your gross margin is going to  
19 increase. So your lowest gross margin is going to  
20 come from the unit at the top of the stack, which is  
21 the most expensive and it will decrease as you move  
22 down.

23 Q. And do you recall a question or two from  
24 Mr. Darr regarding whether it would be appropriate to  
25 calibrate and administratively determine any credit?

1           A.    Yes.

2           Q.    And when you -- when you testified in  
3 response to that question affirmatively, what was  
4 your understanding of what -- what was being  
5 administratively determined?

6           A.    My understanding was the energy credit  
7 would be administratively determined so from  
8 testimony on various things using different models,  
9 different approaches, the administrative determined  
10 would be -- determination would be the Commission  
11 saying X is the energy credit.

12          Q.    Well, if the administratively determined  
13 energy credit is based on an approach such as the one  
14 that Dr. Pearce conducted on behalf of the company,  
15 based on embedded costs or historical view of costs,  
16 in that type of an analysis would it be appropriate  
17 or necessary to conduct a calibration of the results?

18          A.    Well, if you are using actual results,  
19 they should already be calibrated.

20          Q.    And so that's your answer, in that  
21 situation they are already calibrated?

22          A.    In that situation they would be  
23 calibrated.

24               MR. CONWAY:  That's all I have, your  
25 Honor.



2779

1 EXAMINER SEE: Recross, Ms. Kaleps-Clark?

2 MS. KALEPS-CLARK: No recross.

3 EXAMINER SEE: Mr. Lang?

4 MR. LANG: No, your Honor, thank you.

5 EXAMINER SEE: Ms. Kingery?

6 MS. KINGERY: No, thank you, your Honor.

7 EXAMINER SEE: Mr. Darr?

8 MR. DARR: No, thank you.

9 EXAMINER SEE: Mr. Kurtz?

10 MR. KURTZ: No, thank you, your Honor.

11 EXAMINER SEE: Mr. Yurick?

12 MR. YURICK: No, thank you, your Honor.

13 EXAMINER SEE: Ms. Yost?

14 MS. YOST: No, ma'am.

15 EXAMINER SEE: Ms. Thompson?

16 MS. THOMPSON: No questions.

17 EXAMINER SEE: Mr. Jones?

18 MR. JONES: No, your Honor.

19 EXAMINER SEE: Thank you, Mr. Meehan.

20 THE WITNESS: Thank you, your Honor.

21 MR. CONWAY: Your Honor, at this time I  
22 would renew my motion for admission of Mr. Meehan's  
23 rebuttal testimony AEP Ohio Exhibit 144.

24 EXAMINER SEE: Are there any objections  
25 to AEP Exhibit 144?

1 MR. DARR: No, your Honor.

2 MR. CONWAY: And your Honor, I'm sorry, I  
3 just want to make sure my -- that it's clear by my  
4 motion and my request to renew it I'm including the  
5 revised Exhibits ETM-R2 and ETM-R3. Thank you.

6 EXAMINER SEE: With that understanding  
7 AEP Exhibit 144 is admitted into the record.

8 (EXHIBIT ADMITTED INTO EVIDENCE.)

9 EXAMINER SEE: Mr. Darr.

10 MR. DARR: Move the admission IEU-Ohio  
11 125 and 126.

12 EXAMINER SEE: Are there any objections  
13 to the admission of IEU Exhibits 125 and 126?

14 MR. CONWAY: Your Honor, with regard to  
15 126, the redacted worksheet, there's no objection.  
16 With regard to the Exhibit 125 for IEU, the white  
17 paper for the Compete Coalition, we do object on the  
18 grounds of relevance.

19 Any of the statements or text in this  
20 document, it's not -- it's not being made by any  
21 party to the case including AEP Ohio and I would just  
22 note that NERA is not a party to the case. And  
23 nothing in Mr. Darr's cross-examination related to  
24 the exhibit tied up to anything in Mr. Meehan's  
25 testimony on rebuttal so it's not impeachment of

1 Mr. Meehan's testimony, so I think it's inappropriate  
2 to admit it for any purpose. It's not relevant and  
3 it's not tied to any aspect of Mr. Meehan's  
4 testimony.

5 EXAMINER SEE: You want to respond,  
6 Mr. Darr?

7 MR. DARR: Certainly, your Honor. The  
8 document goes, first of all, to the witness's  
9 understanding of the markets and the role of  
10 competition and the proper role of competition  
11 certainly is an issue that's been presented in this  
12 case in multiple ways.

13 There's nothing with regard to rebuttal  
14 testimony that would limit my cross-examination with  
15 regard to that under Ohio Rules of Evidence and the  
16 broad scope that's granted by the statute to this  
17 Commission to allow evidence in. There would be  
18 no -- no restriction as to subject matter as implied  
19 by Mr. Conway's objection.

20 And finally, to the extent that it  
21 demonstrates points that we have made throughout this  
22 hearing that the proper role of this Commission is --  
23 in this proceeding is to implement a competitive  
24 price, it clearly supports that as well.

25 EXAMINER SEE: IEU Exhibits 125 and 126

1 are admitted into the record.

2 (EXHIBITS ADMITTED INTO EVIDENCE.)

3 EXAMINER SEE: Mr. Jones.

4 MR. JONES: Yes, your Honor, Staff  
5 Exhibit 110.

6 EXAMINER SEE: Any objection to Staff  
7 Exhibit 110?

8 MR. CONWAY: No objection.

9 EXAMINER SEE: Staff Exhibit 110 is  
10 admitted into the record.

11 (EXHIBIT ADMITTED INTO EVIDENCE.)

12 EXAMINER SEE: I bet you guys want to  
13 talk about a briefing schedule. Let's -- yes,  
14 Mr. Meehan, you are dismissed.

15 THE WITNESS: Thank you.

16 EXAMINER SEE: Let's go off the record.

17 (Discussion off the record.)

18 EXAMINER SEE: Let's go back on the  
19 record.

20 The parties have suggested there have  
21 been a couple of briefing schedules suggested. After  
22 considering -- after considering the suggestions made  
23 and -- the Bench has decided that in light of the  
24 fact that the transcripts will be -- all transcripts  
25 will be included in the record as of end of business

2783

1 tomorrow, there will be one week for initial briefs  
2 and one week for reply briefs. They are, therefore,  
3 due May 23 and May 30.

4 If there is nothing further, this hearing  
5 is adjourned. Thank you all.

6 (Hearing adjourned at 3:03 p.m.)

7 - - -  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

2784

## 1 CERTIFICATE

2 I do hereby certify that the foregoing is  
3 a true and correct transcript of the proceedings  
4 taken by me in this matter on , May 15, 2012, and  
5 carefully compared with my original stenographic  
6 notes.

7  
8 

---

Karen Sue Gibson, Registered  
Merit Reporter.

9  
10 (KSG-5525)

11 - - -  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

**This foregoing document was electronically filed with the Public Utilities**

**Commission of Ohio Docketing Information System on**

**5/16/2012 12:28:21 PM**

**in**

**Case No(s). 10-2929-EL-UNC**

Summary: Transcript of Commission Review of the Capacity Charges of Ohio Power Company and Columbus Southern Power Company hearing held on 05/15/12 - Volume XII electronically filed by Mrs. Jennifer Duffer on behalf of Armstrong & Okey, Inc. and Gibson, Karen Sue Mrs.