

IN THE PUBLIC UTILITIES COMMISSION OF OHIO

- - -

In the Matter of the :
Application of Ohio Edison :
Company, The Cleveland :
Electric Illuminating :
Company, and The Toledo :
Edison Company for : Case No. 14-1297-EL-SSO
Authority to Provide for :
a Standard Service Offer :
Pursuant to R.C. 4928.143 :
in the Form of an Electric :
Security Plan. :

- - -

DEPOSITION

of Judah L. Rose, taken before me, Carolyn D. Ross,
Registered Professional Reporter, and a Notary Public
in and for the State of Ohio, at the offices of
FirstEnergy Corporation, 76 South Main Street, Akron,
Ohio, on Wednesday, January 7, 2015, at 8:00 a.m.

- - -

ARMSTRONG & OKEY, INC.
222 East Town Street, Second Floor
Columbus, Ohio 43215-4620
(614) 224-9481 - (800) 223-9481
FAX - (614) 224-5724

- - -

1 APPEARANCES:

2 FirstEnergy Corp.
3 By Mr. James W. Burk
4 76 South Main Street
5 Akron, Ohio 44308

6 Calfee, Halter & Griswold LLP
7 By Mr. Trevor Alexander
8 The Calfee Building
9 1405 East Sixth Street
10 Cleveland, Ohio 44114

11 On behalf of the Applicants.

12 Bruce E. Weston, Ohio Consumers' Counsel
13 By Mr. Larry Sauer (via speakerphone)
14 and Mr. Michael Schuler (via speakerphone)
15 Assistant Consumers' Counsel
16 10 West Broad Street, Suite 1800
17 Columbus, Ohio 43215-3485

18 On behalf of the Residential Consumers
19 of Ohio Edison Company, The Cleveland
20 Electric Illuminating Company, and The
21 Toledo Edison Company.

22 Earthjustice
23 By Mr. Shannon Fisk
24 Northeast Office
1617 John F. Kennedy Boulevard, Suite 1675
Philadelphia, Pennsylvania 19103

Earthjustice
By Mr. Michael Soules
1625 Massachusetts Avenue NW, Suite 702
Washington, D.C. 20036

On behalf of the Sierra Club.

Bricker & Eckler, LLP
By Mr. Dane Stinson (via speakerphone)
100 South Third Street
Columbus, Ohio 43215-4291

On behalf of the NOPEC.

APPEARANCES: (Continued)

Ohio Partners for Affordable Energy
By Ms. Colleen Mooney (via speakerphone)
231 West Lima Street
Findlay, Ohio 45846

On behalf of the Ohio Partners for
Affordable Energy.

McNees, Wallace & Nurick, LLC
By Mr. Frank Darr (via speakerphone)
21 East State Street, 17th Floor
Columbus, Ohio 43215

On behalf of the Industrial Energy
Users of Ohio.

IGS Energy
By Mr. Joseph Olikier (via speakerphone)
6100 Emerald Parkway
Dublin, Ohio 43016

On behalf of the IGS Energy.

Vorys, Sater, Seymour & Pease, LLP
By Mr. Michael Settineri (via speakerphone)
and Howard Petricoff (via speakerphone)
52 East Gay Street
Columbus, Ohio 43215

On behalf of RESA, the PJM Power
Providers Group and EPSA.

Carpenter Lipps & Leland LLP
By Ms. Rebecca Hussey (via speakerphone)
280 North High Street, Suite 1300
Columbus, Ohio 43215

On behalf of the Ohio Manufacturers'
Association Energy Group.

APPEARANCES: (Continued)

Environmental Law & Policy Center
By Ms. Madeline Fleisher (via speakerphone)
1207 Grandview Avenue, Suite 201
Columbus, Ohio 43212

On behalf of the Environmental Law &
Policy Center.

Taft, Stettinius & Hollister LLP
By Mr. Devin Parram (via speakerphone)
65 East State Street, Suite 1000
Columbus, Ohio 43215

On behalf of The Kroger Company.

Bell & Royer Co., L.P.A.
Mr. Barth Royer (via speakerphone)
33 South Grant
Columbus, OH 43215

On behalf of the Cleveland Municipal
School District.

Exelon Generation Company, LLC
By Ms. Cynthia A. Brady (via speakerphone)
550 West Washington Street
Chicago, Illinois 60661

On behalf of the Exelon Generation
Company, LLC.

Mike DeWine, Ohio Attorney General
By Mr. William L. Wright, Section Chief
Public Utilities Section
Mr. Ryan O'Rourke (via speakerphone)
Assistant Attorneys General
180 East Broad Street, 6th Floor
Columbus, Ohio 43215

On behalf of the Staff of the PUCO.

1 APPEARANCES: (Continued)

2 Brickfield, Burchette, Ritts & Stone, PC
3 By Mr. Owen Kopon
4 1025 Thomas Jefferson Street, NW
5 8th Floor, West Tower
6 Washington, DC 20007-5201

7 On behalf of Nucor Marion.

8 ALSO PRESENT:

9 Ms. Kathleen Kline,
10 Mr. Hisham Choueiki,
11 Ms. Tammy Turkenton.

12 - - -

INDEX

- - -

WITNESS:	PAGE
Judah L. Rose	
Cross-Examination by Mr. Fisk	10
Cross-Examination by Ms. Hussey	125
Cross-Examination by Mr. Olikier	137
Cross-Examination by Mr. Petricoff	211
Further Cross-Examination by Mr. Fisk	219
Further Cross-Examination by Mr. Olikier	267
Further Cross-Examination by Ms. Hussey	285
Further Cross-Examination by Ms. Fleisher	286

- - -

ROSE DEPOSITION EXHIBITS	IDENTIFIED
1 - Direct Testimony of Judah L. Rose on Behalf of Southwestern Electric Power Company	35
2 - OCC Set 7-RPD-066 Attachment 1-a ICForecast: Executive Energy Outlook-Data Tables	54
3 - Return of the RTO: Auction Results Portend Recovery	64
4 - Response to Sierra Club Set 1-INT-28	85
5 - Draft 2015 Load Forecast	95
6 - Responses Sierra Club Set 1-INT-24	117
7 - PJM Load Forecast Report Jan. 2015	142
8 - EPA 5.13v3 Full Test 080213t2 Environmental Measures Report	192
9 - ICF International Implications of Current Low Natural Gas Price Environment on Wholesale Power (Confidential)	200

INDEX (CONTINUED)

- - -

ROSE DEPOSITION EXHIBITS	IDENTIFIED
10- Response to Sierra Club Set 1-RPD-40 (Confidential)	219
11- OCC Set 7-RPD-066 Attachment 1-b ICF International ICForecast: Energy Outlook Data Tables (Confidential)	229
12- Responses to Sierra Club Set 1-RPD-54 (Confidential)	236
13- SC INT 54(a) Attachment 1 (Confidential)	236
14- Henry Hub Natural Gas Futures Quotes - CME Group (Confidential)	243
15- SC Set 1-RPD-23 Attachment 1 ICF International ICForecast: Strategic Energy Outlook Q3 2014 (Confidential)	251
16- Crude Oil Futures Quotes - CME Group (Confidential)	255
17- IGS Set 1 RPD 2 & RPD 3 Attachment 1 (Confidential)	271
18- FES Subpoena Response - Attachment 1 (Sammis) Revised (Confidential)	279

- - -

Wednesday Morning Session,
January 7, 2015.

- - -

(Witness placed under oath.)

MR. ALEXANDER: Good morning. This is Trevor Alexander from the firm of Calfee, Halter & Griswold. I'm one of the lawyers representing the companies. Also here is Jim Burk on behalf of the companies.

Could everyone appearing via telephone please identify themselves at this point?

MR. PETRICOFF: This is Howard Petricoff. Good morning, Jim and Trevor. And Mike Settineri will be joining as well, and that's for RESA, P3, and EPSA.

MR. ALEXANDER: Howard, was it EPSA or Exelon?

MR. PETRICOFF: It was EPSA, E-P-S-A.

MR. DARR: Frank Darr, I'm here on behalf of IEU Ohio.

MR. O'ROURKE: Ryan O'Rourke, I'm counsel for staff.

MR. ALEXANDER: Colleen, could you go again, please?

1 MS. MOONEY: Yes. This is Colleen
2 Mooney, with Ohio Partners for Affordable Energy, 231
3 West Lima Street, Findlay, Ohio.

4 MR. STINSON: Dane Stinson on behalf of
5 the Northeast Ohio Public Energy Counsel.

6 MS. HUSSEY: Rebecca Hussey on behalf of
7 Ohio Manufacturers' Association Energy Group.

8 MR. ROYER: Barth Royer on behalf of the
9 Cleveland Municipal School District.

10 MR. OLIKER: Joe Olikier on behalf of IGS
11 Energy.

12 MR. SAUER: Larry Sauer, OCC.

13 MR. SCHULER: Mike Schuler, OCC.

14 MS. FLEISHER: Madeline Fleisher on
15 behalf of the Environmental Law & Policy Center.

16 MR. KOPON: Owen Kopon, Nucor Marion.

17 MR. ALEXANDER: Okay. Is there anyone
18 else on the telephone who has not yet identified
19 themselves?

20 MR. CHOUYEIKI: Hi. Good morning. This
21 is Hishom Choueiki with staff, but I'm not a lawyer
22 so I won't be speaking.

23 MR. ALEXANDER: Good morning.

24 MS. TURKENTON: Also Tammy Turkenton

1 with staff.

2 MR. ALEXANDER: Good morning, Tammy.

3 Okay. With that --

4 MR. FISK: And I'm Shannon Fisk, here on
5 behalf of the Sierra Club.

6 MR. SOULES: Michael Soules on behalf of
7 Sierra Club.

8 MS. KLINE: I'm Kathleen Kline with
9 Sierra Club, I won't be speaking. All right.

10 - - -

11 JUDAH L. ROSE,
12 being by me first duly sworn, as hereinafter
13 certified, deposes and says as follows:

14 CROSS-EXAMINATION

15 BY MR. FISK:

16 Q. Good morning, Mr. Rose.

17 A. Good morning.

18 Q. How are you doing today?

19 A. Okay.

20 Q. Good. Good. Could you please state
21 your complete name for the record?

22 A. Judah L. Rose.

23 Q. Okay.

24 A. J-u-d-a-h, Judah.

1 Q. And what's your business address?

2 A. 9300 Lee Highway, Fairfax, Virginia,
3 22031.

4 Q. Okay. Who are you employed by?

5 A. ICF International.

6 Q. Okay. And what is your title there?

7 A. Managing director.

8 Q. Okay. Great.

9 And in your role as managing director,
10 what do you do at ICF?

11 A. I comanage the -- or colead the Energy
12 Advisory Services practice, which is a -- the energy
13 consulting portion of the business. I focus
14 primarily on electric power.

15 Q. And who do you report to?

16 A. I report to Eric Olbeiter.

17 Q. Okay. And who is he?

18 A. He is a manager at the -- in our area.

19 Q. Okay. The Energy Advisory Services?

20 A. Yeah.

21 Q. Okay. And does anyone report to you?

22 A. Yes.

23 Q. Okay. How many -- about how many
24 people?

1 A. You know, between 30 and 105, depending
2 on how broadly you define reporting, it's to colead
3 the Energy Advisory Services group.

4 Q. Okay. And did anyone at ICF work with
5 you on this proceeding?

6 A. Yes.

7 Q. Okay. And how many people?

8 A. Roughly maybe five people.

9 Q. Okay. Okay. And what -- what sort of
10 tasks did they do for you on this proceeding?

11 A. They assisted in the computer modeling,
12 and in the analysis of the results of the computer
13 modeling, and overall project activities, including
14 client contact, et cetera.

15 Q. Okay. And did you -- did you personally
16 do any of the modeling that's represented in your
17 testimony?

18 A. I directed it, but I didn't actually do
19 the actual pushing of the buttons.

20 Q. Okay. Who did that?

21 A. Jamie Cotrone, C-o-t-r-o-n-e, and Lalit,
22 I don't remember his full name.

23 Q. And when you say you direct -- I believe
24 you said you directed the modeling that they did.

1 What do you mean by that?

2 A. I directed the entire project, and I
3 reviewed all aspects of the work.

4 Q. Okay.

5 A. And was very much involved in the
6 overall development of the product.

7 Q. Okay.

8 A. I would add that David Gerhardt and
9 others were also involved in the calculations that
10 occur after the modeling, and including lots of the
11 spreadsheets that are put together.

12 Q. Okay. And did you -- did you personally
13 draft your testimony in this proceeding?

14 A. Yes.

15 Q. Okay. And in terms of the modeling that
16 was done, what did you do to review the modeling that
17 your staff did?

18 A. I reviewed the inputs, I reviewed the
19 outputs, and I reviewed the related calculations.

20 Q. Okay. And when you say you reviewed
21 them, what did you do to review them?

22 A. I reviewed them for reasonableness, for
23 appropriateness, for accuracy, and that's what I did.

24 MR. ALEXANDER: Did someone just join

1 the call?

2 MR. PARRAM: Good morning, this is Devin
3 Parram on behalf of The Kroger Company.

4 MR. ALEXANDER: Good morning, Devin. Go
5 ahead.

6 BY MR. FISK:

7 Q. Okay. And it's my understanding that
8 you are testifying today on behalf of Ohio Edison
9 Company, Cleveland Electric Illuminating Company and
10 Toledo Edison Company; is that correct?

11 A. Yes.

12 Q. Can we agree to refer to those three
13 collectively as the companies?

14 A. I can agree.

15 Q. Okay. Great.

16 And have you communicated with anyone
17 regarding this proceeding who is employed by any of
18 the companies?

19 A. I don't know.

20 Q. Okay. Who -- who have you communicated
21 with outside of ICF about this proceeding?

22 A. Mark Hayden, David Pinter, Scott Casto,
23 those are the three people that I know that I believe
24 are employees of one of the FirstEnergy set of

1 companies that I've been dealing with.

2 Q. Okay. And anyone else involved in the
3 FirstEnergy companies?

4 A. Not that I can remember.

5 Q. Okay. And do you know who David Pinter
6 is?

7 A. Yes.

8 Q. And who is he?

9 A. I know who he is.

10 Q. I mean, what company he works for?

11 A. That, I -- I can't tell you
12 specifically.

13 Q. Okay. Okay. And Scott, I believe you
14 said Castro; is that correct?

15 A. Casto.

16 Q. Casto?

17 A. C-a-s-t-o.

18 Q. Do you know who he works for?

19 A. Not precisely sure.

20 Q. Okay. And have you ever communicated
21 with Jay Ruberto?

22 A. No. But as I'm sitting here, I've also
23 dealt with Ebony, another in-house lawyer at one of
24 the companies, and there were some others that I've

1 dealt with as well, but I can't remember all their
2 names.

3 Q. Were they all in-house counsel, do you
4 think, or --

5 A. No. I think some of them, as I'm
6 recalling, were not necessarily lawyers, and I just
7 can't remember everybody's names.

8 Q. Okay. Okay. But Jay Ruberto was not
9 someone you've communicated with?

10 A. I've seen the name, but I don't believe
11 he was in this set of people that I've been meeting
12 with physically.

13 Q. Okay. How about any written
14 communications?

15 A. I can't remember any specific
16 communications with Jay.

17 Q. Okay. Jason Lisowski, have you
18 communicated with him?

19 A. I don't believe so. I can't rule it
20 out, but I don't believe so.

21 Q. Okay. And do you know, does ICF have a
22 consulting agreement with any of the companies
23 regarding this case?

24 A. Yes. Has a consulting agreement, and I

1 know -- my testimony is on behalf of the companies,
2 but I don't remember the details of the agreement.

3 Q. Okay. So you don't know if the
4 agreement is actually with the companies?

5 A. I'm not sure.

6 Q. Okay. Okay. Do you know -- well,
7 strike that.

8 The payment for your time on this
9 proceeding, does this go to ICF directly?

10 A. Yes.

11 Q. Okay. And do you know, is ICF being
12 paid for your time by any of the companies?

13 A. Well, let me put it this way, what I
14 believe is that the agents of the company have hired
15 me.

16 Q. Okay.

17 A. And I expect to be paid.

18 Q. Sure.

19 A. And as far as I know, I am being paid,
20 but the exact affiliations and the relationships and
21 the agency aspects of it, haven't focused in on it
22 and I can't speak to.

23 Q. Okay. Are you aware that this
24 proceeding involves a proposed agreement under which

1 FirstEnergy Solutions would sell capacity, energy and
2 ancillary services from its Sammis, Davis-Besse
3 plants, and its share of the OVEC plants to the
4 companies?

5 A. Yes. I have some general understanding
6 to that effect.

7 Q. Okay. And are you -- my understanding
8 is your testimony in this proceeding deals with
9 projections of energy prices and natural gas prices,
10 correct?

11 A. Yes, and other related aspects --

12 Q. Okay.

13 A. -- of market conditions.

14 Q. Okay. Are you offering any opinions
15 regarding the proposed agreement that I just
16 referenced between FirstEnergy Solutions and the
17 companies?

18 A. I don't know exactly what you mean by
19 that, but the focal point, as you described, is for
20 the market -- the market-related issues. I'm not
21 opining as to whether the Commission should approve
22 the arrangement or not.

23 Q. Okay. All right. And do you know,
24 approximately when did you first become involved in

1 this proceeding?

2 A. Sometime in the spring of this past
3 year, 2014.

4 Q. Okay. And how did that -- how did that
5 involvement come about?

6 A. We were called -- or I was called and
7 asked to provide assistance related to this case.

8 Q. Okay. Do you recall who called you?

9 A. You know, I think it's one of the -- I
10 think it might have been Mark Hayden, but I'm not 100
11 percent sure.

12 Q. Okay.

13 A. I did also have some conversations with
14 David Pinter, but I can't really specifically recall.

15 Q. Okay. Do you recall having any
16 substantive conversations regarding this proceeding
17 with anyone who isn't a lawyer for one of the
18 FirstEnergy companies?

19 A. Yes.

20 Q. Okay. And who would that be?

21 A. I don't believe David Pinter's a lawyer,
22 and there were, I believe, other people I spoke to
23 who were not lawyers.

24 Q. Okay. And did they provide you any --

1 or, what was the -- this -- the focus of your
2 conversations with David Pinter?

3 A. Instructions related to the assignment.

4 Q. Okay. What sort of instructions?

5 A. To provide projections for
6 market-related parameters, mostly prices, at over --
7 for a specific period of time and for specific
8 locations and specific products.

9 Q. Okay. So in your testimony, you offer
10 projections in market energy and capacity prices over
11 the next 20 years; is that correct?

12 A. That's the primary piece of information
13 that I'm providing. It's not the only thing, but
14 it's the primary.

15 Q. Okay. And your energy price forecast,
16 that's tied largely to a forecast of natural gas
17 prices that you also present in your testimony; is
18 that correct?

19 A. Natural gas prices are an important
20 parameter, but it's tied to other things ranging from
21 coal prices, electricity demands, transmission
22 constraints, various different other costs that
23 contribute to the determination of prices for
24 electrical energy.

1 Q. Okay. And then your testimony also
2 discusses a series of assumptions upon which your
3 various projections are based; is that correct?

4 A. Yes.

5 Q. Okay. And did you discuss any of those
6 assumptions with anyone at FirstEnergy before using
7 them to generate your projections?

8 A. I believe there was some discussion of
9 what our assumptions were, but it was very cursory.

10 Q. Okay. Do you recall what those cursory
11 discussions were?

12 A. There were some discussions related to
13 the modeling, level of detail that was required, and
14 general levels of assumptions and an approach.

15 Q. Okay. And when you say "the modeling,"
16 are you referring to the modeling that you did in
17 this proceeding as opposed to any modeling that the
18 company may have done?

19 A. It was primarily related to the modeling
20 that we did, but also the level of detail and the
21 type of information and the format that they needed
22 the information in for their analysis.

23 Q. Okay. And what was the discussion
24 regarding the level of detail?

1 A. That -- the discussion primarily focused
2 in on the fact that there would have to be a fairly
3 high level of detail for the analysis, because it was
4 related to individual locations on the grid.

5 Q. Okay. When you say "high level of
6 detail," do you mean lots of detail or do you mean
7 doing an analysis at a high general level?

8 A. I mean lots of detail.

9 Q. Lots of detail.

10 A. In particular, they indicated the nodal
11 location and the temporal disaggregation of the
12 material, of the results.

13 Q. When you say "temporal disaggregation,"
14 what do you mean?

15 A. Hourly information as opposed to annual
16 information.

17 Q. So the projections that you provided
18 were provided on an hourly basis?

19 A. Yes.

20 Q. Okay. And that's for energy prices?

21 A. For electric energy prices.

22 Q. Okay. But I assume that capacity prices
23 and natural gas prices were not hourly, correct?

24 A. Correct.

1 Q. Okay. Those were provided in what
2 temporal timeframe?

3 A. Capacity prices are provided on an
4 annual basis, and gas prices are provided on a
5 monthly basis by year.

6 Q. Okay. Okay. And did you -- with
7 regards to the energy prices that you provided, did
8 you -- after you generated hourly projections, did
9 you translate those into any other temporal
10 timeframe?

11 A. For sure annual averages.

12 Q. Okay.

13 A. I can't remember if we did any other
14 additional averaging.

15 Q. Okay. How do you convert from the
16 hourly to the annual average?

17 A. You add up all of the hourly prices and
18 divide by the number of hours in the year, which in a
19 non-leap year is 8,760.

20 Q. Okay. Okay. So going back to the -- to
21 the discussions of your assumptions, were there any
22 discussions about whether you should be using
23 different assumptions than what you were proposing to
24 use, those sorts of things?

1 A. No. It was more -- it was a very brief
2 conversation, may have been, you know, as many as
3 five or 10 sentences, that just indicated that we
4 hadn't, in my view, adopted assumptions that were
5 considered crazy or, you know, outlandish.

6 Q. So the company was trying to make sure
7 you hadn't adopted assumptions that were crazy and
8 outlandish?

9 A. Yes.

10 Q. Who was that conversation with?

11 A. I believe it was with David Pinter and,
12 again, it may have been five sentences.

13 Q. Okay.

14 A. It was a very brief conversation.

15 Q. Okay. Once you were finished with your
16 projections, what did you -- what did you do with
17 them?

18 A. We provided them to the client.

19 Q. Okay. Who at -- who did you provide
20 them to specifically?

21 A. I -- I don't remember exactly who we
22 provided them to, but they were people that work with
23 David Pinter and Mark Hayden.

24 Q. Okay. And were those provided in a

1 report or how -- what format were they provided?

2 A. The primary communication mechanism was
3 Excel spreadsheets.

4 Q. Did you accompany that -- those Excel
5 spreadsheets with any sort of report or explanation
6 of your projections?

7 A. Well, I mean, there was some discussion
8 as to sort of how the outputs are organized, and
9 eventually we did provide a report in the form of
10 draft testimony and then final testimony.

11 Q. Okay. And you referenced that the
12 inputs -- or, the projections were provided in Excel
13 spreadsheets. They were not generated in Excel
14 spreadsheets, correct?

15 A. That's correct. There is some post
16 processing of the computer model outputs which is
17 done in Excel spreadsheets, but the meat of the
18 calculations, it's done in very large, sophisticated
19 computer models.

20 Q. Would you consider an Excel spreadsheet
21 a large, sophisticated computer model?

22 A. Not as large and as sophisticated as
23 the -- for example, the linear program that is solved
24 by the IPM model or the complexity of the GE-MAPS

1 model, but I wouldn't say that it's unsophisticated
2 or small, depends on the spreadsheet. It's just that
3 the models we're using are among the most largest and
4 most sophisticated computer modeling activities that
5 occur, you know, worldwide.

6 Q. Okay. And you mentioned, I believe,
7 too, IPM and GE-MAPS; is that correct?

8 A. Yes.

9 Q. Okay. What makes -- what makes the IPM
10 model large and sophisticated?

11 A. Well, there's the size of the matrix
12 that has to be solved in the case of either of the
13 models, but in particular IPM; it's the nature of the
14 software that's needed to solve these matrices in a
15 reasonable timeframe; it's the complexity of the
16 calculations that lead to the large size of the
17 matrix, et cetera, that creates the complexity.

18 Q. Okay. When you say the matrix to be
19 solved, what is that referring to?

20 A. There's a series of equations that are
21 generated as part of the analysis of the market
22 conditions.

23 Q. Okay.

24 A. And that manifests itself in a matrix of

1 equations that need to be solved.

2 Q. Okay. And the IPM model, I guess, so is
3 it looking at the energy grid as a whole in the
4 country or, like, kind of what's the geographic scope
5 of it?

6 A. The North America -- North America.

7 Q. Okay. And does it have data for
8 basically every generating plant in North America in
9 it or --

10 A. Yes. I mean, there is some level of
11 approximation, particularly for smaller generators,
12 but it does cover all of the generating facilities in
13 North America.

14 Q. Okay. And is that one of the things
15 that makes it a sophisticated model?

16 A. Yes.

17 Q. Okay. Any other elements that make it a
18 sophisticated model?

19 A. It is an extremely large number of
20 elements that make it a sophisticated model. So, for
21 example, there's the power plants, then there's the
22 transmission, there's the regional disaggregation of
23 demand, there's the treatment of capital investment,
24 including retrofitting, mothballing, retirements, new

1 entry, with which power plants will be built, which
2 power plants will be operated, how the cost of
3 operation is determined, how the competition will
4 manifest itself.

5 So there's -- within each of those
6 areas, there's many layers of sophistication that
7 lead to the unusual situation that -- so, for
8 example, not only are the private companies using
9 IPM, but also the federal government, including EPA,
10 as you know is clear from the case.

11 Q. Okay. And having all that information,
12 do you feel that as part of what the model analyzes,
13 does that make the results of the model more robust?

14 A. Yes. I do think that the process by
15 which the forecast is made is a -- one of the
16 criteria for judging the efficacy and usefulness of
17 the forecast.

18 Q. Okay. What would be the other criteria
19 for judging the efficacy and usefulness of a
20 forecast?

21 A. You know, the scope of the issues that
22 are treated, which is related to the issues that
23 we're discussing, but just to be a little bit more
24 explicit, but I think also the quality of the

1 assumptions and the -- the quality of the outputs.

2 Q. And could the IPM model be used to
3 project operations and revenues that you expect a
4 certain generating unit to have over, you know, a
5 timeframe?

6 A. Yes.

7 Q. Okay. And do you feel doing so would --
8 using the IPM model to do so would create robust
9 results?

10 A. It can. I mean, I think, you know,
11 partly it's in comparison to what. A lot of times
12 the model's being used to provide assessment of
13 market conditions, which necessarily involve the
14 interaction of supply and demand and the individual
15 power plants, but it is with less detail than other
16 modeling exercises might have because the focus is on
17 market conditions, which is reflective of a lot of
18 different factors as opposed to focusing in on a
19 specific power plant.

20 Q. So you're saying the IPM model might
21 have less detail and sophistication if you were
22 looking at an individual plant than other models
23 might?

24 A. Yes. Particularly in power

1 plant-specific models that the owners have. It's
2 common that the owners and operators of the power
3 plant being much closer to the power plant have
4 information that's not public or is just more up to
5 date or better or more detailed, et cetera.

6 Q. Okay. And so then the owners of the
7 power plant, after they get your projections, they
8 could use a different model, like Strategist, or
9 something to evaluate their plan?

10 A. Yes. It's -- you know, it could be that
11 type of model or other types of models that they use.
12 It's not uncommon.

13 Q. What other types of models would you
14 typically see used to do the evaluation of a specific
15 plant by utility?

16 A. I mean, it ranges from the models that
17 we use to sort of customized models that the owners
18 have that reflect their commercial activities and
19 their particular assets.

20 MR. ALEXANDER: Did someone join the
21 call?

22 MS. BRADY: Yeah. Hi. This is Cynthia
23 Brady from Exelon.

24 MR. ALEXANDER: Good morning. Go ahead.

1 BY MR. FISK:

2 Q. Okay. And do you know those models, I
3 mean -- well, I guess I mentioned Strategist, but do
4 you know of other kind of commercially available
5 models that a utility would typically use?

6 A. Well, you know, as I indicated there's
7 sort of two categories; the customized and the, if
8 you will, licensable. You know, those are the models
9 that we use; there's Promod, Strategist is a
10 particular type of model, as well. So there are a
11 few out there that I could think of. I don't have an
12 exhaustive set with me, and I certainly can't speak
13 to the customized, which are, you know, proprietary
14 models of the asset owners typically.

15 Q. Would you use an Excel spreadsheet to do
16 revenue projections for a power plant?

17 A. Yes. It's common that we would. In
18 fact, all of our projections ultimately I think
19 believe -- ultimately get to a spreadsheet of some
20 sort or another. It's -- but most of the time, it's
21 when we're doing the analysis of an individual power
22 plant the parameters are coming from the model,
23 itself, the larger computer program.

24 Q. Okay. So from the IPM or something like

1 that?

2 A. Or MAPS or something like that.

3 Q. Or MAPS, okay. Okay.

4 And you -- you generated, you said, your
5 energy prices in an hourly format, correct?

6 A. Yes.

7 Q. Okay. And if you were then projecting
8 revenue for a plant, would you then do some sort of
9 hourly dispatching for that plant to project out
10 their revenues in the future?

11 A. Sometimes. I mean, that is -- sometimes
12 we do it for hour types and sometimes we do it for
13 individual hours, it depends on the situation, and,
14 you know, sometimes we have additional variations,
15 like, bihourly.

16 Q. Are you aware that various intervenors
17 in this proceeding have filed testimony last month?

18 A. Yes.

19 Q. Okay. Have you reviewed any of that
20 testimony?

21 A. I have reviewed some of it to some
22 degree.

23 Q. Okay. Do you know what testimony you've
24 reviewed?

1 A. I've reviewed Mr. Comings, Mr. Wilson,
2 and -- I mean, I received seven testimonies -- there
3 was some Wal-Mart testimony, there was other
4 testimonies, and I can't remember everybody's
5 affiliation and name sitting here.

6 Q. Sure.

7 A. But I did review them to some degree.

8 Q. Okay. Do you know, did you review the
9 testimony of Marc Vallen?

10 A. Yes. I believe I did.

11 Q. Okay. Do you have any opinions
12 regarding any of the testimony you reviewed so far?

13 A. That's a really broad question, you
14 know. So is there any way to be a little bit more
15 specific?

16 Q. Well, let's see, so you mentioned that
17 you reviewed Mr. Comings's testimony. Do you have
18 any opinions as to that testimony?

19 A. Yes.

20 Q. Okay. What opinions do you have?

21 MR. ALEXANDER: Objection. Go ahead if
22 you can.

23 THE WITNESS: Is there any way that you
24 can be more specific?

1 BY MR. FISK:

2 Q. Do you -- are there any portions of his
3 testimony that you -- any portions of his testimony
4 or conclusions that you agree with?

5 MR. ALEXANDER: Objection. Go ahead.

6 THE WITNESS: I -- I really need more
7 specificity to respond to -- I mean, I agree he wrote
8 his name, as far as I can tell, properly. I wouldn't
9 have spelled it that way, but apparently he does.

10 BY MR. FISK:

11 Q. Fair enough.

12 So, for example, Mr. Comings, I believe,
13 questioned your CO2 price forecast, correct?

14 A. Yes, he did. I was struck by the fact
15 that he didn't provide his own forecast.

16 Q. Okay. Do you disagree with his critique
17 of your forecast?

18 MR. ALEXANDER: Objection. If we're
19 going to ask about Mr. Comings's testimony, could we
20 use that as an exhibit?

21 THE WITNESS: Yeah, I'm ready to look at
22 it.

23 BY MR. FISK:

24 Q. Okay. We'll get to it. We'll get to

1 that. It's largely confidential; so it's probably
2 better to cover it in the confidential section. I
3 was trying to see if there's any public stuff we can
4 talk about.

5 Do you recall your work on the Flint
6 Creek plant in Arkansas?

7 A. Yes.

8 Q. Okay. And is that -- my understanding
9 of that proceeding is that you were asked, and you
10 provided testimony, regarding a proposal to retrofit
11 a coal-fired power plant; is that correct?

12 A. Yes.

13 Q. Okay. And as that -- part of that
14 proceeding, you basically did an analysis that
15 forecasts the revenue -- the net present value
16 revenue requirements for a scenario where the plant
17 would be retrofit versus other potential scenarios.

18 A. Yes. That's my memory sitting here.

19 Q. Okay.

20 A. A few years ago.

21 Q. Okay. Can we mark this as Exhibit 1?

22 (EXHIBIT MARKED FOR IDENTIFICATION.)

23 BY MR. FISK:

24 Q. All right. Mr. Rose, you've been handed

1 an exhibit that's been marked as Exhibit 1 in this
2 deposition; is that correct?

3 A. Yes.

4 Q. Okay. And this is the direct testimony
5 that you submitted on behalf of Southwestern Electric
6 Power Company; is that correct?

7 A. It appears to be, yes.

8 Q. Okay. And this was produced in response
9 to Sierra Club Set 1-RPD-39 Attachment 1, up in the
10 right-hand corner of the page it's labeled that.

11 A. I see that.

12 Q. Okay. Great. If you could turn to
13 page -- let me let you finish flipping through to
14 make sure it appears to be the right document.

15 A. Thank you.

16 (Witness reviewing exhibit.)

17 A. Okay.

18 Q. Okay. It does appear to be the
19 document; is that correct?

20 A. It does.

21 Q. Okay. And this is the redacted version,
22 of course, correct?

23 A. Yes.

24 Q. Yes, okay. If you could turn to Page 7,

1 and there's a header that says "Methodology"; is that
2 correct?

3 A. Yes.

4 Q. Okay. And then it says, "ICF uses a
5 four-part assessment to evaluate these options." Do
6 you see that?

7 A. Yes.

8 Q. Okay. And the options are the proposal
9 to retrofit the Flint Creek plant versus various
10 alternatives, several of which involve natural gas
11 generation; is that correct?

12 A. Yes.

13 Q. Okay. And there's a reference there to
14 "Base Case PVR." Do you see that on Page 7?

15 A. Yes.

16 Q. Okay. And so the first step you did in
17 this analysis was to calculate the present value
18 revenue requirements under base case outlook; is that
19 right?

20 A. Yes.

21 Q. Okay. And just so I make sure we're on
22 the same page, what does present value revenue
23 requirements mean?

24 A. Present value is the discounted sum of

1 the -- essentially the costs providing electrical
2 energy service related to the -- in this case the
3 generation part of the business.

4 Q. Okay. So is it that kind of then that
5 cost or repairs of the cost of the proposal versus
6 the revenue that the plant would be expected to
7 generate?

8 A. Yes. For cash-going-forward cost, I
9 think that's a fair characterization.

10 Q. Okay. Then if you look down on Page 7,
11 Line 19, there's a reference to "Sensitivity Case
12 PVRR Analysis." Do you see that?

13 A. Yes.

14 Q. And then it says that you analyzed the
15 present value of revenue requirements for each option
16 under six alternative scenarios; is that right?

17 A. Yes.

18 Q. Okay. And those alternative scenarios
19 looked at potential different prices for natural gas,
20 coal, and CO2; is that right?

21 A. Yes.

22 Q. So essentially when evaluating the
23 revenue requirements in the Flint Creek proceeding,
24 you came up with a base case of inputs for your

1 model, but then also looked at a range of different
2 values for those inputs; is that right?

3 A. Yes. As it says, the first and most
4 important element is the base case, and the
5 sensitivity analysis is a secondary consideration.

6 Q. Okay. But those sensitivity analyses,
7 you state on Line 21, are designed to examine
8 long-term average uncertainty in key economic
9 drivers; is that right?

10 A. Yes, as part of that secondary
11 consideration.

12 Q. Okay. And do you feel evaluating such
13 uncertainty in key economic drivers is an important
14 part of looking at expected revenues from a
15 generating unit over, you know, the next 15, 20
16 years?

17 A. I think what I said here was the
18 principal criteria and the first and most important
19 element is the present value in the base case, but
20 I -- secondary consideration is given to uncertainty,
21 and so that's what we did.

22 Q. In the present proceeding regarding
23 FirstEnergy, you did not do any sort of sensitivity
24 analyses, correct?

1 A. That's correct.

2 Q. Okay. And do you know -- why did you
3 not do any?

4 A. Well, what we did was the most important
5 element of the analysis, we -- which we used our
6 expected values. While in this case we did use
7 multiple sensitivity cases, sometimes we don't, and
8 we were only asked to do a single case, our base
9 case.

10 Q. You were only asked by FirstEnergy to do
11 a single case?

12 A. Yes, albeit a very detailed case
13 involving more modeling tools than was used in this
14 particular case. So there is some tradeoff between
15 detail and the number of cases as a general matter in
16 the work that we do.

17 Q. Who at FirstEnergy asked you to do only
18 a single case?

19 A. You know --

20 MR. ALEXANDER: Objection; misstates
21 prior testimony. Go ahead.

22 THE WITNESS: We -- when -- we had the
23 earlier discussion in this deposition related to
24 conversations such as I remember them, but we were

1 asked to provide projections for our base case on a
2 detailed basis, and I believe it was either from Mark
3 Hayden or David Pinter, or one of the people that
4 either I remember or I don't remember their names.

5 BY MR. FISK:

6 Q. Okay. Do you -- just to clear up the
7 objection that was stated; so is it your testimony
8 that someone at FirstEnergy asked you to do only a
9 single set of projections as opposed to looking at
10 sensitivities?

11 A. We were asked to do one highly detailed
12 projection.

13 Q. Okay. And did you ever recommend to
14 FirstEnergy that they look at sensitivities around
15 the various inputs?

16 A. I guess what I would say is we always
17 ask clients if they also want sensitivities. Part of
18 that is a scheduling issue, and part of it is because
19 sometimes people have a base case that they want us
20 to run, and sometimes they have a base case and
21 sensitivity cases they want us to run. That's a
22 general procedure that we have.

23 Q. Do you recommend to your clients that
24 they should look at sensitivities?

1 A. What I would sort of say is that,
2 everything else being equal, it's better to do more
3 analysis than less, but they need to weigh the fact
4 that depending on the complexity it can be very
5 expensive and time consuming to do a lot of
6 sensitivities, and that the core of the analysis is
7 determining the base case. Because, as we discussed,
8 the NPVRR, the net present value of revenue
9 requirements, is determined on an expected value
10 basis as the discounted cash flow of the base case,
11 and you're using a risk-adjusted discount rate off of
12 a single case. And so it's extremely rare that the
13 sensitivity cases directly affect the actual key
14 decision criterion, which is the NPVRR.

15 So when we're discussing with clients,
16 we're always pointing out that the actual, if you
17 will, evaluation or critical piece of information
18 we're providing comes only from the base case, but
19 that it's useful to keep in mind that there are
20 different uncertainties that are -- can be explored
21 through the sensitivity case, or as in my testimony,
22 through some of the qualitative discussion that we
23 have.

24 Q. Okay. And are you aware that in this

1 proceeding, the proposed transaction would last 15
2 years?

3 A. Yes, that's my understanding, to 2031.

4 Q. Okay. And it's for the companies to buy
5 all of the output from Davis-Besse and Sammis
6 generating stations, plus a small share of the OVEC
7 plants; is that right?

8 A. That's my general understanding. Again,
9 I haven't reviewed the term sheets or the PPA
10 terminology, they don't all exist, et cetera, but
11 that's my general understanding of the arrangement.

12 Q. Okay. And would you agree with me that
13 the amount of money at stake in such a transaction
14 ranges in the billions of dollars?

15 A. Yes.

16 Q. Okay. And would you -- do you believe
17 it's prudent to make a decision involving 15 years
18 and billions of dollars on the basis of only a single
19 set of projections?

20 A. I guess what I would say is is that I
21 don't have an opinion necessarily on prudence, but I
22 guess I'm heartened by the fact that the companies
23 came to us to conduct very detailed, sophisticated
24 analysis. And the analysis that we did was not easy

1 to do, involved two different types of very, very
2 large models, it involved a long period of time and a
3 large range of particular parameters. It was highly
4 detailed, as we discussed earlier, in terms of the
5 specific location and treatment of the topology of
6 the grid. So I'm heartened that the company put that
7 effort in to do that type of analysis.

8 And I am also sensitive to the fact that
9 our work is not inexpensive; so I don't really have
10 an opinion on prudence, but I would say I'm heartened
11 by the work that the company's done.

12 Q. For your -- but do you believe it would
13 be reasonable to sign on to a 15-year contract with
14 billions of dollars at stake based on only -- looking
15 at only a single set of projections?

16 A. I -- you know, I don't have an opinion
17 as to exactly how much information is needed. There
18 seems to be a lot of information that's being
19 generated in this case, and I -- there seems to be a
20 lot of discussion of uncertainty, and I think that
21 that's reasonable and appropriate.

22 Q. The discussion of uncertainty is
23 reasonable and appropriate?

24 A. Yes.

1 Q. Okay. How do you evaluate uncertainty
2 if you've only looked at a single set of projections?

3 A. Well, you know, the -- as I indicated
4 earlier, the uncertainty is reflected in the discount
5 rate, and so a part of the uncertainty is directly
6 affecting the analysis. So present value revenue
7 requirements is based on only two pieces of
8 information; the base case and the discount rate.

9 The sensitivity analysis is used to
10 understand uncertainty, which can be done
11 qualitatively and through some of the calculations
12 that other people are attempting to do. And I don't
13 think that there's a single one-size-fits-all type of
14 approach, but I do think that this is -- the work
15 that we did is an important part of the -- of what's
16 helpful to make these type of decisions.

17 Q. You said the uncertainty is -- is
18 addressed in the discount rate; is that correct?

19 A. Yes.

20 Q. And how is that addressed through the
21 discount rate?

22 A. So the discount rate is determined based
23 on the risk-free rate, plus the risk-adjusted add-on
24 to the risk-free rate, which is a function of the

1 risk of the activity. So that follows from the
2 capital asset pricing model, which is the principal
3 theoretical basis for discount rate determination.
4 And the principal analytic procedure, as we discussed
5 earlier, is the present value of revenue
6 requirements, which takes into account the
7 risk-adjusted time value of money.

8 Q. So how does the risk-adjusted add-on
9 work?

10 A. You take the beta of the activity, which
11 is typically reflected as the covariance of the
12 company's stock price and that of the market, divided
13 by the variance of the stock market, times the market
14 premium for equities, plus the risk-free discount
15 rate gives you the total discount rate.

16 So the beta is a measure of the, what's
17 called, systemic risk, and that's how we bring
18 together a base case into a -- or expected value case
19 into an expected net present value.

20 Q. Okay. Without getting into specifics of
21 numbers, because that's -- those are confidential,
22 but it's my understanding, for example, that you're
23 projecting that capacity prices are going to
24 increase, correct?

1 A. Yes.

2 Q. Okay. And capacity prices play a major
3 role in determining what the projected revenue from
4 the plants at issue will be over the next 15 years;
5 is that correct?

6 A. It plays a major role, but it's
7 distinctly subsidiary to the electrical energy price.

8 Q. Okay.

9 A. So, for example, the firm energy price
10 is typically 80 percent electrical energy and 20
11 percent capacity and equilibrium, just very rough
12 figures.

13 Q. Okay. So energy prices, you also are
14 projecting that those are going to increase, correct?

15 A. Yes.

16 Q. Okay.

17 MR. ALEXANDER: Before you ask your next
18 question, if we can just keep it at that level and
19 then save the rest for --

20 MR. FISK: Yeah, yeah, yeah.

21 MR. ALEXANDER: Okay.

22 MR. FISK: And let me know if anything's
23 confidential, but I won't say any numbers.

24 BY MR. FISK:

1 Q. Would you agree with me that there is
2 uncertainty as to what energy prices will be in the
3 future?

4 A. Yes.

5 Q. Okay. So your projection is not --
6 you're not telling me that it's guaranteed that's
7 what energy prices are going to be in 2026 or
8 something?

9 A. No. What I'm saying is that that's the
10 expected value of what I think prices will be in
11 2026.

12 Q. Okay. And if prices are different than
13 the expected value you used, that would lead to --
14 all else being equal, that would lead to a different
15 net present value revenue requirement for the plants
16 at issue, correct?

17 A. Yes.

18 Q. Okay. So if the energy prices are
19 higher, you're probably going to have a more positive
20 net present revenue requirement for ratepayers,
21 correct?

22 A. Right. Or a higher present value for
23 revenue requirements.

24 Q. Okay. And if energy prices are lower

1 than what you've projected, then you're going to have
2 a lower net present value, correct?

3 A. Yes, as I understand the arrangement,
4 yes.

5 Q. Okay. And so how -- if you're not
6 looking at and you haven't analyzed a lower or a
7 higher energy price, then how are you assessing the
8 impact of that uncertainty on ratepayers?

9 MR. ALEXANDER: Objection; beyond the
10 scope of his testimony. Go ahead.

11 THE WITNESS: In looking at the future
12 projections of prices, we have presented historical
13 information, we've presented forward-price
14 information, we've presented our forecast, we've
15 presented our discussion of what are the critical
16 drivers and what are the -- what are the critical
17 uncertainties in that regard.

18 I think that that's all part of the
19 information that needs to be considered, and I think
20 it's -- again, it's an important part of the
21 information that needs to be considered is what I
22 understand evaluating this larger issue of how to and
23 whether to hedge the uncertainty in the marketplace.

24 BY MR. FISK:

1 Q. Okay. I guess I don't understand, how
2 does the potential for a higher or lower energy price
3 get evaluated if you've only looked at a single
4 energy price projection?

5 MR. ALEXANDER: Same objection.

6 THE WITNESS: Again, people are --
7 they're looking at historical information, forward
8 information, they're looking at our projection,
9 they're looking at the factors that are important for
10 determining what's likely to happen. And I think
11 that that's all useful information, and I think I
12 said that before.

13 BY MR. FISK:

14 Q. So the fact that other parties in this
15 proceeding are looking at uncertainties is useful
16 information?

17 A. Yes. And the fact that we discuss
18 uncertainties and provide additional information
19 other than our forecast I think is also part of the
20 process, and I do think that the information provided
21 is an important contribution.

22 Q. If you look at your testimony, Page 4,
23 Lines 9 through 11, there is a discussion there
24 regarding, in your words, unanticipated developments

1 which have lowered prices over the last few years.

2 Do you see that?

3 A. Yes.

4 Q. What do you mean by "unanticipated"?

5 A. This is related to what I was indicating
6 before, we did discuss uncertainties in the
7 marketplace and identified what those critical ones
8 are. There were developments that were different
9 than our expected values from I would say a period
10 of, say, five or six years ago.

11 Q. Okay. So if we had been sitting here,
12 say, in 2007 and projecting future energy prices, are
13 you saying those projections likely would not have
14 foreseen the developments that you've listed on
15 Page 4, Lines 12 through 22, of your testimony?

16 A. Yes. In the sense that, for example, we
17 believe that there's going to be cycles in the
18 marketplace, but we wouldn't have anticipated that
19 the most -- the largest recession in 70 years would
20 occur two or three years down the road.

21 We didn't -- we anticipated some
22 improvement in the technology of gas, for example, as
23 I indicated in the second dot point, but not to the
24 extent that it had occurred. We project, based on

1 average weather conditions, that there were some very
2 warm winters that affected market conditions,
3 et cetera.

4 So there have been developments that
5 were not included in our expected case to the extent
6 that it turned out to be the case.

7 Q. And is it fair to say that those
8 unanticipated developments led to a lot of the
9 projections made, you know, say, in 2007, 2008, to
10 simply be wrong?

11 MR. ALEXANDER: Objection. Go ahead.

12 THE WITNESS: We're very -- I'm very
13 specific here in highlighting the uncertainty of
14 projections by indicating that prices have been lower
15 than anticipated, albeit -- and I think it is fair to
16 say different than what we projected because of these
17 specific developments.

18 BY MR. FISK:

19 Q. Okay.

20 A. And I indicate later that some of these
21 developments are not ones that we would expect to
22 continue and, therefore, that's why our projection is
23 what it is.

24 Q. Okay. And do you feel that it is --

1 there's a potential for unanticipated developments
2 over the next 15 to 20 years during -- over which
3 you've projected energy prices in this proceeding?

4 A. Yes. I do think that there are -- they
5 may be, and I believe different than the ones that
6 we've had the previous five years. But as I
7 indicated here in my deposition and throughout the
8 testimony, there is significant uncertainty and
9 variability in prices both in terms of multi-year
10 periods and then in terms of shorter-term periods
11 ranging from day to year, annual volatility, which is
12 an important part of the testimony as well.

13 Q. And those unanticipated developments
14 could lead to prices being lower or higher than what
15 you've projected?

16 A. Yes. They could also -- we're
17 projecting an expected value, which is a probability
18 weighted; so it explicitly takes into account that
19 they could be higher or lower. And we're indicating
20 that we're forecasting particular parameters, for
21 example, average conditions. We're not forecasting
22 explicitly the volatility, but that we believe the
23 volatility is an important aspect of the marketplace,
24 and here I'm referring to the daily and annual

1 volatility that occurs in prices.

2 Q. Okay. We can mark Exhibit 2.

3 (EXHIBIT MARKED FOR IDENTIFICATION.)

4 (Discussion held off the record.)

5 (Recess taken.)

6 BY MR. FISK:

7 Q. All right. Mr. Rose, you have been
8 handed an exhibit marked Exhibit 2; is that correct?

9 A. Yes.

10 Q. Okay. And this document is an
11 ICForecast: Executive Energy Outlook - Data Tables;
12 is that correct?

13 A. Yes.

14 Q. Okay. And I'd like to first clear up a
15 little bit of confusion here. When we printed this
16 document, there was a header at the top up here that
17 refers to this as the Integrated Energy Outlook for
18 2013, Quarter 4, but then throughout the document
19 itself it states "ICForecast Quarter 3 2014." Do you
20 see that?

21 A. Yes.

22 Q. Okay. Do you know which one this is?

23 A. I believe it's the Q3 2014.

24 Q. Okay. And this document was produced in

1 response to OCC Set 7-RPD-66 Attachment 1-a.

2 And can you tell me generally what this
3 document is?

4 A. Yes. It's a subscription service
5 forecast of various different energy market
6 parameters.

7 Q. Okay. And ICF --

8 MR. OLIKER: I'm sorry, can I have a
9 clarification? Is this document titled "ICForecast:
10 Strategic Energy Outlook, Q3 2014," and a 70-page
11 document?

12 MR. FISK: No. It's entitled
13 "ICForecast: Executive Energy Outlook-Data Tables,"
14 and it was produced in response to OCC RPD-66
15 Attachment 1-a.

16 MR. OLIKER: Okay.

17 BY MR. FISK:

18 Q. And ICF produces these energy outlooks
19 on a quarterly basis; is that right?

20 A. Yes.

21 Q. Okay. And do you know -- so if this is
22 Quarter 3 2014, do you know approximately when this
23 document would have been created?

24 A. Approximately Quarter 3 2014.

1 Q. Well, I mean, September, are we talking?
2 I mean, when?

3 A. I -- I don't know specifically. It was,
4 you know, sometime in the third quarter.

5 Q. Okay. And looking on the very first
6 page, there's a discussion there that says that
7 the "Executive Energy Outlook now includes price
8 projections for Reference, High and Low cases for all
9 of the covered markets"; is that correct?

10 A. Yes.

11 Q. Okay. And so the reference case,
12 according to the second paragraph on the first page,
13 is based on fundamentals -- a fundamentals-based
14 analysis of natural gas and power markets; is that
15 correct?

16 A. Yes.

17 Q. Okay. And then you say, "The High Case
18 and Low Case...are based on confidence intervals
19 around those Reference Case values derived from prior
20 analysis"; is that right?

21 A. Yes.

22 Q. All right. And would you agree that the
23 high and low cases represent a reasonable range of
24 prices around the reference case?

1 A. Yes, with the caveat that it's
2 fundamentals-based, and we're not varying things like
3 weather which is an important short-term determinant
4 of market prices and for gas.

5 Q. Okay. So did you know what goes into
6 determining high and low cases?

7 A. Yes. In general there is indicated
8 fundamentals based, and that refers to supply and
9 demand variations that are specific to the gas
10 industry typically. They're not economic cycles or,
11 as I indicated, weather. It's things like
12 productivity of various different gas-producing
13 technologies and the parameters that determine the
14 level of gas demand.

15 Q. Okay. This document, just flipping
16 through the pages, also includes high and low cases
17 for coal prices and energy prices, correct, or
18 on-peak power prices, I should say?

19 A. Yes, for -- yes, includes energy. It's
20 electrical energy.

21 Q. Okay. Do you know how the on-peak power
22 price high and low cases were developed?

23 A. Primarily they reflect the high and low
24 fuel price cases that are being developed. I don't

1 remember if there's additional parameters that are
2 being varied.

3 Q. Okay. So the high and low on-peak power
4 price cases come out of the high and low natural gas
5 price projections?

6 A. Yes. They're correlated; that is, the
7 input sets that are creating the high on-peak power
8 price or the high gas price case and the high coal
9 price case, and those right now are the ones that I
10 remember. I don't know that there's any other
11 parameters varied.

12 Q. Okay. So -- and let me make sure I got
13 this right. So you -- the power price projection
14 comes out of the IPM model; is that right?

15 A. Yes.

16 Q. And so for the base -- or the reference
17 case power price projection, you would use the
18 reference case natural gas prices and input; is that
19 right?

20 A. Yes.

21 Q. And then when you want to do the high
22 power price case, you would then use the high natural
23 gas price projection as the input?

24 A. Yes.

1 Q. Okay. And there may have been other
2 inputs that changed, but you're not sure?

3 A. Well, I think the coal price also
4 changed.

5 Q. Okay.

6 A. And those are the main ones sitting here
7 that I remember, and they may be the only ones.

8 Q. Okay. And do you know how the high and
9 low coal price projections are created?

10 A. Similar to the gas price projections,
11 because they're fundamentals based. That's parlance
12 for we're not varying the weather or the -- including
13 economic cycles, but what we're varying is things
14 like coal mining productivity and demand conditions
15 in the coal industry.

16 Q. Okay. So would you agree the high and
17 low cases reflected in Exhibit 2 are designed to take
18 account to -- for some of the uncertainties around
19 the reference case projections?

20 A. Yes.

21 Q. Okay. So if you did not do those high
22 and low case projections that are reflected in
23 Exhibit 2, you wouldn't take account of those
24 uncertainties; is that correct?

1 MR. ALEXANDER: Objection. Go ahead.

2 THE WITNESS: You know, as indicated,
3 the previous versions of this did not include the
4 high and low cases. We've always, you know,
5 discussed the uncertainties in the marketplace. It
6 would be -- in those discussions, they were more
7 qualitative. Here we have a partial quantitative
8 treatment of the uncertainties.

9 BY MR. FISK:

10 Q. Okay. So without those high and low
11 cases, you would not have a quantitative assessment
12 of those uncertainties in your reference case
13 projection, correct?

14 A. No. We discussed earlier that the
15 uncertainty is reflected in the discount rate, and
16 that the principal activity of economic assessment is
17 to assess the expected or probability-weighted value
18 of the projection, taking into account when you're
19 doing the present value the risk-adjusted discount
20 rate.

21 Q. So then why do a high and low case?

22 A. It provides additional information that
23 is informative of the uncertainties that would
24 otherwise be discussed qualitatively in the material

1 or represented in the risk-adjusted discount rate
2 that would be used.

3 Q. But the risk-adjusted discount rate is
4 leading to a different result than your high and low
5 cases, correct?

6 A. The -- there's no result without the
7 parameters, the forecast and the discount rate in
8 terms of present value, you have to have both, and,
9 if you will, the numerator and the denominator. The
10 sensitivity cases typically are not directly used to
11 calculate the expected value, which is the most
12 important parameter.

13 Q. Okay. Does the risk-adjusted discount
14 rate that you use in your reference case change for
15 your high or low case?

16 A. If we were to discount those cases, we
17 would not change the risk-adjusted discount rate.
18 What you are doing is creating a probability-weighted
19 expected value, which is our base case, and then
20 you're using the risk-adjusted discount rate. We
21 don't typically assign specific probabilities to the
22 high and low case and then calculate the expected
23 value.

24 Q. Okay. But if -- if FirstEnergy had

1 wanted a high and low gas price projection, ICF had
2 one that they could have provided, correct?

3 A. Yes. We would have done the analysis.

4 Q. Well, you have one right here in
5 Exhibit 2, correct?

6 A. Yes. Although at the time we did the
7 analysis in August, it was based on what we had at
8 the time. This, as you can see, is indicating that
9 there's a change to the particular outlook. We
10 always were in a situation where we could do
11 sensitivity cases for gas, it's just we have some
12 elaboration here on what the sensitivity cases are.

13 Q. Okay. But your gas price projection
14 that you provided to FirstEnergy came out of your
15 quarterly outlook, correct?

16 A. Yes.

17 Q. Okay.

18 A. It was the Q2 outlook.

19 Q. Okay. So if you had a Q2 high and low
20 case, you could have simply provided those high and
21 low cases to FirstEnergy, correct?

22 A. If we had, which I don't believe we did.
23 We did not have that in this document, but we could
24 have provided low and high gas prices, yes.

1 Q. And are you confident that the
2 risk-adjusted discount rate accounts for all of the
3 uncertainties that are reflected in the high and low
4 cases?

5 A. What I'm confident is that the
6 risk-adjusted discount rate reflects the uncertainty
7 of being in the power business, particularly the
8 wholesale power business, the risks -- principal risk
9 being the range of commodity price outcomes that you
10 could have.

11 Q. It accounts for all of that risk?

12 A. It's taking into account all of the --
13 what they call systemic risk of being in the power
14 business, yes.

15 Q. Okay. But there are other risks that
16 are then addressed through a high and low case,
17 correct?

18 A. No. The systemic risks are the risks
19 that are relevant to the discount rate, and it's
20 related to the capital asset pricing model theory.
21 Among those risks and the principal risks are the
22 uncertainty in the commodity.

23 Q. But if you do a risk-adjusted discount
24 rate assuming to get different underlying energy

1 price, you're going to get a different result, right?

2 A. If we have a different expected value,
3 different base case --

4 Q. Yes.

5 A. -- we will have a different result. If
6 we have a different sensitivity case, in general we
7 don't have a different expected value and a different
8 present value of costs or revenues, or whatever we're
9 measuring.

10 Q. Well, but you have -- you don't -- you
11 haven't done that analysis here; so you don't know
12 that that's true here, correct?

13 A. No. We presented our expected value,
14 our probability-weighted value, our base case, and
15 we've provided that information and it's available
16 for discounting. That's the critical information
17 that's necessary to assess the -- the expected value.
18 That's the main criterion that people are using for
19 making assessments, and so we're taking that into
20 account.

21 Q. Okay.

22 (EXHIBIT MARKED FOR IDENTIFICATION.)

23 BY MR. FISK:

24 Q. Before we turn to Exhibit 3, you stated

1 earlier, I believe, that it would be costly to have
2 provided sensitivity cases to FirstEnergy; is that
3 correct?

4 A. Yes. Everything else being equal, the
5 more cases that you're on, the more costly it is,
6 particularly if you're doing a sophisticated analysis
7 like we did.

8 Q. Do you know approximately how much it
9 would have cost to give a high and low gas price to
10 FirstEnergy?

11 A. The inputs or the outputs? I'm not sure
12 what you mean by the low and high gas.

13 Q. Well, you gave them a base case gas
14 price projection, correct?

15 A. Yes.

16 Q. Okay. And as we discussed in Exhibit 2,
17 ICF also has a high gas price projection and a low
18 gas price projection, correct?

19 A. Yes.

20 Q. Okay. To provide -- provide a similar
21 high gas price projection and low gas price
22 projection to FirstEnergy with respect to this
23 proceeding, what would that have cost?

24 A. You mean all the power and related

1 projections?

2 Q. Yes, the gas, energy price, capacity
3 price.

4 A. That's commercially proprietary. I
5 mean, we should address that later.

6 MR. ALEXANDER: Yeah.

7 BY MR. FISK:

8 Q. Okay. When you provided additional
9 projections to -- or, additional sensitivities to the
10 client in Flint Creek, that would have cost them
11 extra money; is that correct?

12 A. Yes. But as we discussed, they were
13 doing a different type of analysis. The market
14 wasn't nodal, and they didn't -- so there wasn't --
15 we didn't have to use multiple models like we had to
16 use here.

17 Q. So you were able to create high and low
18 projections without additional modeling in that case?

19 A. No. There was additional modeling, but
20 there was less modeling in time, et cetera, than
21 would have been involved if we attempted to reproduce
22 this case with multiple input assumptions. I have
23 multiple scenarios that was -- because we were not
24 using GE-MAPS and IPM together and also GMM, the gas

1 market model, we were using only IPM at the time, and
2 it's in part related to the fact that market was not
3 nodal at the time.

4 Q. Okay. So but it did cost them extra
5 money to be able to get those sensitivity inputs,
6 correct?

7 A. Yes, it did.

8 Q. Okay. And your testimony I believe
9 earlier was that uncertainties around those -- around
10 inputs is -- is adequately addressed by the discount
11 rate; is that correct?

12 A. Yes. The principal result of our
13 analysis is the expected value -- the
14 probability-weighted value, and it's discounted with
15 a risk-adjusted discount rate, and that's the
16 principal decision criteria. The other analyses or
17 other considerations are qualitative in nature.

18 Q. So basically the money that the client
19 in that case spent on getting sensitivity analysis
20 was wasted money?

21 MR. ALEXANDER: Objection.

22 THE WITNESS: No. I didn't say that,
23 and I don't think that that's the case. It's just if
24 you're asking how you do the analysis, as I

1 indicated, the principal result, as I indicated in
2 that testimony and I'm indicating here, the principal
3 result is you're taking the expected value, the base
4 case, and discounting that. And that's what we did
5 here and that's what we did there, but there we also
6 did additional sensitivity cases. Here we discuss
7 the uncertainties on a qualitative basis and did more
8 detailed analysis than the base case.

9 BY MR. FISK:

10 Q. So what was the value to the client in
11 the Flint Creek case of getting those additional
12 sensitivity analyses?

13 MR. ALEXANDER: Objection. Go ahead.

14 THE WITNESS: You know -- you know,
15 we -- we were instructed to do the analysis. When we
16 did that, I think that it gives them some additional
17 information about the uncertainties and the
18 parameters that are addressed in those sensitivity
19 cases.

20 BY MR. FISK:

21 Q. Okay. Turning to Exhibit 3 that you've
22 been handed. This is a document published by ICF
23 called "Return of the RTO"; is that correct?

24 A. Correct. ": Auction Results Portend

1 Recovery."

2 Q. And you are listed as one of the authors
3 on this document; is that correct?

4 A. Yes.

5 Q. And I assume you've seen this document
6 before?

7 A. Yes.

8 Q. Okay. And if you look at the very first
9 page, the first paragraph under Executive Summary,
10 the last sentence, it says, "ICF expects capacity
11 prices will follow a general upward trend in future
12 auctions, but the extent and rate of the increase
13 (and volatility around the generally increasing
14 trend) is more difficult to predict." Do you see
15 that?

16 A. Yes.

17 Q. Okay. Do you agree that the extent and
18 rate of the increase of capacity prices is difficult
19 to predict?

20 A. I stand by what we said, it's more
21 difficult to predict than the general upward trend or
22 the expected value, and -- but, you know, I think the
23 way it's written here is the best description in my
24 view.

1 Q. So would you agree that there is
2 uncertainty regarding future levels of capacity
3 prices?

4 A. Yes.

5 Q. Okay. And would you agree that such
6 uncertainty could be accounted -- at least partially
7 accounted for by looking at a high and low capacity
8 price projection as opposed to just a base case?

9 A. You know, as we discussed earlier, you
10 know, we -- I feel like we've addressed the issue,
11 but we typically are doing base case results. And
12 we're discussing here, we use the word expects, which
13 is -- means mathematically you're taking the
14 probability-weighted value, and it's our base case
15 and that's sort of what we're doing here. You know,
16 I think that that's the most important and the main
17 criterion for evaluating -- making decisions in this
18 business.

19 Q. When you -- if you go back to the --
20 the -- well, maybe you remember just before referring
21 to the document, but in the Flint Creek testimony, my
22 understanding is that the net present value revenue
23 requirement figures came out of modeling done through
24 the IPM model; is that correct?

1 A. Yes.

2 Q. Okay. And is that an hourly dispatch
3 model?

4 A. It's an hour-type dispatch model.

5 Q. What do you mean by that?

6 A. The 8,760 hours map to -- map to
7 different hour types; so it might be a particular
8 season's peak hours or a portion of the peak hours.
9 These are called load segments. And the model is
10 solving for the marginal cost of meeting that level
11 of electrical energy demand, and once you have done
12 that, then you can map it back to the 8,760 hours.
13 So you can create an hourly distribution based on the
14 hour types. It's a technique to reduce the
15 computational intensity of the -- of the analysis so
16 that you can do other types of analyses.

17 Q. Okay. So you -- you get an hourly
18 projection of energy prices, correct?

19 A. Yes.

20 Q. Okay. So for every -- for all 8,760
21 hours, you have different prices for energy?

22 A. Yes. But of those 8,760, there would be
23 a bunch that mapped to a specific hour type and
24 therefore have the same price.

1 Q. Okay.

2 A. So you wouldn't have 8,760 different
3 prices, but you would have for each hour a price, and
4 sometimes it would be the same as another hour and
5 obviously a lot of times it would be different.

6 Q. Okay. And then your model then compares
7 the operating -- the variable operating costs of
8 whatever unit you're looking at to those hourly
9 segments; is that right?

10 A. Yes. In addition to other operational
11 constraints, which making that comparison,
12 determining marginal costs, operation, dispatch,
13 various different parameters.

14 Q. Okay. So is this hourly -- or, these
15 hourly segments, that would be different than, say,
16 looking at, say, a monthly dispatch, correct?

17 A. If in the month you're just -- I mean,
18 I'm not sure exactly what you mean by that. If you
19 say month is, like, at one price, that would be
20 different. Sometimes our assumptions are monthly,
21 sometimes they're seasonal, sometimes they're hourly,
22 it varies.

23 Q. Okay. So the hourly segments that
24 you're talking about is, for example, you're looking

1 at weekday on-peak, weekday off-peak, weekend, is it
2 that sort of thing?

3 A. In IPM it's similar to that, but we may
4 have additional disaggregation. So the industry
5 standard for on-peak is usually 16 hours a day, and
6 we may be breaking that up into multiple segments in
7 the IPM model.

8 Q. Okay. Did you do any sort of a breakup
9 of energy prices into these segments for FirstEnergy
10 in this proceeding?

11 A. Yes. The model has the logic to
12 implement that breaking out.

13 Q. Okay. So the data -- so the energy
14 price projections that you provided to FirstEnergy --
15 I guess I'm confused. I thought earlier you said
16 that it was an hourly projection.

17 A. No. As described in the testimony, the
18 first 10 years are coming from the MAPS model
19 primarily.

20 Q. Yeah.

21 A. And the second 10 years is coming
22 primarily from the IPM model.

23 Q. Okay.

24 A. But both models are using inputs or

1 information from the other model. And that's why, as
2 I indicated, it's a more complex analysis than the
3 work that we did for SWEPCO. And that's in part
4 related to the fact that the market here is different
5 than the market there was at that time.

6 Q. Okay. I guess maybe I'm -- I was
7 unclear there. I'm not -- I've not talked about what
8 went into how you did the analysis, that will be the
9 afternoon session, I'm sure that's confidential, but
10 I'm talking about the format that you provided energy
11 prices to FirstEnergy in.

12 My understanding earlier was that you
13 provided hourly data; so all 8,760 hours per year,
14 you gave them an energy price. But I thought, and I
15 could be wrong, that you're now saying that you gave
16 them these figures in low hourly segments?

17 MR. ALEXANDER: Objection; compound.

18 THE WITNESS: What we provided to the
19 client included the hourly prices. What we've been
20 discussing is the methodology by which we're
21 determining the hourly prices, and that methodology
22 is in the case of the IPM model hour types.

23 BY MR. FISK:

24 Q. Okay. But you did not provide to the

1 client in this proceeding the data broken down by
2 hour types, is that right, the energy price data?

3 A. No, I don't believe so, no.

4 Q. Okay. So if -- if FirstEnergy in their
5 modeling used energy prices based on hourly segments
6 or hourly types, they -- that was something they
7 would have created?

8 A. Yes. That's my understanding.

9 Q. Okay. Do you know if they did that, if
10 they created such data?

11 A. I believe they did.

12 Q. Okay. Were you involved in the creation
13 of that data at all?

14 A. No.

15 Q. Okay. Do you know who at FirstEnergy
16 created that data?

17 A. You know, it might be Jason, I'm not
18 really sure, Jason Lisowski. I'm not really sure,
19 but it may be him. I don't know.

20 Q. Okay. Did you provide any advice to
21 FirstEnergy as to how to create such data?

22 A. No. I don't believe so.

23 Q. Okay. And have you reviewed at all the
24 hourly load -- hourly segment energy price data that

1 FirstEnergy used in its modeling?

2 A. No.

3 Q. Okay. In looking at Page 3, Lines 7 to
4 19, of your testimony, you explain that you have, in
5 your words, testified extensively on a number of
6 issues related to the power sector; is that correct?

7 A. Page -- could you repeat the --

8 Q. Page 3, Lines 7 to 19. I was actually
9 quoting from Line 14.

10 A. Yes.

11 Q. Okay. Have you ever submitted testimony
12 relating to the power sector on behalf of a consumer
13 advocate?

14 A. Does a Public Utilities Commission
15 staff, is that what you're referring to, or just
16 the -- a different group than the staff?

17 Q. I was referring to a different group.
18 So, you know, like, there's Ohio Consumers' Counsel,
19 there's, like, a designated advocate for consumers or
20 ratepayers in many states.

21 A. You know, I have a lot of testimony
22 here. What I do remember is I've testified for a
23 Public Utilities Commission, but I -- and other
24 stakeholders that could be argued to support

1 consumers, but I don't remember specifically a
2 Consumers' Counsel.

3 Q. If you had, it would be listed in your
4 resume; is that correct?

5 A. Yes.

6 Q. Okay. But you can't -- can't
7 correlate -- recollect testifying on behalf of a
8 consumer advocate, correct?

9 A. One second.

10 MR. ALEXANDER: Let me clarify. By
11 "consumer advocate," you mean a statutorily created
12 consumer advocate similar to the Ohio Consumers'
13 Counsel?

14 MR. FISK: Yes.

15 MR. ALEXANDER: Okay.

16 THE WITNESS: Right. Not for, like, a
17 statutorily created entity other than the Public
18 Utilities Commission or individual consumers.

19 BY MR. FISK:

20 Q. Individual consumers?

21 A. Right.

22 Q. You have represented?

23 A. Yes.

24 Q. Who is that?

1 A. I'm representing a large industrial
2 consumer in Oklahoma in a case that's ongoing right
3 now.

4 Q. Okay. Anyone else?

5 MR. ALEXANDER: Take your time.

6 BY MR. FISK:

7 Q. Yeah.

8 A. A large aluminum smelter. I can't
9 recall any others.

10 Q. Okay. You identified two industrial
11 customers, correct?

12 A. Yes.

13 Q. Okay. So no -- have you ever
14 represented any residential ratepayer advocacy
15 groups?

16 MR. ALEXANDER: Objection to the
17 definition of residential ratepayer advocacy groups.

18 BY MR. FISK:

19 Q. Let's start with, well, the statutorily
20 created entities in many states.

21 A. I mean, obviously the Public Utilities
22 Commission staff is a statutorily created entity.
23 I've -- when you say "represented," I was just
24 looking at my list of testimony, I think -- you know,

1 I looked at the list of clients that would include
2 others, but I can't here sitting remember any, but,
3 of course, we've also represented environmental
4 groups, and there may be not somehow -- I don't know
5 exactly what they are.

6 We've represented various different
7 stakeholders, but not, like, individual ratepayers.
8 I can't remember in testimony any Consumers' Counsel
9 that I personally have done.

10 Q. Okay. When you said "we have
11 represented environmental groups," were you referring
12 to yourself personally or ICF as a whole?

13 A. Both.

14 Q. Both. What environmental groups have
15 you represented?

16 A. NRDC, I think that's public; Sierra
17 Club, although I didn't do most of the work in that
18 analysis. So it's a pretty broad spectrum of
19 entities, some of which are -- I can't think of any
20 testimony for a Consumers' Counsel entity.

21 Q. Have you done testimony for any
22 environmental group?

23 A. Well, I mean, like, the Department of
24 Environmental Regulation or something like that, but

1 in terms of, like, a third-party, nongovernmental
2 entity?

3 Q. Right.

4 A. As a firm, our number one client is the
5 Environmental Protection Agency, but I don't think
6 I've testified for an environmental group.

7 Q. Okay. And with regards to the EPA, does
8 the Energy Advisory Services group at ICF ever
9 represent EPA or do work for EPA?

10 A. Yes, but -- yes.

11 Q. Okay. Have you personally?

12 A. Yes.

13 Q. If you could turn to your testimony,
14 Page 9, Lines 17 to 18. You have a sentence there
15 that says, "As power plant earnings in the energy
16 markets increase, capacity prices generally tend to
17 decrease, and vice-versa"; is that correct?

18 A. Yes. That's what it says.

19 Q. Okay. And you agree with that
20 statement?

21 A. Yes. I mean, it's an
22 everything-else-being-equal type of statement, yes.

23 Q. Okay. And that's because capacity
24 markets generally are supposed to provide

1 supplemental revenue when your energy sales are
2 providing insufficient revenue for generation
3 sources; is that correct?

4 A. Yes. It's a necessary mechanism because
5 of price caps on the -- in the energy market that you
6 have to have a -- I would say complementary, but it's
7 also supplemental market to compensate for the energy
8 price caps and the -- that exist in the energy
9 market, electrical energy markets.

10 Q. Okay. So how is that -- this statement
11 about as power plant earnings and the energy markets
12 increase, capacity prices generally tend to decrease,
13 how is that consistent with your projection in this
14 proceeding that both energy prices and capacity
15 prices are going to increase over the next 20 years?

16 A. Well --

17 MR. ALEXANDER: I'm going to caution you
18 to only answer to the extent you can in the public
19 version of the transcript. And if you think you need
20 to go to the confidential version, let's wait and do
21 this answer and question there.

22 BY MR. FISK:

23 Q. Right.

24 A. I would just first say in general that

1 this is one of the relationships that exist between
2 energy and capacity, and there are other drivers of
3 energy and capacity prices.

4 So, for example, if you have excess
5 capacity, you'll have -- and that is somehow
6 eliminated, say, for example, through environmental
7 regulations, and the environmental regulations may
8 also be factors that are increasing the electrical
9 energy price, you could have a simultaneous increase
10 in capacity and energy markets. So there are many
11 factors that are involved, and that's why it's
12 necessary to do the computer modeling that we did,
13 which is an integrated assessment of energy and
14 capacity.

15 Q. So in that integrated modeling that you
16 did, did your projected increase in energy prices put
17 any downward pressure on your capacity price
18 projection?

19 A. Everything else being equal, it did, but
20 there were, again, many different determinants of
21 both energy and capacity, and that was taken into
22 account in the integrated modeling.

23 Q. Okay. And how was that taken into
24 account in the integrated modeling?

1 A. The -- the capacity price is the shadow
2 price of the capacity constraint in the marketplace;
3 that is, the marginal cost of meeting your capacity
4 requirement. That shadow price or marginal cost
5 calculation is taking into account the marginal
6 capacity sources, energy earnings, as well as other
7 factors. And so it is taking into account all of the
8 things that are determining the capacity prices,
9 including the energy prices, and vice-versa. It's a
10 simultaneous determination in the IPM model.

11 Q. And in terms of your projection --

12 MR. ALEXANDER: Could someone please
13 mute their phone? We heard some banging.

14 BY MR. FISK:

15 Q. In your projection of higher energy and
16 capacity prices, one factor that you identify is
17 causing those increases is the demand growth; is that
18 correct?

19 A. Yes. It has a number of different
20 implications, but in general the increase in demand,
21 everything else equal, in this particular market
22 price increases the electrical energy prices and can
23 increase also the capacity prices. But, again, there
24 are multiple factors that are determining things.

1 Q. Sure. So would you agree that all else
2 held equal, if growth and energy demand is lower than
3 what you're projecting, that would tend to reduce the
4 increases into energy and capacity prices that you're
5 projecting?

6 MR. ALEXANDER: Could I have that
7 question reread, please?

8 (Record read back as requested.)

9 THE WITNESS: Yes. But I would have to
10 run that through the model to be sure, because there
11 are circumstances in which the higher energy demand
12 leads to a higher demand for electricity, leads to
13 more additions of new power plants which may be more
14 efficient and have lower costs than the existing
15 plants.

16 So I'd want to make sure that over the
17 time period that -- that all the effects, including
18 the movement up the existing supply curve, which
19 tends to increase the prices certainly in the
20 electrical markets, is off -- is taking -- all the
21 offsetting effects are. It's a complicated
22 relationship, in particular over the long term when
23 you can adjust your capital stock.

24 BY MR. FISK:

1 Q. Okay. So to be sure what the impact of,
2 say, lower peak and energy demand, you would need to
3 rework the model with that as a different input?

4 A. Yes. But having said that, it depends
5 on sort of the time period. The areas where the
6 effects are the most offsetting, if you will, are in
7 the long term, which you have, as I indicated,
8 adjustments to capital stock and also adjustments to
9 capacity prices, which tend to move different than --
10 and tend to offset the effects of the energy markets,
11 all else being equal.

12 Q. Okay. Okay.

13 (EXHIBIT MARKED FOR IDENTIFICATION.)

14 BY MR. FISK:

15 Q. I've handed you, Mr. Rose, an exhibit
16 marked Exhibit 4; is that correct?

17 A. Yes, sir.

18 Q. Okay. And this is the companies'
19 response and supplemental response to Sierra Club
20 Set 1 - Interrogatory 28; is that correct?

21 A. Yes.

22 Q. Okay. And the request refers to
23 Page 19, Line 20, through Page 20, Line 2, of your
24 testimony; is that right?

1 A. Yes, in Figure 4.

2 Q. In Figure 4, yes, okay.

3 And the referenced portions of your
4 testimony discuss energy demand growth and your
5 belief that it will contribute to increases in
6 capacity and energy price increases, correct?

7 A. Well, let's take a look at that.

8 Q. Okay. Sure.

9 A. If you could read back the question.

10 MR. FISK: Could you read back?

11 (Record read back as requested.)

12 THE WITNESS: Yes. What I'm discussing
13 here is the short-term situation in which the capital
14 stock is fixed, the stock at power plants is fixed,
15 and I'm talking about as the economy continues to
16 recover that's the current situation that the
17 economy's in, the short-term assessment.

18 The other is is that I think the -- what
19 we're really referring to is Figure 2, not Figure 4.
20 So I think there's a mistake in the interrogatory,
21 because Figure 4 is not really related.

22 BY MR. FISK:

23 Q. Okay.

24 A. Figure 2 is highlighting the near-term

1 nature of the analysis and the existing and fairly
2 static supply curves.

3 Q. I think that's a fair correction to the
4 interrogatory.

5 A. It may not only be in the interrogatory,
6 but just for clarity, what I was referring to was the
7 Figure 2.

8 Q. Okay. So is it your testimony that
9 projected demand growth has any impact on the
10 long-term energy and capacity price forecast, or is
11 it more just a short-term issue?

12 A. I guess the effects are more or less
13 ambiguous in the immediate term. In the long term,
14 as I indicated, there are more offsetting factors,
15 and I'd have to run the model to know.

16 Q. And when you say "short term," what
17 timeframe are you referring to?

18 A. The next, you know, one to five years.

19 Q. Okay. And long term is?

20 A. Beyond five years. I mean, there could
21 be a medium term.

22 Q. Sure.

23 A. But for simplicity here just, I think,
24 you know, long term is really in the period of time

1 in which the capacity stock and the prices are able
2 to adjust freely.

3 Q. Okay. Would you -- would you agree that
4 as a general matter short term -- projects in the
5 short term are likely to -- strike that. Let me
6 start over.

7 Would you agree that as a general
8 matter, the short-term portions of a projection of,
9 you know, energy price or capacity price, et cetera,
10 is likely to be more accurate than the long term?

11 A. Yes, but with the following explanation.

12 So it's true that in the near term you
13 have a better sense of what's likely to happen than
14 you would have in the long term, but when you do a
15 long-term analysis you have the law of large numbers
16 working for you; so you have basically an averaging
17 effect that comes into play.

18 So if someone said, "Is there more
19 variability in a short-term forecast, like, next week
20 or next month," it could actually be higher
21 variability even though you have a better sense of
22 the insight because you don't have the law of large
23 numbers working for you. So, for example, in
24 long-term forecasts you have sometimes it's hotter

1 than normal, sometimes it's colder than normal,
2 et cetera, and that tends to average out and it makes
3 the forecasting more accurate.

4 Q. Okay. But overall the short term is
5 generally more accurate than the long term?

6 MR. ALEXANDER: Objection; asked and
7 answered. Go ahead.

8 THE WITNESS: Yeah. I would stand by my
9 previous response.

10 BY MR. FISK:

11 Q. Okay. Does a long-term projection
12 provide more opportunity for unanticipated
13 developments such as we were discussing earlier?

14 A. Yes, of a certain type; that is, it's
15 less likely that we would have hotter-than-average
16 conditions in the long term. So in that case it goes
17 the other way, because over the long term you're
18 averaging multiple years. And so you're just not
19 going to have hotter than normal or the colder than
20 normal, it's going to be pretty close to normal, and
21 this is the law of large numbers. But at the same
22 time there are developments that can't be foreseen,
23 and that uncertainty increases over time.

24 Q. Okay.

1 A. So there's many things that are going on
2 when you're doing the forecasting. And so I think
3 I'm answering the question, but I'm not 100 percent
4 sure. If you want me to -- maybe read back the
5 question.

6 MR. FISK: Could you read back the
7 question?

8 (Record read back as requested.)

9 THE WITNESS: Again, yes, I think
10 earlier we were talking about things like exactly
11 what the state of the economy is, but there is the
12 averaging effect that you get on the long term that
13 is an important factor that you don't have in the
14 short term.

15 BY MR. FISK:

16 Q. Okay. Looking back at Exhibit 4,
17 Subsection c. requested identification and percent or
18 amount of the size of the impact that you expect
19 demand growth to have on energy prices and capacity
20 prices; is that correct?

21 A. I'm sorry, could you repeat the
22 question?

23 (Record read back as requested.)

24 THE WITNESS: Yes.

1 BY MR. FISK:

2 Q. Okay. In your response you state that
3 you have not performed any such analysis; is that
4 correct?

5 A. Yes.

6 Q. Okay. So you're not able to tell me
7 kind of the magnitude of the impact of your expected
8 demand growth on your energy price and capacity price
9 forecast; is that correct?

10 A. I have not done an analysis that varies
11 the demand growth and, therefore, I can't isolate
12 that individual parameter; however, the forecast does
13 take into account the expected demand growth that we
14 have in the analysis.

15 Q. Okay. But if you were to do an analysis
16 that varied the demand growth, you could then get a
17 sense of how much of the factor the demand growth is
18 in your projections of energy and capacity price
19 increases?

20 A. Right. I read the question to request a
21 partial derivative, a change in the forecast with
22 respect to a change in a specific parameter, and we
23 hadn't done that. And so I could get the information
24 that a partial derivative would provide, but I -- the

1 forecast does have demand growth in there, but it
2 doesn't -- I don't -- I haven't done an analysis of
3 every parameter -- of course, there's millions of
4 them -- and the demand growth itself is varying by
5 location.

6 So there's a certain ambiguity in the
7 term demand growth that would have further compounded
8 the difficulty of providing a quantitative estimate.
9 We'd have to have it for what time period and in what
10 geographic distribution.

11 Q. Well, you used a specific demand growth
12 projection in your modeling, did you not?

13 A. Yes. But it was a -- a matrix, you
14 know, of year and location, and demand growth is not
15 the same for every location.

16 Q. Right. But I guess I'm saying if you
17 varied to that -- the demand growth numbers that you
18 used, assuming a different level of demand growth for
19 the year and location that you used, you could then
20 assess how important demand growth is to your
21 projections of energy and capacity price increases,
22 correct?

23 A. If I did that in -- in determining how
24 important it is, I might have to do that for other

1 variables as well; that is, if I vary the demand
2 growth, I can see what the effect of the varying of
3 the demand growth is. To determine whether it's
4 important or not, I would want to look at I guess a
5 lot of variables.

6 So -- but if someone's just asking if
7 they can define what the demand sensitivity case is
8 and the scope, et cetera, then I could do, like, a
9 partial derivative and figure the impact of that.

10 Q. Okay. Okay. And you used -- in your
11 modeling, you used as an input the PJM's 2014 demand
12 growth forecast; is that correct?

13 A. Yes. Let me just double-check.

14 Q. I believe it's on Page 51, I believe, of
15 your testimony.

16 MR. ALEXANDER: What page is that?

17 MR. FISK: I believe 51.

18 THE WITNESS: Yes, I see that.

19 BY MR. FISK:

20 Q. Okay. And it said "PJM RTO Zone Demand
21 Forecast." What does that mean?

22 A. So this is a summary table. The details
23 are provided in the workpaper. But PJM RTO zone is
24 a -- I believe this is for the total PJM, and what's

1 calculated as an average is indicated.

2 Q. Okay. So this is for PJM as a whole as
3 opposed to, say, the ATSI zone?

4 A. Correct.

5 Q. Okay. Why did you use PJM as a whole
6 rather than the ATSI zone?

7 A. We did both. That is -- this is just a
8 summary, and the actual details year by year and
9 location by location were I think provided in the
10 workpapers.

11 Q. Okay. So in your modeling that led to
12 your gas and energy price forecast, you used -- which
13 demand group -- demand forecast did you use?

14 A. I used the PJM 2014 load forecast, but
15 that is, itself, disaggregated by time and by
16 location.

17 Q. Okay.

18 A. So that's why I was just wanting to be
19 precise in the earlier answer that we're using demand
20 growth numbers that are varying by year and by
21 location, and we're just trying to summarize those
22 here for expositional purposes.

23 Q. Okay. So the demand growth used to,
24 say, evaluate energy prices with regards to the

1 Sammis plant, it would have been -- a relevant number
2 would have been the number for the zone that the
3 Sammis plant is in as opposed to the RTO as a whole;
4 is that right?

5 A. It would be most relevant or more
6 relevant most likely what the demand is, you know,
7 hour by hour, et cetera, in the zone where the
8 particular plant is located.

9 Q. Okay.

10 A. But the analysis is also affected by the
11 demand conditions and other conditions in other
12 regions as well.

13 Q. Okay.

14 A. So it's a simultaneous determination of
15 pricing and various different outputs, including
16 dispatch, and et cetera, et cetera.

17 Q. Okay. Are you aware that the PJM board
18 has expressed concerns that PJM's load forecast
19 overstates future load?

20 A. Is there a specific quote that you want
21 me to look at?

22 (EXHIBIT MARKED FOR IDENTIFICATION.)

23 BY MR. FISK:

24 Q. Okay. Mr. Rose, you've been handed a

1 document that is labeled Exhibit 5; is that correct?

2 A. Yes.

3 Q. Okay. And it is identified on the first
4 page as a PJM Planning Committee document called
5 "Draft 2015 Load Forecast." Do you see that?

6 A. Yes.

7 Q. Okay. And it's dated December 4th,
8 2014; is that right?

9 A. Yes.

10 Q. Okay. Have you ever seen this document
11 before?

12 A. I don't remember. I may have. I've
13 certainly seen summaries of it.

14 Q. Okay. Okay. As far as you can tell,
15 does this appear to be a PJM document?

16 A. As far as I can tell.

17 Q. Okay.

18 A. It certainly says PJM all over it.

19 Q. If you turn to Page 4 of the document,
20 there's a sentence there, "The PJM Board and various
21 PJM Stakeholders expressed concern regarding recent
22 over-forecasting in light of established PJM findings
23 of model shortcomings and plans to address them." Do
24 you see that?

1 A. Yes, I do.

2 Q. Okay. Do you -- I guess going back to
3 my earlier question: Do you have any awareness of
4 these concerns about the over-forecasting?

5 A. Yes. They -- these concerns relate to
6 not only the forecasts, and also I believe they're
7 also related to the issues -- issues related to
8 economic growth, but also the relationship between
9 the demand forecast and the capacity market. So I
10 think that these concerns are related to a number of
11 different factors, and they manifest themselves in
12 different PJM -- features of PJM.

13 Q. Okay. If you turn to Page 5 of the
14 document, there's a discussion there about the PJM
15 forecast team being tasked with identifying a
16 short-term measure to address the over-forecast issue
17 that can be implemented for the 2015 load forecast.
18 Do you see that?

19 A. Yes. I -- I mean, I see that, yes.

20 Q. Okay. Do you have any awareness of the
21 PJM forecast team working to address the
22 over-forecast issue?

23 A. Yes, and related issues, some of which
24 relate to the fact that for a given forecast they've

1 been excluding a portion of the demand. So they're
2 not only going to be changing the forecast, but also
3 eliminating that exclusion.

4 Q. Okay. If you look at Page 7 of this
5 Exhibit 5, there's a discussion there about add a
6 binary value in the recent history that captures the
7 magnitude by which the model is overshooting recent
8 loads. Do you see that?

9 A. I do see that.

10 Q. Okay. And then there's a statement that
11 doing so contributes to a noticeable shift down in
12 forecast load for many zones. Do you see that?

13 A. I -- I do see that.

14 Q. Okay. Are you aware that -- of this
15 noticeable shift?

16 A. Well, what I'm aware of is that they are
17 lowering their -- they've lowered their forecast and,
18 like a lot of forecasting, they've been -- there's
19 been some difficulty in 2013 and 2014, a lot of it
20 related to slow economic growth until recently. But
21 they're also increasing demand in the marketplace to
22 offset -- that tends to offset the decrease in the
23 demand forecast.

24 Q. And how are they increasing demand?

1 A. They've been excluding two-and-a-half
2 percent of the -- of the demand in the capacity
3 markets, and they've decided that that was
4 inappropriate in their file to -- and I believe it's
5 approved, but I have to double-check that, that they
6 are going to include that to an add percent back in
7 to the forecast that they used for the capacity
8 market.

9 Q. And does your modeling account for that
10 2.5 percent exclusion and demand?

11 A. No. It takes into account the total
12 demand; so it didn't have the 2.5 percent exclusion
13 in it.

14 Q. So the fact that PJM may or may not be
15 changing that 2.5 percent exclusion doesn't impact
16 the results of your modeling, correct?

17 A. It mitigates the fact that there's a
18 change in the forecast. So because our model did not
19 have a 2.5 percent exclusion, to the extent that the
20 demand decreased in their forecast, there would be no
21 change in our forecast demand, at least with respect
22 to capacity.

23 Q. I guess I'm confused. If your model did
24 not include that 2.5 percent exclusion, then how does

1 the fact that PJM may be eliminating that exclusion
2 change your results?

3 A. If they had not eliminated the
4 exclusion, we would have had to decrease our demand
5 forecast. The fact that they eliminated it meant
6 that the forecast anticipated that elimination.

7 Q. Okay. So your -- right. So your
8 forecast anticipated the elimination; so assumed it
9 essentially, correct?

10 A. Right. Assumed the -- that PJM would
11 eliminate the deduction that they had been
12 implementing.

13 Q. Okay. Okay. So if that is assumed in
14 the model, then the fact that they are actually
15 eliminating it doesn't change your results at all,
16 correct?

17 A. That's correct.

18 Q. Okay. The -- in the Exhibit 5, we're
19 focused on -- separately from the 2.5 percent
20 exclusion, we're focused on a change in PJM's demand
21 forecast, correct?

22 A. Yes.

23 Q. Okay. And PJ- -- and -- and this change
24 in demand forecast identified in Exhibit 5 is not

1 currently reflected in your model, correct?

2 A. That's correct.

3 Q. Just looking at Page 10 of Exhibit 5,
4 there's a chart identifying the summer peak forecast
5 for the PJM RTO as a whole; is that correct?

6 A. Yes.

7 Q. Okay. And the blue line starting at
8 2014 is the 2014 forecast; is that right? It's a
9 little hard to see, sorry.

10 A. Yeah. I really can't verify that, but
11 it seems like that probably is what it is.

12 Q. Okay. Well, you see at the bottom it
13 says "Actual," it has a black line.

14 A. I do see that.

15 Q. Okay. And there's the black line on the
16 chart.

17 A. Yes.

18 Q. Okay. Then there's a "Weather
19 Normalized," which is the red line.

20 A. Yes.

21 Q. Okay. And then there's a blue line that
22 says "2014 Forecast," and a blue line on the chart.

23 A. Right. I'm assuming that --

24 Q. Okay.

1 MR. ALEXANDER: Only answer if you have
2 knowledge regarding this.

3 THE WITNESS: Right, right. I mean,
4 it's just hard to see the key, that's all I'm saying.

5 BY MR. FISK:

6 Q. Okay.

7 A. But it seems logical.

8 Q. Okay. And then there's a green line.
9 Do you see that it says "2015 Preliminary Forecast"?

10 A. Yes. It's sort of a draft.

11 Q. Okay.

12 A. It's also marked "Draft" in the
13 document.

14 Q. Okay. But it is a lower line, correct?

15 A. Yes. And as I indicated that there's no
16 offsetting effect for PJM, which is they're
17 increasing the demand in the capacity market.

18 Q. But we already discussed that offsetting
19 factor was already included in your model; so it
20 doesn't change your model?

21 A. That's correct.

22 Q. Okay. Do you know how the -- do you
23 know how if you used the lower load forecast included
24 in the draft 2015 document, Exhibit 5, if you

1 included that as an input in your model, do you know
2 how it would affect your energy and capacity price
3 projections?

4 A. As we discussed, I would have to run it
5 through the model to determine what the effect would
6 be because of the offsetting factors.

7 Q. Okay. And you have not done that,
8 right?

9 A. I have not done that.

10 MR. FISK: Okay. Can we go off for a
11 second?

12 (Discussion held off the record.)

13 (Recess taken.)

14 BY MR. FISK:

15 Q. Just to circle back briefly to something
16 we discussed earlier, we were talking about, you
17 know, once you've done your inputs, you developed
18 your projections, sometimes your clients will then
19 run it, take their own modeling program to do, you
20 know, dispatch modeling of their plants; is that
21 correct?

22 A. Yes.

23 Q. Okay. And do you know of any clients
24 who have done that dispatch modeling on a monthly

1 basis rather than an hourly basis?

2 A. In my experience, the asset owners are
3 doing monthly calculations, among other calculations,
4 in part because the commercial transactions are
5 monthly. And as I indicated, some of our inputs are
6 monthly, and it's now, with my memory, a little bit
7 better than it was earlier.

8 We did provide monthly averages to -- in
9 addition to the hourlies in addition to the annual
10 averages, but in general many commercial activities
11 are monthly. So you have, like, a hedge, it's a
12 monthly hedge, short-term hedge. So it's necessary
13 and common to do a monthly model.

14 Q. For something when you're trying to
15 project the revenue of a plant over a 15-year or
16 20-year period, you're saying it's common to do a
17 monthly dispatching?

18 A. It's common to have monthly results, I
19 think is what I meant to say.

20 Now, these asset models are typically --
21 are most frequently used for shorter-term analysis
22 because there are shorter-term planning, budgeting
23 and commercial activities that are -- that require
24 monthly information. But then when they're used for

1 longer term, they may continue to be monthly or they
2 may report their results in a more aggregated way,
3 particularly out over time.

4 Q. Okay. So when you say that monthly,
5 you're talking about how they report their results,
6 right?

7 A. Yes. And they -- you know, some of
8 their inputs may be monthly, and some of their
9 analysis, you know, may be monthly, but in my
10 experience dispatching is not done just by monthly,
11 it's done by monthly hour types at a minimum.

12 Q. Okay. Do you know of any clients who in
13 doing a longer-term projection, say 15 years with
14 regards to a generating unit, who have done hourly
15 dispatching?

16 A. There are some clients that do hourly
17 dispatching, some are doing hour-type dispatching in
18 my experience.

19 Q. Okay. And do you know and are you --
20 are you aware of any clients who with a 15-year
21 projection did only monthly dispatching as the -- not
22 just what they're reporting, but the actual
23 dispatching analysis they did, they did it only
24 monthly?

1 A. First of all, my earlier response wasn't
2 limited to just 15, that's pretty idiosyncratic, you
3 know, I'm thinking long-term.

4 Q. Okay.

5 A. Now, in terms of the dispatching, I just
6 want to make sure that we're communicating, I'm not
7 sure. Are you asking me are they -- what does it
8 mean in your -- when you're asking me this question,
9 monthly dispatching?

10 Q. Well, I guess I am used to for other
11 proceedings seeing modeling where someone who is
12 dispatching their unit will use something like
13 Strategist in which on an hour-by-hour basis they
14 will compare -- you know, the model will compare
15 their variable operating costs to the hourly energy
16 price, projected energy price --

17 A. Right.

18 Q. -- to determine how much the plant's
19 going to dispatch and how much revenue's going to be
20 generated.

21 A. Yes, that is common. But, again, the
22 asset owners themselves have their own internal tools
23 for budgeting purposes, for commercial activities,
24 for planning. And to my knowledge, no one's

1 dispatching based simply on an average monthly price,
2 they're disaggregating it. In some cases, they
3 disaggregate more or less depending on the
4 circumstance.

5 Q. Okay. As in your understanding,
6 FirstEnergy here disaggregated the energy price?

7 A. Yes, to the extent I understand. I
8 didn't focus in on what they were doing; I focused
9 more in on what our part of the process was.

10 Q. Okay. And just so I'm clear, on a
11 long-term projection it's your testimony that you do
12 have clients who have done the dispatching based just
13 on such a -- on some sort of hourly disaggregation
14 versus an actual hourly dispatch?

15 A. Yes, yes. In part because they're
16 typically using the models that are more geared
17 towards the asset owners, as I indicated, budgeting,
18 planning, and commercial decision making.

19 Q. Okay. Would you agree that hourly
20 dispatching is more -- a more sophisticated analysis
21 than something that is just based on hourly
22 disaggregation?

23 A. Yes. I think that the more detail you
24 have, the more sophisticated it is; however, you

1 know, a critical issue in modeling is finding the
2 right balance between the detail and sort of the
3 scope of your analysis. If you focus in more on
4 detail, you end up in a situation, A, where you have
5 to eliminate the consideration of certain feedback
6 loops and relationships and, furthermore, you end up
7 having much longer periods of time which can make it
8 not feasible effectively to provide the service that
9 the model is trying to do.

10 So there are significant tradeoffs and
11 more is not always better, because there is a limited
12 amount of time and resources and issues that can be
13 addressed. If you overly focus in on one to the
14 exclusions of the others, it could be a serious
15 problem.

16 Q. Don't utilities do hourly dispatch
17 modeling?

18 A. I'm sorry?

19 Q. Don't utilities commonly do hourly
20 dispatch modeling?

21 A. Yes. They frequently do, but they also
22 do hour-type modeling as well, and the same thing for
23 ICF.

24 Q. Okay. But there's no significant hurdle

1 to doing hourly dispatch modeling, correct?

2 MR. ALEXANDER: Objection. In what
3 context?

4 THE WITNESS: We discussed this earlier.
5 There are issues related to the time it takes and the
6 complexity and the things that you lose when you
7 focus more in on hourly versus other periods of time,
8 and it depends on the context that you're doing your
9 work on.

10 BY MR. FISK:

11 Q. And in terms of dispatch modeling, when
12 you're evaluating, you know, the revenues and
13 operations of a plant, does IPM evaluate that plant
14 in comparison to the other plants in its region or in
15 its RTO?

16 A. Yes, and to a lesser degree for the
17 whole country --

18 Q. Okay.

19 A. -- or North America actually.

20 Q. Okay.

21 A. But it's -- it is addressing the
22 competition there, yes, very much so.

23 Q. Okay. Do you agree that that is a more
24 sophisticated analysis than a dispatch analysis that

1 does not look at competition between plants?

2 A. Yes, it's more sophisticated. But
3 having said that, the critical parameter, which is
4 effecting and determining the competition, is the
5 prices. So the expected prices are the most critical
6 parameter, and that is a, you know, miracle of
7 economics that so much information can be conveyed
8 through prices, and that's why capitalism works. I
9 mean, you know, pricing is critical.

10 Q. Okay. But there is a -- I would assume,
11 given that IPM looks at competition between plants,
12 there is a value to your analysis of looking at
13 competition between plants rather than just
14 dispatching a single plant against a market price,
15 correct?

16 A. Yes. One of the principal advantages is
17 that you can actually determine the market prices,
18 and that's why some of the other modeling is having
19 to externally determine what the prices are and then
20 input those prices into the model.

21 So we're doing everything together, but
22 when we do -- that is, the prices and the dispatch,
23 capacity expansion and various different other
24 decisions, when we do that, that means there's a

1 certain amount of simplification that we have to
2 employ in order to capture the --

3 Q. But even once you've identified a
4 projected price as an input, it's still a benefit to
5 assessing how an individual plant competes with the
6 rest of the plants it would be competing with rather
7 than just looking at one plant against the market
8 price, correct?

9 A. It might be, it depends. I mean,
10 obviously you get more information by having, you
11 know, more insight into what's determining the market
12 conditions. But as we discussed earlier, these
13 modeling -- the modeling that's taking the prices as
14 opposed to determining the prices typically has
15 greater detail with respect to the individual power
16 plant, its costs, performance characteristics, which
17 are captured in a more, if you will, averaged or with
18 that much detail in these larger models.

19 So there are tradeoffs, and it's not
20 uncommon, in fact, it's very common, for us to be
21 poring over our results into more specific
22 asset-related models, it's extremely common.

23 Q. Okay. And do you know of any utilities
24 or, say, any of your clients who have done long-term

1 revenue projection for a plant based on an Excel
2 spreadsheet model?

3 A. Yes.

4 Q. And how many?

5 A. Again, I think Excel spreadsheeting is
6 extremely common in the industry. As -- as I
7 indicated, all of our engagements, whether it's for
8 testimony or not, are very likely to have Excel
9 spreadsheet components to them. It's just that we
10 are providing a specific service to -- that's related
11 to these very large sophisticated models.

12 So, for example, the reason why we're
13 doing the work for EPA and also for the affected
14 companies is because that modeling is extremely
15 sophisticated and very expensive and difficult to do.
16 And so it's common for people then to take those
17 results and use that in more detailed spreadsheets
18 that are asset specific or company specific.

19 Q. Okay. But I guess my question was, and
20 just -- you know, is there some component that will
21 be done on Excel, but the actual dispatch modeling
22 for a long-term revenue evaluation of a generating
23 asset, you know of clients who have done that simply
24 based on an Excel spreadsheet?

1 A. Yes. In some cases, clients are using
2 Excel spreadsheets to mark every day their asset
3 positions, and that involves a long-term analysis,
4 and it's focused in on the value of their assets or a
5 description of their position in the marketplace. So
6 it's, you know, common.

7 Most analysis, most activities are --
8 tend to be more short term, but it's not uncommon for
9 people to take the analysis tools and use them for
10 both.

11 Could I just take one break and just
12 drink a little coffee here for a second?

13 Q. Certainly.

14 A. Okay.

15 (Pause.)

16 Q. Okay. Turning to a new topic with
17 regards to capacity price projections, and we're not
18 going to talk about any numbers at this point, you
19 identify on Page 6 of your testimony, starting at
20 Line 15, various reasons why you believe that
21 capacity prices will increase; is that correct?

22 A. I'm on Page 6, Line 15.

23 Q. Yes.

24 A. And it is discussing reasons for

1 increases in capacity prices.

2 Q. Okay. Great. And if you actually start
3 at Line 19, Page 6, and going over to Line 2 on
4 Page 7, one of the factors that you identify is your
5 belief that there will be less capacity price
6 depression from DR; is that correct?

7 A. Yes.

8 Q. Okay. And DR is demand response; is
9 that right?

10 A. Yes. In the situation that we're
11 talking about, PJM, it's primarily interruptible
12 load.

13 Q. Okay. And how do you define
14 interruptible load?

15 A. It's a defined product in PJM, and it
16 refers to resources that are only required to
17 interrupt 60 hours -- up to 60 hours a summer, and
18 can be only interrupted, I believe, something on the
19 order of 10 times during the summer.

20 Q. Okay. So your testimony regarding
21 capacity price depression from DR, are you referring
22 to any other types of demand response besides that
23 60-hour per summer interruptible load?

24 A. Yes. Although I'm primarily focusing in

1 on the interruptible load, because I believe it
2 accounts for 90 percent of the demand resources that
3 participate in the capacity markets.

4 Q. Okay. And so am I correct, your basic
5 point is that this demand response has been holding
6 capacity prices down and, therefore, keeping newer
7 capacity from coming into the market; is that right?

8 A. It is primarily my -- I'm referring to
9 the fact that, as it says, prices have been lowered,
10 and it's been lowered by a combination of the DR and
11 the rules related to DR which have, in some cases, in
12 the view of PJM inadvertently depressed prices, but
13 overall it's a combination of the DR participation
14 and the rules and regulations related to DR.

15 Q. Okay. Okay. And when you say it's
16 depressing capacity prices, that means keeping them
17 well below the cost to new entry or --

18 A. Depressing them below what they would
19 otherwise have been were it not for the DR and the
20 associated rules. Later on in the testimony, I have
21 specific quantitative calculations that have been
22 made by the entities that have access to this
23 information. And so it's a combination of the
24 qualitative impact, as well as the quantitative

1 impact.

2 Q. Okay. And you testify on Line 20, on
3 Page 6, that this -- this capacity price depression
4 from DR is, quote, "unsustainable." Do you see that?

5 A. I do see that, yes.

6 Q. And that is your opinion; is that
7 correct?

8 A. Well, it's my opinion, but it's also a
9 fact, because the depression has led to filings which
10 have said we have inadvertently set up rules and
11 implemented the market that -- in a mistaken way and
12 it allows the DR to lower the price. FERC has
13 adopted that particular filing and the corrections to
14 that. So I'm referring both to things that have
15 already occurred, as well as to things that are
16 proposed and I believe likely to occur at some point
17 in the future.

18 Q. Okay. So would you say that the -- the
19 system is in the process of fixing itself in terms of
20 DR and capacity price depression?

21 A. Yes. And as we discussed the process,
22 some of the things have been done already and are
23 part -- well, the law and the rules and regulations,
24 I'm not offering a legal opinion.

1 Q. Sure.

2 A. I'm just describing changes in the
3 rules, some of it is things that are ongoing, for
4 example, related to the December 12th and December
5 24th filings of PJM --

6 Q. Okay.

7 A. -- of 2014.

8 Q. Okay.

9 (EXHIBIT MARKED FOR IDENTIFICATION.)

10 BY MR. FISK:

11 Q. You've been handed an exhibit marked
12 No. 6; is that correct?

13 A. Yes.

14 Q. Okay. And this is the companies'
15 response to Sierra Club Set 1 - Interrogatory 24; is
16 that correct?

17 A. Yes.

18 Q. Okay. And you are identified as the
19 witness on this response; is that right?

20 A. Yes.

21 Q. Okay. And have you seen this document
22 before?

23 A. Yes.

24 Q. Okay. And the request here asks you to

1 explain the basis for your contention that the
2 depression of capacity prices from DR is, quote,
3 "unsustainable"; is that right?

4 A. Yes.

5 Q. Okay. And in the response after the
6 objections, in the fourth line you say, "The
7 depression of capacity prices below costs from DR
8 ultimately results in capacity shortages, especially
9 in the winter." Do you see that?

10 A. Yes.

11 Q. And, "Capacity shortages and black-outs
12 are not sustainable due to the very high value of
13 power to consumers." Do you see that?

14 A. Yes.

15 Q. Those are your opinions; is that
16 correct?

17 A. Yes. Those are the underlying reasons
18 why there are changes in the marketplace that are
19 afoot.

20 Q. Can you identify any time the demand
21 response has caused blackouts?

22 A. No. But it's a contributor to the
23 problems that occurred during the polar vortex when
24 the system was stressed, and it is also the reason --

1 a reason -- an important reason why PJM has concluded
2 on August 20th for the first time, of 2014, that in
3 the event of the repeat of the polar vortex it will
4 shed load -- it is likely to shed load during the
5 winter, which is very -- a very dangerous situation.

6 Q. And with regards to the polar vortex,
7 did PJM also find that demand response played a very
8 important role in ensuring that blackouts did not
9 occur?

10 A. What it concluded, that approximately 20
11 percent of the DR voluntarily decided to participate,
12 but it is also the case that it has concluded that
13 the market fundamentally needs to be restructured to
14 provide greater reliability of capacity and including
15 greater reliability from DR.

16 So, you know, it's -- there was some
17 mitigating aspects to the general problem, which is
18 that the DR resource, which is an increasingly large
19 resource, is, unlike the other resources, only
20 required to be available up to 60 hours during the
21 summer.

22 Q. So is your testimony here a concern
23 about DR itself, or more concerns about how DR is
24 currently structured under the PJM constructs?

1 A. My concerns are primarily the latter,
2 that the DR, as structured in the current context, is
3 causing the prices to be below costs and leading to
4 dangers to public health and safety.

5 Q. Okay. And you refer to, in your
6 Exhibit 6 discovery response, capacity shortages
7 being caused by DR, correct?

8 A. Yes. In part by DR.

9 Q. Okay. Can you identify any time that
10 the response has caused an actual capacity shortage?

11 A. Well, during the polar vortex, the
12 system was short of capacity; however, it didn't
13 result in blackouts, but it resulted in voltage
14 reductions and other emergency conditions. So -- and
15 that event, combined with projections that without a
16 change there will be load shedding, is the reason why
17 the market has already been restructured partly and
18 is in the process of additional restructuring.

19 Q. Okay. Wasn't a major cause of the
20 capacity concerns during the polar vortex the fact
21 that many units in PJM were unable to operate due to
22 the cold temperatures?

23 A. Yes. There were a number of different
24 causes for the problems in the polar vortex. In my

1 opinion and in the -- an important factor was that a
2 large portion of the resources that are the reserves
3 are not obligated and did not participate in
4 providing energy or capacity during the winter.
5 They're only obligated to participate up to 60 hours
6 during the summer. That is an option that's not
7 available to the supply resources, it's only
8 available to the DR resources, and it's a very
9 serious problem.

10 Q. Okay. Would you agree that the
11 unavailability of capacity in PJM due to mechanical
12 issues at many of the plants is also a very serious
13 problem?

14 A. Yes. And it's a direct result of low
15 capacity prices, which are in large part related to
16 the suppression of capacity prices through the DR and
17 other issues as well.

18 Q. Okay. And are you aware that PJM has
19 submitted a proposal to FERC to create a capacity
20 performance product?

21 A. Yes. I alluded to that earlier, the
22 December 12th filing of PJM to FERC, December 12th,
23 2014.

24 Q. And my understanding is that that filing

1 is intended to provide basically incentives to ensure
2 that generating resources will be available when
3 needed during summer or winter peak periods; is that
4 correct?

5 A. Yes. But it's more correct to say that
6 it's resources in general, including DR resources.
7 There's a separate filing made December 24th for the
8 foreseeable situation in which DR is illegal in the
9 context of receiving payments through any
10 FERC-regulated entity.

11 Q. Okay. And for the capacity performance
12 proposal, have you evaluated whether the Sammis plant
13 would be able to comply with and qualify as a
14 capacity performance resource?

15 A. I have not examined the specifics of the
16 Sammis plant. In general the things that would allow
17 you to qualify would be firm access to fuel on the
18 part of a generating facility, and because coal power
19 plants have coal piles they are -- would qualify as
20 capacity resources under the capacity performance
21 proposal of PJM.

22 Q. There's other qualifications, correct,
23 under the capacity performance proposal?

24 A. There are other qualifications, but I

1 believe the most critical one to determining the
2 capacity price is the cost of firm fuel --

3 Q. Okay. Do you know what --

4 A. -- as opposed to nonfirm fuel.

5 Q. Do you know what any of those other
6 qualifications are?

7 A. Some of the qualifications include
8 willingness or agreeing to participate in the -- in
9 the energy market in the -- bidding in the day-ahead
10 market. It's the indication that you -- on the part,
11 I believe, of the company, that you -- officers that
12 you are intending to be a firm capacity resource, and
13 you have to agree to be willing to subject yourself
14 to the penalties for nonperformance. So it's a set
15 of voluntary things that you have to agree to
16 voluntarily.

17 Q. Is the ability to reliably operate also
18 one of the qualifications for capacity performance?

19 A. Yes. There are tests as well as
20 penalties that -- to obtain under the capacity
21 performance proposal.

22 Q. Okay. If a plant is not able to meet
23 that, you said there's a possibility that they would
24 be subject to penalties; is that right?

1 A. Yes. That the penalties would occur
2 during peak hours defined by the tariff.

3 Q. Okay. And you haven't evaluated whether
4 the Sammis plant could meet those ability-to-operate
5 reliability -- reliably qualifications?

6 A. I have not examined the specifics of
7 Sammis. I just have the general comment I made
8 earlier, which is generally coal power plants can
9 supply because they've met the most difficult
10 criteria for a generator, which is having firm fuel.

11 Q. Okay. And how have you evaluated
12 whether Davis-Besse would satisfy the
13 ability-to-reliably-operate qualification for the
14 capacity performance?

15 A. I have not evaluated the Davis-Besse,
16 but whereas the typical coal pile is 30 to 60 days,
17 typically closer to 60, typical fuel on site at a
18 nuclear unit is between three and five years; and,
19 therefore, all the more so, the nuclear units would
20 meet that particular criterion.

21 Q. Okay. But obviously if they have
22 significant outages, they might have problems meeting
23 the ability-to-reliably-operate criterion, correct?

24 A. It's possible, or they would be subject

1 to the penalties that occur under the proposal.

2 Q. Okay. And same with regards to the OVEC
3 plants, have you evaluated whether they would qualify
4 for the capacity performance standards?

5 A. I have the same response, which is I
6 have some knowledge of those plants based on their
7 generic fuel status, but I haven't examined the
8 individual plants.

9 Q. Okay.

10 MR. FISK: Can we go off for a second?

11 (Discussion held off the record.)

12 MR. FISK: Okay. I believe everything
13 else is confidential. I'll reserve the rest of my
14 time for the afternoon.

15 MR. ALEXANDER: Becky, would you like to
16 go next?

17 MS. HUSSEY: Sure.

18 - - -

19 CROSS-EXAMINATION

20 BY MS. HUSSEY:

21 Q. Would you turn to Page 38 of your
22 testimony, please?

23 A. Yes, ma'am.

24 Q. Okay. And there you're talking about in

1 part auction results from the BRA would be used
2 through May 31st, 2018, I'm assuming; is that
3 correct?

4 A. Correct.

5 Q. Okay. And then in the intermittent
6 period of time from 2018 to 2020, you referred to
7 projected PJM capacity prices to reflect transition
8 from auction pricing.

9 A. Yes.

10 Q. And I wondered how you developed the
11 prices or the price forecasts for 2018 to 2020.

12 A. There's linear interpolation. So, for
13 example, in 2018 the first five months are the BRA
14 prices, and the second seven months are the linear
15 interpolation between the 2018 and 2020 numbers. The
16 2018 being the 2017, 2018 BRA results from the
17 capacity market, and the 2020 are the projections
18 from the IPM model.

19 Q. Okay. And so neither the MAPS model or
20 the IPM model was used for the 2018 to '20 years?

21 A. It was used indirectly in the sense that
22 it was a linear interpolation between a number and
23 another number, one of which was an IPM output.

24 Q. Okay. And I believe you've talked with

1 Mr. Fisk about after 2020 or before 2020 and beyond
2 that the IPM model would be used. If you could turn
3 to Page 39, Line 4, you discuss how the IPM model can
4 retire, mothball, and build power plants to meet
5 reserve margin targets. And I wondered if in your
6 modeling you explored the possibility of retiring or
7 mothballing Sammis at all.

8 A. First of all, in one of the predicates
9 to your question, I wanted to clarify that we're
10 using the IPM to forecast capacity prices from 2020
11 on and to contribute a linear interpolation that we
12 just discussed.

13 With respect to the modeling, I would
14 have to double-check. I believe that the modeling
15 did not give the plant the opportunity to mothball or
16 retire. I don't -- that is, I believe, because the
17 projection in the first 10 years is from the GE-MAPS
18 model and supplemented by the IPM model, and let
19 me -- let me amend what I said.

20 In the IPM model, I believe that we
21 tested to see whether Sammis would retire. I believe
22 I concluded that it would not, and then we put that
23 result that it did not retire or mothball into the
24 GE-MAPS model, and then it ran, but I would have to

1 double-check to make absolutely sure.

2 Q. Okay. Thank you.

3 On Page 45 at Lines 11 and 12, you state
4 that IPM is a dynamic model that optimizes capacity
5 decisions over the entire planning period
6 simultaneously. And I wondered if you could explain
7 to me what you mean by "optimizes capacity
8 decisions."

9 A. Yes. The optimization is the least cost
10 or profit-maximizing outcome that takes into account
11 the minimizing-cash-going-forward costs on a
12 discounted basis. So in every time period, the model
13 asks the question of what should be done with each
14 individual power plant, including whether it should
15 be retired, mothballed, whether it should be
16 retrofit, et cetera; so making the decision based on
17 minimizing discounted cash flows.

18 Q. Okay. Can you explain the
19 "simultaneously" portion of your statement?

20 A. Yes. The -- in the modeling that we're
21 doing, both the GE-MAPS, but in particular here we're
22 discussing IPM, we're using linear programming,
23 that's a technique that involves the simultaneous
24 determination of a large number of variables. And so

1 we're simultaneously determining the action of all
2 power plants, all transmission flows, all investment
3 decisions as opposed to doing that sequentially or
4 offline, if you will. So that's what we mean by
5 simultaneously.

6 And the optimization is a -- an
7 achievement of the mathematical breakthroughs that
8 led to linear programming.

9 Q. Okay. Thank you. And I'll ask you to
10 explain one more statement. If you could turn to
11 Page 45, Line 14, you discuss -- you say that,
12 "GE-MAPS does not incorporate investment
13 decision-making endogenously because of its very
14 detailed treatment of transmission and nodal
15 pricing." Can you explain exactly what you mean by
16 "investment decision-making" there?

17 A. Yes. So the decision making is related
18 to the -- and anything that involves intertemporal
19 decision making, but in particular whether or not you
20 should mothball, retire, build a new power plant,
21 which plants you should do that for, or what retrofit
22 adjustment might you want to make to the power plant.

23 It is not something that can be analyzed
24 in GE-MAPS as I discussed earlier in my deposition.

1 It's part of the tradeoffs that are involved in
2 various different modeling exercises.

3 Q. Okay. And is there any -- I understand
4 the retrofitting, mothballing, retirement-type
5 decisions. Is there anything else that you would
6 include in investment decision making, that category
7 that you've described there?

8 THE WITNESS: Could you read back the
9 question, please?

10 (Record read back as requested.)

11 THE WITNESS: You know what, the
12 question's a little bit, you know, type issue.
13 It's -- those are the main decisions that are
14 involved in this particular category of decisions
15 we're talking about.

16 BY MS. HUSSEY:

17 Q. Okay. And getting back to the GE-MAPS
18 model. Because the GE-MAPS model doesn't necessarily
19 incorporate this type of decision making, would you
20 consider that a flaw in the model?

21 A. No. I would consider it a feature or
22 aspect of the model. Of course, that's related to
23 the reason why we supplemented the analysis whenever
24 we used GE-MAPS with the IPM results, and it's

1 necessary to conduct the sophisticated analysis that
2 was requested of us by the client.

3 Q. Okay. And was your decision to use
4 GE-MAPS for the initial period of time and then the
5 IPM for the more secondary period of time or the long
6 term, was that decision prompted by the complexity of
7 what they -- what the companies asked you to do?

8 A. Yes. As I indicated earlier, the
9 company requested nodal analysis.

10 Q. Uh-huh.

11 A. And so that was an important factor in
12 designing the engagement which was, as I indicated,
13 very sophisticated and complicated.

14 Q. Okay. And IPM does not take nodal
15 analysis into consideration?

16 A. No. It is a zonal model; so it
17 collapses individual nodes into what's known as a
18 centroid, and it's a zonal model. That adjustment is
19 a critical part in the ability of the model to
20 address the intertemporal issues that we were just
21 discussing.

22 Q. Okay. On Page 46 you're discussing the
23 IPM model, and you indicate that, "Energy efficiency
24 and demand side management programs are evaluated in

1 an integrated framework with other resource options";
2 is that correct?

3 A. Yes. That's what it says.

4 Q. Okay. And then what other resource
5 options would be considered?

6 A. The IPM modeling is considering various
7 different types of power plants at different
8 locations and different time periods, and it's
9 optimizing or minimizing the cost of various
10 different resource options. And it depends on how
11 the model's being used, but, for example, it's common
12 for it to consider whether it wants to build
13 renewable power plant or a gas-fired power plant; and
14 if it's a gas-fired power plant, which type of
15 gas-fired power plant, when and where, et cetera.
16 Those are what I'm referring to in terms of resource
17 options.

18 Q. Okay. So fuel resource options?

19 A. Yes. The choice of fuel is made
20 frequently within the model, and many power plants
21 have multiple fuel options, some power plants don't,
22 but some do.

23 Q. And does the model in any way favor a
24 certain type of resource over others?

1 MR. ALEXANDER: Objection; vague. Go
2 ahead if you can.

3 THE WITNESS: No. I think that the
4 model is, you know, a fair statement of the
5 integrated resource planning problem, which by -- the
6 essence of that is trying to give a fair balance
7 treatment to different resources. The degree to
8 which we're dealing with each individual resource
9 varies depending on the application of the model, but
10 I wouldn't say that it's biased, just the opposite.

11 BY MS. HUSSEY:

12 Q. Okay. On Page 47 you discuss ICF's gas
13 market model forecast. And I believe you indicate
14 that the trend of low supply area and natural gas
15 prices will continue in the near term. I just wanted
16 to confirm that when you said "near term" there, you
17 were talking about the one to five-year period that
18 you discussed with Mr. Fisk earlier?

19 A. Yes, approximately.

20 Q. Okay. And on Page 49, you talk about
21 how the NYMEX futures price does not reflect specific
22 supply and demand assumptions. Can you tell me what
23 assumptions you're referring to?

24 A. Yes. We're referring -- what I'm

1 referring to here is, for example, on the demand side
2 how much demand is at a specific location. For
3 example, in North America, when does it occur, that
4 particular demand, what sector is it from. It's not
5 describing what pipeline flows or storage injection
6 or withdrawals are involved. It's not assessing --
7 there's no way to determine what gas is being
8 produced that's underlying that particular
9 projection.

10 So it's a price, and a liquid price.
11 It's not the result of a modeling framework that
12 could then answer the question of what are the supply
13 and demand conditions that are causing that price.

14 Q. Thank you. Page 55, Line 10, you talk
15 about how ICF assumes that the federal CO2 program
16 will be a cap and trade program. And I wondered in
17 your estimation what other forms the program could
18 take.

19 A. There is a possibility of a program that
20 is of the form in which there are complementary
21 measures being used to pursue CO2 control. We think
22 that that's a possibility. Complementary measures
23 refers to things that wouldn't result necessarily in
24 a dollar-per-ton number that would be used for its

1 certain decision making and/or for trading and
2 commercial activity, such as energy efficiency
3 programs or renewable incentives. That's sort of
4 what we're referring to in terms of complementary
5 measures. But --

6 Q. Okay.

7 A. -- as we discussed, we have a specific
8 dollar-per-ton number, and we think that that's a
9 probability to weigh the likely outcome.

10 Q. Okay. And my understanding you assessed
11 several utility sector CO2 control programs, or
12 proposed programs, using the IPM model. And could
13 you provide any detail about what these programs
14 were?

15 A. We examined a program that assumed a cap
16 on utility sector emissions of approximately 1,500
17 pounds per CO2 per megawatt hour starting in 2020
18 with the limit lowering to 1,000 pounds CO2 per
19 megawatt hour by 2030, with that limit applied to
20 utility power plants generally, not just to existing
21 or new plants.

22 We also examined a Wasman Markey type of
23 legislative proposal, but as it applied only to the
24 power sector. We also considered a case in which

1 there are complementary measures which had no
2 dollar-per-ton price, and we took a
3 probability-weighted assessment, as we do for all our
4 variabilities, but in that case it was a particularly
5 explicit assessment to calculate the dollar-per-ton
6 numbers that we have in our projection.

7 Q. Okay. And you detailed that ICF gave
8 probabilities to two of the case that you just
9 described to me. Which cases are you specifically
10 talking about when you make that reference?

11 A. I'm referring to the assignment of
12 probabilities to all three cases. One of the cases
13 is a case in which there is no price, as I indicated,
14 because it's assumed that there will be complementary
15 measures of some form. And, again, I indicated as a
16 general matter all of our inputs are probability
17 weighted; therefore, it's expected
18 probability-weighted value.

19 In this particular case, we did an
20 explicit probability weighting of all three CO2 price
21 vectors or streams, and then calculated an expected
22 CO2 price in dollars per ton. So a probability times
23 zero is a contributing factor to that calculation; so
24 it's all three cases.

1 Q. Okay. Thank you. That's all I have on
2 the public record.

3 MR. ALEXANDER: Okay. Mr. Oliker, would
4 you like to go next?

5 MR. OLIKER: Sure.

6 - - -

7 CROSS-EXAMINATION

8 BY MR. OLIKER:

9 Q. Good morning, Mr. Rose. My name is Joe
10 Oliker, and I represent IGS Energy.

11 A. Good morning.

12 Q. I have a few questions for you today.
13 I'm going to try to tread lightly because of the
14 confidential nature, and I don't want to get too
15 close to that line. So if I do tread into
16 confidential waters, please let me and know I'll try
17 to hold that off until later.

18 A. Okay.

19 Q. And first, are you hearing me okay?

20 A. Yes, sir.

21 Q. Okay. Great.

22 I heard a little bit of discussion about
23 this earlier, and maybe it was because I'm on the
24 phone, but were any assumptions provided to you by

1 FirstEnergy or FirstEnergy Solutions?

2 A. No.

3 Q. Okay. And earlier -- sorry to jump
4 around, but earlier, looking at what was marked -- I
5 think it was your Exhibit 5, that was a PJM load
6 forecast of demand and also net energy, correct?

7 A. Yes. But it's a draft forecast, and
8 it's something that occurred after we finished our
9 analysis.

10 Q. Okay. And that's -- let's talk about --
11 do you have your workpapers with you?

12 A. Yes.

13 Q. And I have a question about that, and
14 feel free to tell me if this is confidential. But
15 turning to the forecast of peak demand in your
16 workpapers, is this truly a confidential document or
17 is this -- are these PJM numbers?

18 MR. ALEXANDER: Mr. Oliker, could you
19 give a reference to which workpaper you're referring
20 to so we can find it?

21 MR. OLIKER: I believe it's the first
22 page of Rose workpapers confidential version, and it
23 may be because of '29 to 2035, but I just want to
24 know if these are -- if this is actually confidential

1 information or if I should ask this here on this
2 record. Just feel free to let me know when you get
3 there. I don't want to rush you.

4 MR. ALEXANDER: Sure. We're trying to
5 find the workpaper right now. We'll let you know
6 when we've got it.

7 MR. OLIKER: Sure. The document I'm
8 talking about says "Gross Peak Demand" and underneath
9 there is a table, "Net Energy."

10 MR. ALEXANDER: Mr. Olikier, that was
11 produced in both the confidential and public versions
12 of Mr. Rose's workpaper. So I think if you're
13 referring to the public version, then you're fine to
14 go forward right now.

15 MR. OLIKER: Okay. I'll try to be
16 careful. I don't believe I have the public version
17 in front of me, but let's -- Mr. Rose, would you
18 agree that the 2014 through 2029 portions of this
19 document are not confidential and they're taken from
20 PJM's publicly posted tables?

21 THE WITNESS: Yes.

22 BY MR. OLIKER:

23 Q. Okay.

24 A. Excuse me, one or two-minute break.

1 MR. ALEXANDER: Sure. We need a brief
2 break before you ask your next question.

3 MR. OLIKER: Sure. How much time do you
4 need?

5 THE WITNESS: Just a minute.

6 MR. ALEXANDER: Let's say five minutes.
7 We'll come back at five till.

8 (Recess taken.)

9 BY MR. OLIKER:

10 Q. We talked about Sierra Club Exhibit 5,
11 and then now we're looking at your workpapers. First
12 just -- and I'm sorry if I repeat anything, but can
13 you just tell me exactly what the peak demand and
14 energy assumptions were used for in your forecast?
15 Am I correct it was used for the capacity forecast?

16 A. The energy and peak inputs are used to
17 determine the -- are inputs to all of the forecasts
18 that relate to, for example, PJM electrical energy
19 prices, PJM capacity prices, PJM power plant,
20 dispatch, et cetera.

21 Q. Okay. So just so I can be clear,
22 because there's two tables that we're talking about
23 here, one is the gross peak demand and one is energy,
24 were both tables used for each of the projections

1 that you talked about?

2 A. Yes. But the -- the gigawatt-hour
3 projection is more relevant to the energy price
4 forecast, and the megawatts are more relevant to the
5 capacity price forecast, but they are both relevant
6 to each of the forecasts.

7 Q. Okay. Thank you.

8 And just to be clear, the first table of
9 Gross Peak Demand comes from Table B-10 from February
10 2014, and the second table comes from Table E-1 from
11 February 2014, and for PJM, correct, and that's
12 listed underneath both tables as a source?

13 A. Yes.

14 Q. And do you regularly look at PJM's load
15 forecasts?

16 A. Yes. I would say, you know, fairly
17 regularly.

18 Q. When was the last PJM load forecast you
19 looked at?

20 A. Excluding today, I did review a summary
21 of the -- of the more recent draft forecast.

22 MR. OLIKER: Trevor, could you please
23 provide the document that I sent over yesterday
24 containing the PJM 2015 load forecast so I can mark

1 it as an exhibit?

2 MR. ALEXANDER: Sure. Give me just a
3 second.

4 MR. OLIKER: Sure.

5 (EXHIBIT MARKED FOR IDENTIFICATION.)

6 MR. OLIKER: I'll ask the court reporter
7 and Trevor in the meantime, do you want me to mark
8 this as an IGS exhibit or keep going forward in the
9 exhibit numbers?

10 MR. ALEXANDER: Keep going forward in
11 the exhibit numbers.

12 MR. OLIKER: What number are we on?

13 MR. ALEXANDER: 7.

14 MR. OLIKER: 7, okay.

15 MR. ALEXANDER: Was there a question
16 pending?

17 MR. OLIKER: No. I'm just waiting.

18 MR. ALEXANDER: We're ready. Go ahead.

19 BY MR. OLIKER:

20 Q. Okay. Mr. Rose, do you see the
21 documents I've placed in front of you as the January
22 2015 PJM Load Forecast Report?

23 A. Yes. I see that label on it.

24 Q. For the record, I'd like to mark this

1 document as Deposition Exhibit 7.

2 Have you seen this document before?

3 A. No.

4 Q. Does it appear to be prepared by the PJM
5 Resource Adequacy Planning Department?

6 A. It so indicates on the first page of
7 this document.

8 Q. Okay. Take a minute to look at this
9 document, and let me know if you have any reason to
10 believe if this is not a true and accurate copy of a
11 PJM document.

12 MR. ALEXANDER: Objection. He's
13 testified he's never seen it before; so he can't
14 opine on that.

15 MR. OLIKER: He can say that.

16 MR. ALEXANDER: You can answer if you've
17 seen the document before, if you believe this to be a
18 true and accurate copy of the document that you've
19 seen before. If you have not, then so state.

20 THE WITNESS: As I indicated earlier, I
21 have not ever seen this document before.

22 BY MR. OLIKER:

23 Q. So it's my understanding you've seen
24 Sierra Exhibit 5, but you have not seen this

1 document?

2 A. I believe I've seen the December 4th
3 document, and I have seen summaries of recent load
4 forecasting by PJM, but I have not seen the document
5 that I was handed just now.

6 Q. Okay. And that being the case, can you
7 look at the executive summary on Page 1 and 2,
8 particularly on Page 2. Look down to the fourth
9 bullet. Do those conclusions regarding summer peak
10 forecasts appear to be similar to what is contained
11 in Sierra Club Exhibit 5?

12 A. The -- the document Draft 2015 Load
13 Forecast, which I looked at earlier, has in 2018 a
14 negative 2.6 percent change relative to the previous
15 forecast, and that is similar to the fourth dot point
16 in the document I just received, the 2015 forecast
17 for the summer peak demand, but I can't -- I don't
18 see here the 2015 or 2020; so I can't comment fully.

19 All my comments are subject to the
20 caveat that all I'm looking at is Page 2, the dot
21 point there, and I haven't reviewed the document
22 previously.

23 Q. Okay. And could you turn to Page 70 in
24 that document, which is labeled Table B-10. Tell me

1 when you're there.

2 A. I'm there.

3 Q. First, would you agree that Table B-10
4 is the same table name that was used in your
5 workpapers for gross peak demand?

6 A. Yes.

7 Q. And would you agree, looking at Page 70,
8 71, under PJM RTO, the total values for every year
9 are approximately 5,000 megawatts smaller?

10 MR. ALEXANDER: Objection.

11 MR. OLIKER: Give or take.

12 MR. ALEXANDER: Objection. That's a lot
13 of math, and there's approximately 20 lines over 15
14 years here that he can't really do that in his head.

15 BY MR. OLIKER:

16 Q. Okay. Let's start with the first year,
17 how about 2015, would you agree that Page 70 shows a
18 megawatt peak demand for the PJM RTO of 155,543, and
19 you've included in your workpaper for 2015 a value of
20 160,259?

21 A. Yes.

22 Q. And then in 2016 you've included in your
23 workpaper a value of 162,468, whereas Exhibit 7
24 contains a value of 157,909?

1 A. Yes.

2 Q. And this trend of -- would you agree
3 that Exhibit 7 contains lower values throughout the
4 entire forecast period than you have included in your
5 workpaper?

6 MR. ALEXANDER: Again, objection. He
7 hasn't seen Exhibit 7 before. We'll stipulate the
8 document says what it says, if that helps.

9 MR. OLIKER: He can answer.

10 THE WITNESS: The numbers in the few
11 examples I've looked at appear lower, not always
12 5,000 megawatts lower. There seems to be some
13 compression, but I've just spot checked a few of
14 them.

15 BY MR. OLIKER:

16 Q. Okay. And could you -- would you agree
17 that the ATSI zone is also lower in each year in
18 Exhibit 7 than it is in your workpaper?

19 A. I'm looking at 2015, and it looks like
20 it's around 200 megawatts lower. That's the only one
21 I've been able to check.

22 Q. Okay. So in 2016 you've included in
23 your workpaper 13,013, and then if we look at
24 Exhibit 7, would you agree for 2016 it says 12,828?

1 A. Yes.

2 Q. And you would agree that the demand,
3 according to Exhibit 7, does not reach 13,000 until
4 2020?

5 A. Just reading the numbers off here, it
6 does appear to be the case. Again, I haven't
7 reviewed the document, and I don't know whether
8 there's any mitigating factors or anything with that.

9 Q. Okay. Whereas in your workpaper, demand
10 is at 13,000 starting in 2016 and staying at that
11 level to 2020, correct?

12 A. In 2020 it reaches 13,253.

13 Q. And in 2016 it is already at 13,000,
14 correct?

15 A. 13,013 in 2016.

16 Q. Okay. Now, can you turn to Page 86 and
17 87 in Exhibit 7, please? Let me know when you're
18 there.

19 A. I'm at Pages 86 and 87.

20 Q. And would you agree that is Table E-1?

21 A. Yes. That's what it says.

22 Q. Would you agree that it's the same table
23 name that is allegedly the source of the net energy
24 values in your workpaper?

1 A. It has the same table, E-1, but sitting
2 here I don't know if they're -- it changed the table
3 formatting or anything like that.

4 Q. Okay. And if you were to compare the
5 line that says PJM RTO, would you agree in 2017 this
6 table says 828,506?

7 MR. ALEXANDER: Once again, same
8 objection. The document's 100 pages, the witness
9 hasn't appeared to have seen it, and there's a lack
10 of foundation, but go ahead and answer if you can.

11 THE WITNESS: Could you repeat the
12 question?

13 BY MR. OLIKER:

14 Q. So if you look at 2016 under PJM RTO,
15 the bottom line.

16 A. Yes.

17 Q. Would you agree that the value is
18 828,506?

19 A. Yes. That's what it says.

20 Q. And if we look at net energy on your
21 table in 2016, it says 863,762.

22 A. It says that, but I haven't had a chance
23 to look at why there might be that difference.

24 Q. Would you agree if you look through 2016

1 through 2020, compare table -- or, your workpaper to
2 Exhibit 7, Exhibit 7 contains lower values in each
3 year?

4 MR. ALEXANDER: Same objection.

5 THE WITNESS: I looked at the years 2016
6 to 2020, and the numbers are lower in the table in
7 the exhibit that was handed to me versus in the table
8 that's here, but I don't -- haven't -- I don't know
9 anything about the new document that you gave me. I
10 haven't looked at it before; so I don't know what's
11 deriving the differences.

12 BY MR. OLIKER:

13 Q. But you would agree for purposes of your
14 testimony you have relied on PJM's projections?

15 A. Yes. The 2014 projections as described
16 in the footnote.

17 Q. Okay. Sorry to jump around here, but
18 you talked a little bit about forecasting the price
19 of -- or the proposed impact of carbon regulations.
20 Do you remember that discussion?

21 A. Not specifically. Is there a specific
22 reference?

23 Q. Sure. From a high level, you would
24 agree that there are proposed carbon regulations that

1 are going to go into effect in the year 2020,
2 correct?

3 A. Yes. There are proposed regulations.

4 Q. And each state will have its own
5 compliance targets, correct?

6 A. That's the -- our proposal, yes.

7 Q. And each state will have four building
8 blocks to achieve those targets, correct?

9 A. No.

10 Q. Could you please explain why that
11 statement is incorrect?

12 A. The four building blocks are used to
13 determine what the rate limit is, it's not
14 necessarily the mechanism by which compliance is
15 achieved.

16 Q. Could you please explain what you mean
17 by "rate limit"?

18 A. Each state has for a set of existing
19 power plants a rate limit expressed in pounds per
20 megawatt hour.

21 Q. Okay. And each state will have to come
22 up with its own compliance plan, correct, to comply
23 with that rate limit?

24 A. Yes. That's the proposal.

1 Q. Okay. And there are four generally
2 accepted ways that are considered available to meet
3 those compliance targets, correct?

4 A. What I would say is there were four
5 determinations we refer to as buckets, which were
6 used to calculate the rate limit that each state must
7 comply with.

8 Q. Okay. And to meet each target, the
9 state can either implement energy efficiency, heat
10 rate improvements, it could impose a cap and trade
11 program, or it could develop increased renewable
12 generation, correct?

13 A. Yes, among other different compliance
14 options.

15 Q. Can you explain what those different
16 compliance options might be?

17 A. They could use existing -- new units in
18 place of existing units, they could retire all their
19 existing units, they could produce their output
20 without increasing the output of gas plants. So
21 there are many different compliance -- they can
22 import power from other areas. There are many
23 different compliance mechanisms that are available,
24 including the ones that you mentioned, but not

1 limited to those.

2 Q. Okay. And feel free to tell me if this
3 is confidential, but your workpapers contain a
4 forecast of energy efficiency, correct?

5 A. Is there a specific reference?

6 Q. Well, there are tables in your
7 workpapers related to energy efficiency demand
8 response, correct?

9 A. Yes. But for the purposes of
10 determining whether they're confidential or not, I
11 need the specific reference.

12 Q. I guess my question is -- you also have
13 a projection of the cost of carbon. And my question
14 is: Are the energy efficiency projections that you
15 have included in your workpapers the same energy
16 efficiency assumptions that drive your carbon
17 forecast? You feel free to say if that's
18 confidential.

19 A. Again, I can't determine whether it's
20 confidential or not until you have a specific
21 reference.

22 Q. I guess I'm talking conceptually whether
23 or not the workpaper assumptions that you've included
24 for energy efficiency in each year with the PJM RTO,

1 whether those -- that is the exact same amount of
2 energy efficiency that you anticipate will be
3 implemented by each of the states within the PJM
4 footprint to comply with carbon regulations?

5 MR. ALEXANDER: So, Mr. Oliker, if I
6 could maybe clarify here just because you're on the
7 phone, when you're talking about the CO2 workpapers,
8 are you referring to the workpaper labeled "National
9 Carbon Policy," which says "National CO2" at the top
10 of it, which is a confidential workpaper?

11 MR. OLIKER: Yes. They're both -- yes.

12 MR. ALEXANDER: Okay. And for the
13 Renewable Portfolio Standard workpaper you were
14 discussing, are you referring to the workpaper
15 labeled "Renewable Portfolio Standards," which then
16 has a standard map of the United States?

17 MR. OLIKER: That was one of my
18 questions, but I hadn't gotten there yet. I was
19 actually talking about the energy efficiency table
20 which is much further up in that workpaper. It's
21 right after the peak demand forecast, but we might as
22 well address renewable energy as well because that's
23 one of the next questions.

24 THE WITNESS: Okay. I see the

1 reference. And could you repeat the question,
2 please, or someone repeat the question?

3 BY MR. OLIKER:

4 Q. Sure. Let's start with what Trevor
5 mentioned, the national carbon policy. You would
6 agree that this part of the workpaper contains
7 projections of the cost of CO2?

8 A. Yes. That is -- it is our projection of
9 the dollar-per-ton number.

10 Q. I guess my question is below that you
11 have renewable portfolio standards that are
12 described. My question is: Does that renewable
13 portfolio standards projection, as well as the energy
14 efficiency projection that you've included further up
15 in your workpaper, does that impact the forecast of
16 CO2 or is it separate?

17 A. I think that it's separate in the sense
18 that the renewable standards are the minimal
19 requirements that we are assumed being met for the
20 amount of energy that's coming from approved
21 renewable sources state by state.

22 In our projections, the compliance is
23 a -- is determined by the model based on a
24 calculation of minimizing costs subject to having to

1 meet a carbon constraint.

2 Q. Okay. So if I can just clarify that,
3 make sure I understand. When you developed the
4 carbon cost projections, you assumed that the amount
5 of renewable development contained in your workpaper
6 would occur in determining the carbon cap and trade
7 tax, correct?

8 A. We assumed there were state renewable
9 portfolio standards similar, if not exactly the same,
10 as the ones that are in the workpaper, but in
11 addition the model had the option to increase the
12 amount of renewable energy that would be employed on
13 the system as part of the compliance program.

14 Q. I guess I'm not -- that's the part I
15 don't understand. If it crosses over into
16 confidential, please let me know, but when you
17 determined the carbon -- the CO2-per-ton target, you
18 assumed that renewable development would be achieved
19 based on the mandates in each state, correct?

20 A. No. The target was set separate from --
21 in our analyses, it was set separate from the
22 renewable targets, but the compliance is done in the
23 model where there are options for renewable energy
24 increases above the minimum required levels.

1 Q. Okay. And moving to energy efficiency,
2 would you agree that if there is more energy
3 efficiency implemented, then you can have a lower
4 carbon cost, correct?

5 A. If -- for a given cost of an amount of
6 energy efficiency, if you have for a given cost more
7 energy efficiency, everything else being equal,
8 you're going to have a lower marginal cost of
9 complying with CO2 regulations.

10 Q. Okay. And I guess my question is: Do
11 you have -- the energy efficiency assumptions that
12 are in your workpaper, were those assumptions used at
13 all in developing the cost per ton of carbon?

14 A. No. I don't believe they -- well, these
15 numbers did not play a significant role in the
16 determination of the CO2 price because they're so
17 small. Most of the demand resources are
18 interruptible load, but there is some energy
19 efficiency, and I don't believe that it set the
20 minimum reduction in energy use, but I -- I'd have to
21 check.

22 Q. Okay. And if we were to look at --
23 going back to your forecast that you took from PJM
24 for peak demand and net energy, do you know whether

1 that forecast includes any assumption of increased
2 energy efficiency to comply with 111(d)?

3 A. The forecast that I used predates the
4 announcement of 111(d), and I do not believe it
5 incorporates any impacts from 111(d).

6 Q. So then would you agree that there's a
7 possibility that PJM has still overstated peak demand
8 and net energy usage?

9 A. In general forecasts can be over or
10 under. And because they did not take into account
11 111(d), it's possible they may have overstated
12 demand, but I'd have to give that some additional
13 thought to see if it was a significant issue.

14 Q. Okay.

15 A. In part because the -- the analysis also
16 assumes a continuation of the current regime, which
17 is favorable to energy efficiency in which there is a
18 possibility that energy efficiency won't be
19 considered as payable by FERC-regulated entities at
20 any time.

21 Q. Do you know whether states can provide
22 compensation for energy efficiency?

23 A. Yes. I don't think there's anything
24 related to this issue of demand resources that

1 effects the states except for they now have the
2 responsibility for the pros and cons and costs of the
3 programs, implementing them, et cetera, in a way that
4 they didn't have under the -- or, don't have under
5 their regime that's currently in place.

6 Q. Okay. Let's try to move ahead a little
7 bit, and hopefully I can short-circuit this.

8 Did you assist the EPA and provide
9 shadow prices for the price of carbon?

10 A. "You" being ICF, or "you" being Judah
11 Rose?

12 Q. Judah Rose or ICF, either one works for
13 me.

14 A. For ICF, yes; for Judah Rose, no.

15 Q. Are you familiar with those carbon
16 prices?

17 A. Yes, I have some familiarity.

18 MR. OLIKER: Okay. I've tried to
19 streamline this process, and, Trevor, I provided you
20 two spreadsheets; one is the EPA spreadsheet and the
21 other one is just a filtered down to include the
22 carbon prices for each of the states. Do you have
23 that spreadsheet, Trevor?

24 MR. ALEXANDER: One moment, please.

1 MR. OLIKER: It's titled: NSPS, at
2 least in the file itself, and it's Filter Copy of
3 Option 1 State.

4 MR. ALEXANDER: Yeah. They're printed
5 out so that doesn't help me. Is it labeled "EPA 5.13
6 Version 3 Full Test"?

7 MR. OLIKER: I'm not sure. It's the
8 smaller document of the two. At the very top page
9 would say, "NSPS State CO2 Constraint-AL" on the
10 first line.

11 MR. ALEXANDER: Let's go off the record
12 for a moment.

13 (Discussion held off the record.)

14 MR. OLIKER: Let's actually try a
15 different document. I just want to get through the
16 documents while we have time.

17 I don't believe this is confidential.
18 This was a document that says "Implications of
19 Current Low Natural Gas Price Environment on
20 Wholesale Power, Prepared for: Edison Electric
21 Institute, May 3, 2012." Do you have that, Trevor?
22 It's IGS-RPD-5 Attachment 3.

23 THE COURT REPORTER: Could you read that
24 title again for me, please?

1 MR. OLIKER: Sure. It's "Implications
2 of Current Low Natural Gas Price Environment on
3 Wholesale Power." Let's mark that as Deposition
4 Exhibit 8.

5 Trevor, the document that I e-mailed you
6 contained actually two attachments, it's Attachment 3
7 and Attachment 4. If you printed them out that way,
8 we can label them both as one, one exhibit, that's
9 fine.

10 MR. ALEXANDER: Could you repeat that
11 citation for me, please?

12 MR. OLIKER: This is IGS Set 1, it's an
13 ICF International document, prepared on May 3, 2012,
14 regarding the implications of current low natural gas
15 price on wholesale power.

16 MR. ALEXANDER: We don't have it.

17 MR. OLIKER: It should have been in the
18 second e-mail I sent.

19 MR. ALEXANDER: Okay. I thought I had
20 those documents, but apparently I don't. So we'll
21 have to address that over the break.

22 MR. OLIKER: Okay. Let's see. Moving
23 on then, we'll deal with that later.

24 BY MR. OLIKER:

1 Q. Mr. Rose, are you familiar with the term
2 a contract for differences?

3 A. Yes.

4 Q. You've testified about them in the past,
5 haven't you?

6 A. I'm very familiar with the term. I may
7 well have testified about them in the past, I don't
8 remember it specifically, though, testifying. Is
9 there a specific reference that you have?

10 Q. Well, I guess from a high level, could
11 you describe what a contract for differences is?

12 A. Yes. It's a payment in which the
13 payment is a function of a set number in the contract
14 and the market price that results, and it's commonly
15 used in markets that have nodal pricing and that type
16 of arrangement.

17 Q. And would you agree that contract for
18 differences increases financial risk for customers
19 that must pay the difference?

20 A. No. I would not agree with that.

21 Q. And you didn't submit that testimony in
22 New Jersey?

23 A. I -- I don't remember. And if you have
24 a specific reference, I'll be glad to take a look at

1 it.

2 Q. That's okay. Trying to -- I'm going to
3 pull this up and make sure I don't cross over, but
4 are the coal forecasts that you have provided, those
5 are confidential, correct?

6 A. Yes.

7 Q. Okay. Are you familiar with the rail
8 constraints that currently exist in the Midwest for
9 delivery of coal from the Powder River Basin?

10 A. I have some general knowledge of them,
11 but not -- I have some general knowledge.

12 Q. Are you aware that FERC has opened a
13 docket to address the rail constraints regarding
14 Powder River Basin coal?

15 A. I have not seen that document -- that
16 docket.

17 Q. I'm sorry, could you say that again?

18 A. I have not seen that docket.

19 Q. Okay. Would you agree, though, that due
20 to the rail constraints, the coal pile levels
21 throughout the Midwest are depleted with respect to
22 Powder River Basin coal?

23 A. I don't have specific knowledge of
24 depletion or levels sitting here. My knowledge is

1 limited to the fact that there's rail constraints
2 related to large deliveries of oil in particular, and
3 I don't have -- I know that the -- I'm not sure if I
4 would use the word depleted, but the stocks may be
5 lower, but I don't have the specific numbers in front
6 of me.

7 Q. Did you -- have you done any analysis of
8 the impact of the rail constraints to the coal pile
9 levels in the Midwest?

10 A. No. I have not analyzed that specific
11 issue.

12 Q. Okay. And you have developed a
13 projection of capacity prices, but you have not made
14 any sort of projection for any penalties of
15 nonperformance that any generation units may
16 experience, correct?

17 A. No. I don't have specific estimates for
18 individual power plants of the performance penalties.
19 It's a contributing factor to my view that the
20 market -- capacity market will be different going
21 forward, the existence of those penalties, but I have
22 not made a specific estimate.

23 Q. Okay. Looking in your workpapers, are
24 the natural gas price assumptions in your workpapers,

1 are those confidential?

2 A. Yes.

3 Q. Okay. In general would you agree that
4 natural gas prices have decreased approximately 20
5 percent since you filed your testimony over the next
6 several years?

7 A. I don't have a specific numerical
8 estimate, but the last few weeks in particular --
9 last few days in particular, prices are lower than
10 they were than when I did my analysis in August.

11 Q. Would you agree that natural gas is
12 currently trading below \$3?

13 A. Spot prices for Henry Hub are
14 approximately \$3.

15 Q. Would you agree that there are contracts
16 trading below \$4 out through 2020?

17 A. I don't have the specific numbers in
18 front of me. They are below \$4 for at least the
19 first few years, but I don't have the specific
20 numbers, and those are the -- I'm referring to the
21 NYMEX Henry Hub contracts that are -- those prices
22 have come down very recently.

23 Q. Would you agree that, all else being
24 equal, those price decreases will also decrease the

1 amount of revenue that is available to coal-fired
2 power plants and nuclear power plants?

3 A. Yes. If, and only if, they are
4 sustained. There are reasons to believe that it's a
5 temporary phenomenon. And so if they were sustained,
6 which I don't believe they will be, then they would
7 lower the revenues most probably.

8 Q. Okay. Turn to Page 7 of your testimony.
9 You indicate, "Infrastructure investment in the
10 natural gas industry is expected to increase natural
11 gas prices in the supply pockets, decreasing new
12 power plant margins from selling electrical energy
13 and thus increasing net capacity costs."

14 In this statement, what infrastructure
15 are you referring to?

16 A. I'm referring to both gas
17 transportation, pipelines, as well as gas use
18 infrastructure, as well as related infrastructure
19 that's related to gas industry operations.

20 Q. What do you mean by "gas use
21 infrastructure"? I'm sorry, I don't think I
22 understand you.

23 A. Ethylene plants, petro-chemical
24 facilities, natural gas power plants, things of that

1 nature.

2 Q. So is that assumption more related to
3 once that infrastructure is in place, the demand will
4 increase and that won't cause price to increase?

5 A. It's related to the fact that that
6 infrastructure investment, all else being equal, the
7 type that I'm referring to here, tends to reduce the
8 price differences with -- in different locations.
9 There are some supply pockets for which there's not
10 adequate infrastructure, and that's what I'm
11 referring to.

12 Q. With respect to Henry Hub, would you
13 agree most shale gas is nowhere near -- first of all,
14 do you know where the Henry Hub is located?

15 A. Yes.

16 Q. Where is it?

17 A. It's in Louisiana.

18 Q. Would you agree most shale gas is not
19 located in Louisiana?

20 A. Yes. There is significant shale gas in
21 Louisiana, but most is not located in Louisiana.

22 Q. And could you please explain what the
23 term "basis" means?

24 A. I understand basis to be the difference

1 in price between one location and another.

2 Q. And that's what you're talking about
3 with respect to supply pockets, basis differentials?

4 A. Yes, between the supply pocket and other
5 parts of the industry and other locations.

6 Q. Okay. And when you say -- so going back
7 to your statement, investment in the natural gas
8 industry is expected to increase natural gas prices
9 in the supply pockets, and here are you only
10 referring to basis differentials for Henry Hub?

11 A. Here I'm only referring to basis
12 differences in general. It turns out that all
13 locations can be related by basis; so I'm focusing in
14 on basis differences in certain supply areas in the
15 northeast vis-a-vis other areas of the northeast,
16 like demand areas.

17 It also then corresponds to less and
18 different bases vis-a-vis Henry Hub. That's
19 primarily what I'm focusing in on here with respect
20 to infrastructure investments.

21 Q. Okay. On Page 8 you state, "...the
22 decreasing amount of non-natural gas-fueled thermal
23 generation capacity increases the difficulty of
24 physical hedging." What analysis have you done to

1 support that statement?

2 A. I've observed the very large retirement
3 of power plants.

4 Q. And what analysis regarding hedging
5 instruments that are available today have you done to
6 support that statement?

7 A. Well, power plants themselves can be
8 physical hedges, and hedges in particular. I'm
9 referring here to non-natural gas power plants. So
10 to the extent that there are no or less natural gas
11 power plants, there's less physical hedges that are
12 available to mitigate that, and that's an important
13 consideration in particular for long-term hedging.

14 Q. Okay. So, for example, my company sells
15 electricity. You're not saying that I can't go out
16 today and purchase a forward contract for electricity
17 now, correct?

18 A. That's correct, you can purchase. But
19 the liquidity in the marketplace is much higher in
20 the very near term relative to the long term, in that
21 an important source of these contracts are both
22 positioned -- willingness, if you will, in a
23 nonpejorative sense, speculators to take a position.

24 Also, more importantly, the willingness

1 and the ability to enter into offsetting physical
2 hedges that underlie the -- these contracts. So to
3 the extent that the physical hedges go away, there is
4 less likelihood of having long-term, in particular,
5 hedge contracts.

6 Q. Okay. Now, a moment ago we were talking
7 about infrastructure investment in the natural gas
8 industry decreasing basis differentials and supply
9 pockets. Would you agree that that infrastructure
10 investment will increase the --

11 THE COURT REPORTER: I'm sorry, could
12 you repeat that?

13 MR. OLIKER: I'll start over.

14 BY MR. OLIKER:

15 Q. We were just talking about
16 infrastructure investment in the natural gas supply
17 pockets. Would you agree that as infrastructure
18 investment increases, the amount of firm
19 transportation available for natural gas power plants
20 will also increase?

21 A. The amount of firm supply for gas
22 transportation will increase, yes, and it's likely
23 that it would lead to additional -- from contracting,
24 everything else being equal, it's not a sufficient

1 condition, but it is -- increases the likelihood.

2 Q. Okay. And later you also make the
3 statement: All generators participate in PJM on a
4 hedged or on an unhedged basis. What do you mean by
5 that statement?

6 A. Generators are selling power almost
7 exclusively to PJM or through PJM. PJM is the
8 immediate purchaser of their output. To the extent
9 that that's done on an unhedged basis say, for
10 example, on a day-ahead market, that's part of what
11 goes on.

12 The other part is sometimes the sellers
13 have hedges. Typically the hedges are short-term.

14 Q. Okay. You also talk in your testimony
15 about increased natural gas demand regarding LNG
16 exports globally, and then you say that that will
17 drive up gas prices, correct?

18 A. Do you have a specific reference?

19 Q. I think it's on Page 19.

20 A. Yes, I see that. But it's not only
21 that, it's -- that's not the only factor that's
22 increasing demand. It's a significant factor, but
23 it's not the only factor.

24 Q. Okay. Well, first let's talk about the

1 LNG export for that. Would you agree that shale gas
2 has not only made it to the United States?

3 A. Yes.

4 Q. Would you agree it's in -- pretty much
5 all over the world?

6 A. No. I -- I wouldn't -- wouldn't say
7 that, but --

8 Q. Most of it, though, right?

9 A. Well, you know, I -- there are shale gas
10 resources outside of the United States. I -- I don't
11 have a percentage that's in the US versus non-US.
12 It's pretty clear that a majority of the shale gas
13 being produced worldwide is in the United States
14 today.

15 Q. Okay. And would you agree that current
16 oil prices -- currently oil prices are quite low
17 relative to historic levels?

18 A. Yes. Today, well, prices are lower than
19 they were earlier in the year for sure. Depends what
20 time period you're looking at. In general compared
21 to earlier in the year, they're lower.

22 Q. Would you agree that the current level
23 of oil prices may have a tendency to reduce the shift
24 to natural gas in the United States and globally?

1 A. That might be one of the effects, that
2 it might mitigate the increase in demand. There are
3 other offsetting effects that are relevant to the gas
4 market. But I would say, all else being equal, there
5 would be some diminution in the demand growth if oil
6 prices were sustained at this level, and we -- not
7 related necessarily to the current prices today, but
8 if it was sustained over time and believed to be
9 sustained over time, it would have some limit -- some
10 diminution in the demand.

11 Q. And diminution to demand could also have
12 a corresponding downward pressure in price, correct?

13 A. All else being equal, it's possible that
14 it would, and -- but as I indicated, there were
15 offsetting factors such as the lower oil price
16 corresponds to the lower value for the natural gas
17 liquids that's being produced with the gas, and that
18 is having -- has the effect of raising the price of
19 natural gas since there's less revenue available to
20 offset the costs of producing natural gas; so there
21 are offsetting factors.

22 And so it would have to be examined in
23 the context of what is the level -- the decrease in
24 the oil price, how long does it last, and it has to

1 be analyzed taking into account all of the effects.

2 Q. Would you agree that most of the gas in
3 the Marcellus Shale is dry gas?

4 A. It's -- I guess what I would say is it's
5 dryer than some gases, like the Eagleford, but it's
6 not dry fully, and there are liquids that are coming
7 out of the Marcellus.

8 Q. But it's dryer than most of the shale,
9 correct?

10 A. I can't make that statement. I picked,
11 you know, Eagleford, which is a very wet one, but my
12 experience is that a lot of gas has some wet
13 components, some natural gas liquids. Those revenues
14 offset the cost of producing the gas. So that's a
15 factor that our modeling would have to take into
16 account for a given level of oil prices.

17 Q. Okay. Just a few more questions, and
18 then I think we can break.

19 Page 19 you state that, "New FERC
20 policies limiting DR participation in capacity
21 markets will increase capacity prices in those
22 markets." Could you identify specifically which FERC
23 policies that you're referring to in this statement?

24 A. Yes, to a certain degree. There are

1 certain FERC decisions already made that I believe I
2 referenced in January and March of this year that
3 limit and/or change the role of DR in the marketplace
4 and how it's handled.

5 There are the changes in FERC policy
6 that are required by the District of Columbia Circuit
7 decision of May 23rd and the subsequent reaffirmation
8 not to review it en banc and -- which would also
9 effect DR participation. So there are a number, the
10 capacity performance proposal, which was discussed
11 earlier also would change and limit the DR
12 participation relative to the policies that have
13 occurred in the past and which have been so
14 problematic and damaging to the -- to grid
15 reliability.

16 Q. Anything else?

17 A. Sitting here now, those are the ones
18 that come to mind. I believe I've referenced some of
19 them in other material I provided.

20 Q. Okay. And regarding the January and
21 March decisions from FERC, would you agree that those
22 were already in effect for the last base residual
23 auction, if you know?

24 A. Yes, I believe for sure the January

1 decision was; the March one I am not sure; and, of
2 course, the prices were higher in the May 2014
3 auction than they were in the previous auction.

4 Q. In the \$120 range; is that right?

5 A. Right. They were approximately double
6 what they had been in the previous auction for the
7 RTO region, about \$42 a kilowatt year.

8 Q. Okay. And you touched briefly on the DC
9 Circuit. You would agree that that decision was
10 related to compensation from the energy markets,
11 correct?

12 A. Yes. But having reviewed the complaint
13 filed by FirstEnergy and the reaction to that PJM,
14 which is described -- the application of that
15 doctrine or theory to the capacity markets as being
16 foreseeable and requiring FERC -- FERC-approved
17 contingency planning, I'm taking into account those
18 decisions, actions, and while I'm also agreeing that
19 the -- the immediate decision affected energy. As we
20 discussed, capacity is supplemental or complementing
21 market relating to energy; and, therefore, there's a
22 significant probability that the doctrine or approach
23 would apply also in the capacity markets.

24 Q. You're not a lawyer, are you, Mr. Rose?

1 A. No. I'm not a lawyer, and I don't
2 intend in any way to give legal opinions, but I'm
3 basing it based on the knowledge I have in the
4 markets, et cetera.

5 Q. Is it your opinion that if FERC cannot
6 regulate demand response, that demand response will
7 disappear completely and have no impact in capacity
8 prices?

9 A. No, and that's not our forecast.

10 Q. Are you familiar with FirstEnergy's
11 interruptible tariff?

12 A. No, I'm not.

13 Q. Would you agree that a rational economic
14 market participant, given two sources of revenue,
15 they will pick the higher source, all else being
16 equal?

17 A. Yes. I think that's a reasonable
18 generalization.

19 Q. Okay. And assuming states regulated
20 demand response and the compensation that was
21 available to market participants through the
22 state-regulated mechanisms was higher, would you
23 agree, all else being equal, that participation will
24 remain the same or increase relative to FERC-related

1 demand response?

2 A. Yes. I don't think that's the likely
3 outcome because of the numerous subsidies that were
4 provided by FERC. I think it's more likely that the
5 incentives and structures will be less favorable to
6 DR under implementation of the Attleboro doctrine of
7 separation between retail and wholesale as applied to
8 the DR.

9 Q. What analysis have you done to determine
10 that revenue available to demand response
11 participants will be less under state regulation?

12 A. Well, given consideration to the very
13 large subsidies that effectively FERC provided to DR,
14 such as providing essentially the same capacity
15 price, albeit inadvertently, to the DR, even though
16 it wasn't required to do more than 60 hours of
17 service under very limited conditions during the
18 summer, an option which was denied to generators, and
19 there were other aspects of the support given to DR
20 which I believe is less likely to be given by the
21 states and certainly not in the immediate term.

22 Q. Mr. Rose, do you know that a stipulation
23 and recommendation has been filed in this proceeding?

24 A. Yes. I've heard that.

1 Q. And so you were not aware that the
2 stipulation and recommendation proposes to continue
3 Rider ELR, which provides compensation, demand
4 response resources, in excess of \$300 a megawatt day?

5 A. I am not aware of that.

6 Q. So would you agree that it's possible
7 that a state mechanism for demand response
8 compensation can be greatly -- it can greatly exceed
9 the PJM RPM price?

10 A. It's possible, but not likely on average
11 across the PJM region.

12 Q. And, again, what analysis have you done
13 to support that statement?

14 A. As I indicated, I focused in on the
15 support and subsidies provided by FERC, and also the
16 difficulty in -- of allocating responsibility, of
17 setting up state programs, of providing the same
18 level of incentives, and the allocation of who's
19 responsible if the demand resources and particularly
20 interruptible load don't perform, or in particular if
21 they opt out, who's responsible for that.

22 All of those considerations lead me to
23 think it's not likely that the -- there will be a
24 decrease -- it's not likely that there will be an

1 increase. In fact, it looks like there will be a
2 decrease. And that decrease, while it's
3 confidential, is included in our forecast.

4 Q. Okay.

5 MR. ALEXANDER: Mr. Olikar, before you
6 move on here, the witness has been going for about
7 five hours so far. I'd like to stop for lunch
8 literally unless you're, you know, within one or two
9 questions.

10 MR. OLIVER: I've got two questions,
11 Trevor.

12 MR. ALEXANDER: Okay. That will be
13 fine.

14 BY MR. OLIVER:

15 Q. Okay. In your testimony, you talk about
16 having a reduction on capacity prices as a result of
17 PJM changing its tariff for capacity imports,
18 correct?

19 A. No; the opposite.

20 Q. I'm sorry. Let me restate that.

21 Your testimony claims that capacity
22 prices will rise because PJM has changed its tariff
23 and reduced the amount of capacity resources that are
24 eligible to import capacity, correct?

1 A. Yes. All else being equal.

2 Q. And you would agree that PJM changed its
3 tariff prior to the -- and you would agree that PJM
4 changed its tariff prior to the last base residual
5 auction.

6 A. Yes. With respect to the transmission
7 imports, the answer is yes.

8 Q. Okay. And just briefly, on Page 26 in
9 your testimony -- sorry, Trevor, actually it's two
10 more questions -- you include gas prices from 2007
11 through 2014, I believe. Isn't it true that 2007,
12 2008, 2009, that all occurred before the impacts of
13 shale gas, correct?

14 A. It occurred before the large increase of
15 shale gas, but some of the features of that
16 volatility are things that are unlikely to have
17 changed; so, for example, hurricanes and changes in
18 fuel prices.

19 Q. Is it your opinion that hurricanes will
20 impact shale gas production?

21 A. No. But it affects offshore production
22 and, therefore, it affects gas prices, and that's
23 what's being addressed here.

24 Q. Okay. But would you agree that through

1 2010 to 2014, there would be a significantly smaller
2 deviation than from 2010 -- 2007 to 2014?

3 A. The highest prices ever experienced in
4 North America occurred during the last winter, which
5 is, you know, many years after the 2007, 2008. So
6 there's significant sources of volatility in the gas
7 market, including new sources of volatility that have
8 reached record levels over the last 12 months.

9 Q. Now --

10 MR. ALEXANDER: You're at four questions
11 since your two questions.

12 MR. OLIKER: Yeah. We can either do the
13 rest after, or one more question and then I'm done,
14 Trevor.

15 MR. ALEXANDER: Okay.

16 MR. OLIKER: One more.

17 BY MR. OLIKER:

18 Q. Okay. In your testimony you also talk
19 about 26,000 megawatts that's retired, and that all
20 of that will retire by I believe you said the end of
21 2016, correct?

22 A. I believe it's April 2016. If you have
23 a specific reference, I could look at that. I don't
24 believe it's 26,000, I think it was 27,000, but the

1 main idea is that the MATS regulations have a
2 deadline of April 2016.

3 Q. And you would agree that a unit that is
4 going -- all the units that are going to be retired
5 by 2016 will not have bid in the most recent PJM RPM
6 auction?

7 A. I believe that's the case. I don't -- I
8 don't have the -- the bidding is confidential, but I
9 believe that's the case.

10 Q. Okay. Now, I can save the rest for
11 after lunch. Hopefully that will be pretty quick in
12 the public section once we have those additional
13 documents.

14 MR. ALEXANDER: Okay. Let's break until
15 2:00 o'clock.

16 MR. FISK: Sounds good.

17 MR. OLIKER: Sounds good. Thanks.

18 (Luncheon recess.)

19 - - -
20
21
22
23
24

1 Wednesday, January 7, 2015,
2 Afternoon Session.

3 - - -

4 BY MR. OLIKER:

5 Q. Sure. Before we move onto the documents
6 that we were discussing previously, just a few
7 additional follow-up questions.

8 In your testimony, you talk about
9 capacity not being built west of the Appalachians,
10 correct?

11 A. Yes. Do you have a particular citation?

12 Q. I feel like it's on Page 45, but give me
13 a moment to double-check. It is on Page 45.

14 A. Okay. I see it.

15 Q. You say, "A detailed treatment of
16 transmission is especially required due to the large
17 amount of coal power plant retirements west of the
18 Appalachian Mountains." Then you mention that there
19 will unlikely be many new builds west of the
20 Appalachians. Could you explain the analysis you've
21 done to support that statement?

22 A. Yes. I reviewed the planned firm new
23 natural gas power plant builds by location, and found
24 the -- one or two exceptions, they were located to

1 the east of the Appalachians.

2 Q. And so as I understand your answer, if
3 it wasn't included as a firm build within PJM, then
4 you did not consider it?

5 A. In this analysis, which is a near-term
6 analysis, I focused exclusively on the plant or
7 firm -- we considered firm natural gas power plant
8 builds.

9 Q. Did you review applications before the
10 Ohio Power Siting Board?

11 A. No.

12 Q. Okay. When you use the term -- how many
13 plants did you identify in megawatts west of the
14 Appalachian Mountains?

15 A. There's a -- one or two firm power
16 plants, and there's some -- I don't remember exactly.

17 Q. Do you know which states they're located
18 in?

19 A. I don't remember.

20 Q. Okay. Well, maybe here's a better way
21 to do it, because I don't think this is -- I don't
22 think this is confidential. This is in your
23 workpapers, you're talking about PJ firm builds,
24 correct?

1 A. PJM firm builds, yes.

2 Q. Okay. Well, as I'm looking at that
3 document in your workpapers, are the numbers in each
4 years in megawatts or is that the total amount of
5 units?

6 A. You're asking me about the table that
7 says "PJM Firm Builds"?

8 Q. Yes, I am.

9 A. The numbers are in megawatts.

10 Q. Okay. So -- and -- and the ISO zone
11 will tell us which part of PJM we're talking about,
12 correct?

13 A. Yes.

14 Q. And ATSI is not specifically listed,
15 correct?

16 A. No.

17 Q. And is that because there were no firm
18 builds in the ATSI zone?

19 A. Correct.

20 Q. Okay. And as far as your modeling of
21 additional construction -- let me take a step back
22 from that.

23 Your -- did you look at the PJM
24 generation queue at all?

1 A. Yes, I believe so.

2 Q. Would you agree there's over 60,000
3 megawatts in the PJM generation queue?

4 A. I don't -- I don't remember the number
5 that's in there.

6 Q. Would you agree -- if I compare the PJM
7 firm builds of -- I believe at the bottom right-hand
8 corner total is 7,775, would you agree that assuming
9 only 7,700 megawatts of construction between now and
10 2017 is a conservative estimate about approximately
11 11 percent, maybe 12 percent?

12 A. No.

13 MR. ALEXANDER: Objection to form.

14 THE WITNESS: No.

15 BY MR. OLIKER:

16 Q. Why not?

17 A. PJM has announced that even units that I
18 considered firm are delayed and not going to be
19 available on time. It's part of their recent filing.

20 Q. Which recent filing are you referring
21 to?

22 A. Either the December 12th or the December
23 24th one, I don't remember which one.

24 Q. And by the December 12th to December

1 24th, which proceedings were those in?

2 A. They're in FERC dockets related to the
3 capacity performance, and what I would characterize
4 as the emergency actions that they are trying to take
5 in the event that the EPSA decision is applied to the
6 capacity markets.

7 Q. Okay. And how did you determine
8 generation construction besides going out after 2017?

9 A. The model forecasts nonfirm builds.

10 Q. Does that model also -- scratch that.

11 Does that model consider the PJM
12 generation queue?

13 A. Not directly. It affects the -- that
14 affects our decision about the firm builds, but the
15 nonfirm builds are made based on cost minimization.

16 Q. Okay. On the subject of the
17 construction generation, are you familiar with what
18 an IGCC plan is?

19 A. Yes.

20 Q. Could you define it?

21 A. Integrated gasification combined cycle.

22 Q. In the past you testified in favor of
23 building IGCC plants, correct?

24 A. Do you have a specific reference?

1 Q. I don't have a specific one, but I'm
2 just asking in general if you have.

3 A. I have testified in cases involving
4 IGCC. In the most recent case, it was related to a
5 specific input parameter the company used and not
6 related to a specific decision, I don't believe.

7 Q. Have you ever testified in support of
8 construction of an IGCC plant?

9 A. Yes, in Minnesota.

10 Q. And it -- did you testify that that
11 plant would be economically competitive?

12 A. I don't remember. It was a long time
13 ago.

14 Q. Do you know the year or general idea of
15 the timing?

16 A. January 2002.

17 Q. Okay. Thank you.

18 Would you agree that in current markets
19 IGCC plants are not competitive relative to coal
20 plants or natural gas plants for recovery of fixed
21 and variable costs?

22 MR. ALEXANDER: Objection; beyond the
23 scope of his testimony. Go ahead.

24 THE WITNESS: Could you repeat the

1 question?

2 BY MR. OLIKER:

3 Q. Would you agree that in current market
4 conditions, IGCC plants are not competitive relative
5 to coal and natural gas plants for recovery of their
6 fixed and variable costs?

7 MR. ALEXANDER: Objection; beyond the
8 scope of his testimony. Go ahead.

9 THE WITNESS: I don't think it's
10 de facto legal to build new coal power plants in the
11 United States, and that applies to IGCC, as well as
12 other coal plants.

13 BY MR. OLIKER:

14 Q. Are you -- is that your answer or your
15 attempt to answer?

16 MR. ALEXANDER: Objection.

17 BY MR. OLIKER:

18 Q. I guess my question is: If you compare
19 the profitability of an IGCC plant for recovering its
20 fixed and variable costs compared to a natural gas
21 plant or a coal plant, would you agree the IGCC plant
22 is much less competitive?

23 MR. ALEXANDER: Objection; asked and
24 answered. Go ahead.

1 THE WITNESS: The cost of an IGCC has to
2 include carbon capture and sequestration, and under
3 the current law, and I think those costs make it
4 essentially prohibitive to consider coal power plant
5 construction generally.

6 BY MR. OLIKER:

7 Q. And, again, I would still like an answer
8 to my question of the competitiveness of an IGCC
9 plant relative to other power plants.

10 MR. ALEXANDER: The question has been
11 asked and answered twice.

12 MR. OLIKER: He's not provided an
13 answer.

14 BY MR. OLIKER:

15 Q. Okay. Let's take it in steps. Would
16 you agree that an IGCC plant has a higher cost of
17 construction than a natural gas plant?

18 A. Yes.

19 Q. Okay. And would you agree that if all
20 power plants -- if you're considering whether or not
21 a natural gas plant in today's market would recover
22 its fixed and variable costs, it is more likely to
23 recover them than an IGCC plant?

24 MR. ALEXANDER: Objection; asked and

1 answered. For the last time, go ahead.

2 THE WITNESS: Are you referring to new
3 or existing plants?

4 BY MR. OLIKER:

5 Q. Existing plants.

6 A. You're referring to a new gas combined
7 cycle?

8 Q. Already existing.

9 A. Gas-fired combined cycle?

10 Q. Put it this way, that plant you
11 testified to in Minnesota, let's move that plant to
12 PJM and let's put it next to a combined cycle gas
13 plant, they both have to recover their fixed and
14 variable costs. Would you agree that the natural gas
15 plant is much more likely to do that?

16 MR. ALEXANDER: Objection; beyond the
17 scope. Go ahead.

18 THE WITNESS: Yes.

19 MR. OLIKER: Thank you.

20 Okay. Moving to -- Trevor, at this time
21 would you provide him the Excel spreadsheet which is
22 containing CO2 pricing.

23 MR. ALEXANDER: I believe we're on
24 Exhibit No. 8.

1 (EXHIBIT MARKED FOR IDENTIFICATION.)

2 BY MR. OLIKER:

3 Q. Mr. Rose, understanding that for ease of
4 this deposition this is a very small subset of a
5 larger document, but would you agree that the
6 document that is provided to you as Exhibit 8
7 contains a set of shadow prices that ICF provided to
8 the Environmental Protection Agency for each state
9 for the price of CO2?

10 A. One second, I'm reviewing it. It looks
11 that way, but I can't be sure. It looks that way,
12 but I don't remember looking at this specific set of
13 numbers before.

14 Q. Right. And just for the record, you
15 provided a discovery response, I believe it was
16 Sierra Club Set 2 - Interrogatory 65, that describes
17 what steps a person needs to go to to get to this
18 information on the ETS website, correct?

19 A. Yes. You know, if you need more
20 information on that, I have to look at the actual
21 discovery response, but I did -- I do believe I did
22 that.

23 Q. Okay. First of all, I guess what is the
24 shadow price summary? What does that pertain to for

1 the EPA?

2 A. It's a -- the shadow prices are the
3 marginal costs of various different constraints that
4 they have in their model.

5 Q. And what does their model do?

6 A. Well, it's an ICF model, but it's their
7 assumptions with respect to the nature of the
8 constraints and the other input assumptions. With
9 that clarification, could you repeat your question?

10 Q. Yeah. You're -- I asked you what is the
11 shadow price summary, and I believe you said it
12 pertains to the constraints in our model. First
13 thing is what constraints are you referring to?

14 A. Well, this is primarily environmental
15 constraints; so it's the shadow prices for
16 environmental constraints. There are other
17 constraints in the model.

18 Q. So this -- are you saying that these are
19 the prices that you provided the EPA for compliance
20 with individual state mandates under 111(d)?

21 A. "You" being ICF and --

22 Q. Yes.

23 A. -- and -- I believe that this is what
24 the material is, it's for constraints under 111(d)

1 and other constraints.

2 Q. Okay.

3 MR. ALEXANDER: Mr. Olikar, just to be
4 clear, that's subject to the clarification that the
5 EPA provided the inputs?

6 MR. OLIKAR: Yes. Correct.

7 MR. ALEXANDER: Okay.

8 BY MR. OLIKAR:

9 Q. Now, if we look at Ohio, would you agree
10 that in 2020, which is the first implementation year,
11 it says \$7.27 per ton. I guess first of all, what
12 does the units of measure, US2011 dollars per ton,
13 how does that impact this number?

14 A. 2011 dollars per ton refers to real 2011
15 dollars, and it's per ton of CO2.

16 Q. Okay. So -- so in today's world, the
17 \$7.27 number would actually be higher?

18 A. In 2015 dollars, it would be higher,
19 yes.

20 Q. Okay. And as I look at the \$7.27, what
21 I find interesting, and I'm hoping you can help me
22 out with, if you go down to Pennsylvania just a few
23 lines down it's 24.75 a ton. Can you describe the
24 discrepancy between Pennsylvania and Ohio?

1 A. The specific discrepancy, no. There are
2 state-specific limits and state-specific conditions
3 that can cause the difference in dollar per ton.

4 Q. So going back to 7.27, are you aware of
5 the assumptions that were included to come to this
6 number?

7 A. I mean, there's a, you know, essentially
8 infinite number of assumptions that are associated
9 with this. I know some of them and some of them I
10 don't.

11 Q. Which ones do you know? If that's
12 confidential, we can talk about it later. I just
13 don't know whether it is or not.

14 A. I'm finding the question too broad.

15 Q. Can you try to provide some description
16 of how the \$7.27 number was arrived at?

17 A. There is a state-specific limit that is
18 implemented in one of the EPA cases which I'm
19 assuming that this is that case, and that
20 state-specific limit is an emission rate limit in
21 pounds per megawatt hour, and then there's a marginal
22 cost in each year of complying with that limit, and
23 there are numerous different assumptions in there,
24 but that's the basic methodology.

1 Q. Was one of the things the EPA assumed
2 that Ohio would meet all of the renewable energy and
3 energy efficiency targets that were in place in 2013
4 before Senate Bill 310 was passed?

5 MR. ALEXANDER: Objection; well beyond
6 the scope. Go ahead.

7 THE WITNESS: I -- I don't remember what
8 specific renewable assumptions were used to establish
9 the rate and limit.

10 BY MR. OLIKER:

11 Q. Do you remember the energy efficiency
12 assumptions?

13 MR. ALEXANDER: Same objection.

14 THE WITNESS: No, not the specific ones.

15 BY MR. OLIKER:

16 Q. Well, do you agree that the EPA has
17 assumed a higher level of heat rate improvement than
18 most experts believe is possible?

19 MR. ALEXANDER: Same objection.

20 BY MR. OLIKER:

21 Q. You can answer.

22 A. Yeah, no. Some experts think the
23 number's high, but I don't have an ability to answer
24 that question as it was asked.

1 Q. Okay. Here's another question: If the
2 Pennsylvania CO2 limit is \$24, in Ohio it's \$7.27,
3 would you agree that that is likely to cause Ohio
4 generation to dispatch more in the short term?

5 MR. ALEXANDER: Same objection.

6 THE WITNESS: Yes. There's some
7 ambiguity about the treatment of how imports and
8 exports are handled, but it's possible that it would
9 give an incentive to Ohio generation.

10 BY MR. OLIKER:

11 Q. And isn't it true that if Ohio
12 generation does increase its dispatch, then the
13 likely result is to have to increase the CO2 price in
14 the following year?

15 MR. ALEXANDER: Objection -- same
16 objection.

17 BY MR. OLIKER:

18 Q. In Ohio, that is, we're talking about.

19 A. No. I don't believe that's the case.

20 Q. Why not?

21 MR. ALEXANDER: Same objection.

22 THE WITNESS: The -- once the rate limit
23 is established, it's -- under the proposed rules it's
24 established, it's not a -- a function of the

1 emissions in that given year.

2 BY MR. OLIKER:

3 Q. So your testimony is that you may exceed
4 your emission limit in a given year?

5 MR. ALEXANDER: Same objection.

6 THE WITNESS: No. You -- your -- your
7 emission limit in pounds CO2 per megawatt hour is not
8 changed based on your behavior in that year.

9 BY MR. OLIKER:

10 Q. So if generation in Ohio, if the output
11 increases to serve load in Pennsylvania and then Ohio
12 exceeds its emission amount, wouldn't it have to
13 increase its cost of CO2 per ton --

14 MR. ALEXANDER: Objection.

15 BY MR. OLIKER:

16 Q. -- to prevent that from happening in the
17 future?

18 MR. ALEXANDER: Objection to form; and
19 objection, it's beyond the scope of his testimony.

20 THE WITNESS: No.

21 BY MR. OLIKER:

22 Q. Why not?

23 A. I don't accept the premise that they're
24 going -- can exceed their emission rate limit. That

1 was the first reason for no. And it's a
2 pound-per-megawatt-hour limit so you can provide more
3 megawatt hours.

4 Q. Are you familiar with what happened with
5 the United Kingdom with their CO2 and in Europe?

6 MR. ALEXANDER: Objection; vague.

7 THE WITNESS: Can you be more specific?

8 BY MR. OLIKER:

9 Q. Would you agree that in Europe emission
10 prices were set too low, and they had to increase
11 them drastically to ensure they had compliance
12 targets?

13 MR. ALEXANDER: Objection. Go ahead.

14 THE WITNESS: I'm not familiar with
15 England enough to answer that question.

16 BY MR. FISK:

17 Q. You did not personally create these CO2
18 prices, correct?

19 A. Yes, that's correct.

20 (Confidential Portion Excerpted.)
21
22
23
24

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

(Public Record.)

BY MR. OLIKER:

Q. Okay. Let's move to the other document that I provided you, which is Implications of Current Low Natural Gas Price Environment on Wholesale Power. And I believe this document is IGS Set 1-RPD-5 Attachment 3, and I'd like to mark that as Deposition Exhibit 9, I believe.

(EXHIBIT MARKED FOR IDENTIFICATION.)

MR. OLIKER: We're still waiting, Trevor?

MR. ALEXANDER: Yeah. He's reviewing the document.

BY MR. OLIKER:

Q. Okay. I guess while you're reviewing, Mr. Rose, can you tell me whether or not this appears to be a true and accurate copy of a document produced by ICF International titled "Implications of Current Low Natural Gas Price Environment on Wholesale Power"?

1 A. It does. There's some oddities in the
2 documents. Like, on Page 15, there's no title, I
3 don't think that that's a full printing, and same
4 thing on Page 14.

5 Q. So I guess let me ask you this, this
6 will help: My version on Page 15 says "PJM Natural
7 Gas Combined Cycle Capacity Factors 2009 to 2011."
8 Actually before we go, is this a confidential
9 document, because it's not labeled so?

10 MR. ALEXANDER: I don't believe it is.

11 THE WITNESS: I'd prefer to -- first of
12 all, my Page 15 doesn't read as you indicate, that's
13 number one. Number two is I prefer to deal with this
14 in the confidential docket. It is something that was
15 provided, and it's an internal document of ICF that
16 we gave.

17 BY MR. OLIKER:

18 Q. This says it was -- I'm sorry, I didn't
19 mean to interrupt you. The title of my document
20 says, "Prepared for: Edison Electric Institute, May
21 3, 2012."

22 A. Correct. So you're not part of the
23 Edison Electric Institute, are you?

24 Q. No. That's my question. If you think

1 it's confidential, I'm fine to do that.

2 A. Yeah.

3 Q. I just wanted to make sure we're talking
4 about the same document.

5 A. Right. Let's deal with this in the
6 confidential section.

7 Q. Okay. Let's at least finish marking it,
8 I guess. Can you go -- because this is actually two
9 documents, and this one may or may not be
10 confidential.

11 If you go to -- on mine it's after
12 Page 34, actually after Page 35, it also contains IGS
13 Set 1-RPD Attachment 4, and that presentation is
14 titled "Anticipating the Next Turn in a Gas-Rich
15 Environment, Key Pricing Drivers, and Outlook," and
16 it's prepared for Houlihan and Lokey Merchant Energy
17 Conference. Let me know when you're there, tell me
18 if that's also confidential.

19 A. I think that we can deal with it in a
20 nonconfidential manner. It has the same printing
21 problems or the -- in some cases as the other
22 document, Page 8, but why don't you ask your
23 questions and see if we can deal with it.

24 Q. I'm going to stay away from that page.

1 I want to go to Page 17. The title of that one says
2 "Coal Power Plant Margins-PJM."

3 A. Unfortunately I don't have that title.
4 I have Page 17, it doesn't have that title.

5 Q. Do you have the table?

6 A. I do, and for some reason it doesn't
7 have numbers in the right-most column.

8 Q. Neither does mine under EBITDA. Is that
9 the one you're referring to?

10 A. Yeah.

11 Q. Yeah. Mine does not, either, so I don't
12 believe they were included.

13 A. Right. I mean, you know, I --

14 Q. I'm sorry. Go ahead.

15 A. I don't think that I would have given
16 this document to that conference; so I'm not sure why
17 it doesn't have a number -- numbers there, and the
18 heading I don't know why is a problem, either.

19 Q. Maybe -- maybe one of the ways we can
20 deal with this is to -- because I've e-mailed these
21 to Trevor, you may be able to look at them when we
22 take a break to determine whether the one that is
23 printed is the same as the actual document. But I
24 can tell you the EBITDA numbers that is contained in

1 the one that you said is confidential, they are
2 listed, but they are not listed in the one that we
3 are discussing now, which is the second presentation.
4 So is that helpful?

5 A. Yeah. But I think we should deal with
6 it -- let's deal with it in the confidential section.

7 Q. That's okay. That's fine.

8 MR. ALEXANDER: Okay. Does that resolve
9 the public portion?

10 MR. OLIKER: I'd like to -- I just want
11 to ask one or two more questions about something
12 else, and then I'm done just about.

13 MR. ALEXANDER: Okay.

14 BY MR. OLIKER:

15 Q. Mr. Rose, again, this may cross over
16 into confidential, I don't think it will, but you
17 testified regarding the impact of nitrogen oxide
18 regulations, you know, NOx, correct?

19 A. Yes. Do you have of a specific
20 reference?

21 Q. I think it's in your workpapers, but I'd
22 like to talk more high level about it. I don't think
23 we need to get into the workpapers. You do provide
24 an estimate of the impact of these regulations,

1 correct?

2 A. In my career, I've assessed the impacts
3 of NOx regulations, yes.

4 Q. Okay. Well, regarding NOx regulations,
5 coal-fired power plants install something called
6 selective catalytic reductions to deal with NOx
7 regulations, right?

8 A. That's one compliance mechanism, right.

9 Q. What are the other compliance
10 mechanisms?

11 A. Well, there's SNCR, selective
12 noncatalytic reduction, there are no-NOx burners,
13 there's fuel switching, there's over-fired air. So
14 there are more than one NOx-emission reduction
15 mechanism.

16 Q. Have you reviewed FirstEnergy's
17 proposed -- have you reviewed the Sammis power plant
18 or OVEC power plants to determine whether any of them
19 will require additional environmental measures to
20 comply with NOx regulations?

21 A. No, I haven't, not as part of this
22 exercise.

23 Q. Would it be -- if a coal plant does not
24 have controls in place to deal with NOx regulations,

1 what is the likelihood of that plant being able to
2 operate between now and 2031 without installing
3 additional environmental measures?

4 A. I would need more information about the
5 specific conditions to assess that.

6 Q. What if I had no other mechanism to deal
7 with NOx?

8 A. Again, I would need to know the specific
9 conditions.

10 Q. What specific conditions would you need
11 to know to answer that question?

12 A. What are the likely environmental
13 regulations that are facing that individual plant,
14 what are its cost revenues, what are its NOx
15 controls, what are its NOx control options.

16 Q. I guess my point is if it has no NOx
17 controls, if it does not have an SCR or anything
18 else.

19 A. You know, again, I need more specific
20 information to answer that.

21 Q. And what if it has no NOx controls and
22 it anticipates that it will run at a 75 percent
23 capacity factor?

24 A. Again, I need more information in order

1 to assess the plant's conditions.

2 Q. Can you describe a set of circumstances
3 that would require a plant to install a SCR
4 mechanism?

5 A. There are some regulations that if
6 applied to the particular power plant could result in
7 NOx-emission requirements; there's visibility rules,
8 there's ambient air quality standards, there's new
9 source review standards, there's NSPS standards. So
10 I would have to know the specifics of the power plant
11 in addition to the -- and other information to assess
12 the economic viability.

13 Q. Okay. I think that's -- just give me
14 one minute, and I think I'm done with the public
15 version.

16 (Pause.)

17 Q. One last question: You talked about
18 volatility in PJM-dense markets and the gas markets
19 in the PJM region. Would you agree that that
20 volatility is largely related to constraints?

21 A. What type of constraints?

22 Q. Would you agree that the volatility is
23 largely limited to constrained areas?

24 A. Can you just elaborate on what you mean

1 by "constrained areas"?

2 Q. Sure. For example, we're talking about
3 pipeline constraints. Would you agree that
4 volatility was necessarily present in all of the PJM
5 footprint?

6 A. It was more prevalent in the areas that
7 were most constrained for delivery capacity, but it
8 wasn't limited only to those areas.

9 MR. OLIKER: Okay. That's all I have in
10 the public; so leave it up to you guys whether you
11 want to take a break or just keep plowing through on
12 the other line.

13 MR. ALEXANDER: Let's take a break.

14 MR. OLIKER: Do you need us to call in
15 on the other number?

16 MR. ALEXANDER: Let's end the public
17 version at this point.

18 MR. FISK: Can we clarify on the record
19 first what was marked Exhibit 9, are we leaving that?

20 MR. ALEXANDER: We're leaving that as
21 one exhibit.

22 MR. FISK: Is it Exhibit 9, though,
23 given that it's not going to be talked about until
24 the confidential point?

1 MR. ALEXANDER: It's Exhibit 9. It's
2 been marked and identified so let's just keep it with
3 that number.

4 MR. FISK: Keep going with that. And it
5 will just be on the confidential.

6 MR. ALEXANDER: We can talk about any of
7 the exhibits on the confidential to the extent that
8 we need to, but that's what we'll mark it.

9 MR. FISK: Okay.

10 MR. ALEXANDER: At this point let's go
11 off the record for the public version. So we're off.

12 (Discussion held off the record.)

13 (Confidential Portion Excerpted.)

14

15

16

17

18

19

20

21

22

23

24

1 State of Ohio :
 2 County of : SS:
 3 :

4 I, Judah L. Rose, do hereby certify that
 5 I have read the foregoing transcript of my deposition
 6 given on Wednesday, January 7, 2015; that together
 7 with the correction page attached hereto noting
 8 changes in form or substance, if any, it is true and
 9 correct.

10 _____
 11 Judah L. Rose

12 I do hereby certify that the foregoing
 13 transcript of the deposition of Judah L. Rose was
 14 submitted to the witness for reading and signing;
 15 that after he had stated to the undersigned Notary
 16 Public that he had read and examined his deposition,
 17 he signed the same in my presence on the _____ day of
 18 _____, 2015.

19 _____
 20 Notary Public

21 My commission expires _____, _____.
 22 - - -
 23
 24

CERTIFICATE

State of Ohio :
County of Muskingum : SS:

I, Carolyn D. Ross, Registered Professional Reporter and Notary Public in and for the State of Ohio, duly commissioned and qualified, certify that the within named Judah L. Rose was by me duly sworn to testify to the whole truth in the cause aforesaid; that the testimony was taken down by me in stenotype in the presence of said witness, afterwards transcribed upon a computer; that the foregoing is a true and correct transcript of the testimony given by said witness taken at the time and place in the foregoing caption specified and completed without adjournment.

I certify that I am not a relative, employee, or attorney of any of the parties hereto, or of any attorney or counsel employed by the parties, or financially interested in the action.

IN WITNESS WHEREOF, I have hereunto set my hand and affixed my seal of office at Columbus, Ohio, on this 14th day of January, 2015.



Carolyn D. Ross, Registered Professional Reporter and Notary Public in and for the State of Ohio.

My commission expires April 3, 2019.

(CDR-77434)

This foregoing document was electronically filed with the Public Utilities

Commission of Ohio Docketing Information System on

8/20/2015 12:15:42 AM

in

Case No(s). 14-1297-EL-SSO

Summary: Deposition (Public) of Judah L. Rose electronically filed by Mr. Tony G. Mendoza
on behalf of Sierra Club