

PUBLIC UTILITIES COMMISSION OF OHIO

- - -

In the Matter of the Application :  
Seeking Approval of Ohio Power :  
Company's Proposal to Enter into : Case No.  
an Affiliate Power Purchase : 14-1693-EL-RDR  
Agreement for Inclusion in the :  
Power Purchase Agreement Rider :

In the Matter of the Application :  
of Ohio Power Company for : Case No.  
Approval of Certain Accounting : 14-1694-EL-AAM  
Authority :

- - -

DEPOSITION

of Robert W. Bradish, taken before me, Julieanna  
Hennebert, Registered Professional Reporter, and a Notary  
Public in and for the State of Ohio, at the offices  
of American Electric Power, 1 Riverside Plaza,  
Columbus, Ohio, on Friday, September 25, 2015, at  
9:00 a.m.

- - -

ARMSTRONG & OKEY, INC.  
222 East Town Street, Second Floor  
Columbus, Ohio 43215-4620  
(614) 224-9481 - (800) 223-9481  
FAX - (614) 224-5724

- - -

1 APPEARANCES:

2 On behalf of Applicant Ohio Power Company:

3 MR. CHRISTOPHER L. MILLER  
4 Ice Miller  
5 Arena District  
6 250 West Street, Suite 700  
7 Columbus, Ohio 43215-7509  
8 614.462.5033

9 On behalf of Sierra Club:

10 MR. SHANNON FISK  
11 Earth Justice  
12 1617 John F. Kennedy Boulevard, Suite 1675  
13 Philadelphia, Pennsylvania 19103  
14 215.717.4522

15 APPEARANCES VIA SPEAKERPHONE:

16 On behalf of Industrial Energy Users Ohio:

17 MR. MATTHEW R. PRITCHARD  
18 McNees, Wallace & Nurick, LLC  
19 Fifth Third Center, Suite 1700  
20 21 East State Street  
21 Columbus, Ohio 43215-4288  
22 614.469.8000

23 On behalf of Environmental Law & Policy Center:

24 MS. MADELINE FLEISHER  
Environmental Law & Policy Center  
21 East Broad Street, Suite 500  
Columbus, Ohio 43215  
614.670.5586

On behalf of PJM Power Providers Group and the  
Electric Power Supply Association:

MS. GRETCHEN L. PETRUCCI  
Vorys, Sater, Seymour & Pease, LLP  
52 East Gay Street  
Columbus, Ohio 43216-1008  
614.464.6400

1 APPEARANCES VIA SPEAKERPHONE (Continued):

2 On behalf of the Office of Consumers' Counsel:

3 MR. KEVIN F. MOORE  
4 Assistant Consumers' Counsel  
5 for Bruce Weston  
6 Ohio Consumers' Counsel  
7 18 West Broad Street, Suite 1800  
8 Columbus, Ohio 43215  
9 614.387.2965

7 On behalf of The Ohio Manufacturers' Association  
8 Energy Group:

9 MS. REBECCA L. HUSSEY  
10 Carpenter, Lipps & Leland, LLP  
11 280 North High Street, Suite 1300  
12 Columbus, Ohio 43215  
13 614.365.4100

11 On behalf of Staff of the PUCO:

12 MR. STEVEN LOGAN BEELER  
13 Assistant Attorney General  
14 for Mike DeWine, Ohio Attorney General  
15 William L. Wright, Section Chief  
16 Public Utilities Section  
17 180 East Broad Street, 6th Floor  
18 Columbus, Ohio 43215-3793  
19 614.466.4395

17 --|--

## INDEX

--|--

ROBERT W. BRADISH	PAGE
Examination by Mr. Fisk	5
Examination by Ms. Fleisher	176
Examination by Ms. Petrucci	194
Examination by Mr. Moore	207

--|--

## SIERRA CLUB EXHIBITS

NUMBER	DESCRIPTION	IDENTIFIED
1	PPA Deactivations Ohio Transmission Assessment	45
2	Sierra Club INT-2-070	50
3	ELPC INT-3-002	76
4	ELPC INT-3-00,2, Attachment 1	76
5	Sierra Club INT-5-119	84
6	PJM Generation Queues	100
7	Sierra Club RDP-2-071	105
8	ELPC INT-2-029	135
9	Sierra Club INT-2-072	172

--|--

1 ROBERT W. BRADISH,  
2 being by me first duly sworn, as hereinafter  
3 certified, deposes and says as follows:

4 EXAMINATION

5 BY MR. FISK:

6 Q. Good morning, Mr. Bradish.

7 A. Good morning.

8 Q. I'm Shannon Fisk and I represent Sierra  
9 Club in this proceeding.

10 If you could just state your full name for  
11 the record.

12 A. My name is Robert Bradish.

13 Q. And by whom are you employed?

14 A. American Electric Power Service  
15 Corporation.

16 Q. And what is your business address?

17 A. 700 Morrison Road, Gahanna, Ohio, 43230.

18 Q. And just to make sure we're on the same  
19 page today I wanted to just start out with defining a  
20 few terms. If I refer to the applicant in this  
21 proceeding, Ohio Power Company, as AEP, will you  
22 understand what I mean?

23 A. Yes.

24 Q. And if I refer to AEP Generation

1 Resources, Inc. as AEP Generation, will you  
2 understand what I mean?

3 A. Yes.

4 Q. And if I refer to American Electric Power  
5 Company, Inc. simply as AEP, will you understand what  
6 I mean?

7 A. Yes.

8 Q. And if I refer to the PPA units, can we  
9 agree that means Cardinal Unit 1, Conesville 4, 5,  
10 and 6, Stuart 1 through 4, and Zimmer 1?

11 A. That's correct.

12 Q. And your current position is Vice  
13 President of Grid Development; is that right?

14 A. That's correct.

15 Q. And who do you report to?

16 A. Wade Smith.

17 Q. And what's his position?

18 A. Senior Vice President Grid Development.

19 Q. Do you know who he reports to?

20 A. Lisa Barton.

21 Q. And what's her position?

22 A. She's Executive Vice President  
23 Transmission.

24 Q. And how many people report directly to

1       you?

2           A.       Directly to me there's four.

3           Q.       And who are they?

4           A.       Paul Johnson, Jeff Lehman, Evan Wilcox,  
5       Shawn Robinson.

6           Q.       And did any of them have any involvement  
7       in your testimony in this proceeding?

8           A.       Yes, Evan Wilcox.

9           Q.       And what's his position?

10          A.       He's Director of Transmission Planning.

11          Q.       And the other -- so the other three direct  
12       reports did not have any involvement?

13          A.       No.

14          Q.       And not direct reports but more generally  
15       how many people work for you?

16          A.       I think it's, I don't know the number  
17       exactly, but somewhere in the neighborhood of 350.

18                 MR. MILLER:  Shannon, can you define what  
19       you mean "work for you"?

20          Q.       Well, do you have, like, a department at  
21       AEP Service Corp.?  How does that work?

22          A.       So I've got different departments, under  
23       that there's Paul Johnson and there's a staff  
24       underneath him and there's a staff underneath each of

1 the other three guys. So if you add the staff up  
2 those from a reporting perspective it's somewhere in  
3 the neighborhood I think of 350.

4 Q. Okay. I won't ask you for all their  
5 names.

6 A. Good.

7 Q. And in your position do you regularly  
8 provide services to AEP Generation?

9 A. No, I do not.

10 Q. And do you regularly provide services to  
11 AEP Ohio?

12 A. Yes, I do.

13 Q. And I believe you state in your testimony  
14 you're also President of Pioneer Transmission, LLC;  
15 is that right?

16 A. That's correct.

17 Q. And what is that?

18 A. It's a joint venture with Duke to build a  
19 transmission line, 765 kV transmission line in  
20 Indiana.

21 Q. And is that, is Pioneer Transmission part  
22 of the AEP corporate family? Or is it a separate  
23 entity?

24 A. So Pioneer Transmission would be a



1 subsidiary underneath AEP Transmission.

2 Q. And AEP Transmission is a subsidiary of?

3 A. AEP.

4 Q. Of AEP, okay. And is AEP Transmission, is  
5 it part of AEP Service Corp.?

6 A. No, it's actually AEP Transmission Hold  
7 Co.

8 Q. Holding Company?

9 A. Yes. A subsidiary of AEP.

10 Q. And do you work for AEP Transmission at  
11 all?

12 A. So I work for AEP Service Corp. and AEP  
13 Service Corp. provides services to AEP Transmission.

14 Q. And does AEP as a whole have a regulated  
15 and a competitive side to the business?

16 A. Could you be a little bit more clear I  
17 guess breaking down on the competitive side what you  
18 mean?

19 Q. So there's a regulated side, correct,  
20 regulated generation in AEP?

21 A. So there are utilities within AEP,  
22 regulated utilities that own generation. If that's  
23 what you mean, then yes, those are regulated.

24 Q. And then do you have a -- and then there's

1 other entities in AEP that are not part of the  
2 regulated system?

3 A. My understanding, AEP Generation Resources  
4 is that company.

5 Q. Do you know, is AEP Transmission within  
6 one of those two boxes?

7 A. AEP Transmission is regulated.

8 Q. Okay. And in your testimony, and I guess  
9 if we can just agree unless I state otherwise we're  
10 just going to refer to your May 2015 testimony.

11 A. That's fine.

12 Q. On page 2, lines 5 to 15, you have a  
13 discussion about there your primary areas of  
14 responsibility; is that right?

15 A. Yes.

16 Q. And one of those areas is on line 8 asking  
17 the adequacy of AEP's transmission network to meet  
18 the needs of it's customers. Do you see that?

19 A. I do.

20 Q. And what does that work involve?

21 A. Primarily it involves modeling the  
22 transmission network and ensuring that it meets the  
23 reliability standards from either PJM or AEP.

24 Q. Anything else it involves?

1           A.       That's generally what the adequacy means.

2           Q.       And when you say "modeling the  
3 transmission network," what sort of modeling are you  
4 referring to?

5           A.       These are standard power flow models.

6           Q.       Which modeling do you use?

7           A.       Well, for -- so help me a little bit more.  
8 When you say "which models" meaning?

9           Q.       Like Siemens.

10          A.       Oh, okay. We have PSSE, which I believe  
11 is a Siemens. It was PTI initially and they were  
12 bought and sold by several companies, I think Siemens  
13 might be the owner, I'm not sure. And then we also  
14 use a program called Terra and we use a program  
15 called MUSD, M-U-S-D.

16          Q.       What does "MUSD" stand for?

17          A.       I don't remember.

18          Q.       And do you know PSSE, what sort of  
19 modeling analyses can you do with that program?

20          A.       Load flow and stability.

21          Q.       And Terra?

22          A.       I know we can use it for load flow. I  
23 don't think we use it for stability. Just primary  
24 load flow type analysis.

1 Q. And MUSD?

2 A. That's more load flow analysis also but  
3 it's primarily focused transfer capability analysis.  
4 And when I say "load flow" and "power flow," I'm  
5 using them interchangeably.

6 Q. Okay, fair enough.

7 And so is there a major difference between  
8 Terra and PSSE in terms of if you're looking at load  
9 flow?

10 A. No, I don't think there's any major  
11 difference. I think it's more of one of user  
12 friendliness in terms of the analysis you want to do  
13 which one has got a better user interface.

14 Q. And the modeling of the transmission  
15 network for assessing the adequacy of the network, is  
16 that all done in-house?

17 A. Yes, it is. Well, for this analysis it  
18 was all done in-house.

19 Q. Okay.

20 A. We do use contractors from time to time  
21 for certain specific analyses, but that was not the  
22 case here.

23 Q. When would you do -- when would you use a  
24 contractor?

1           A.       If we're doing simple analysis where maybe  
2           a load wants to connect, small load wants to connect,  
3           then we would let them do that and be supervised by  
4           one of our internal engineers.

5           Q.       Any other cases where you'd use a  
6           contractor?

7           A.       I think that's primarily it. I can go  
8           back and check with my team to see what other places  
9           we might use them but that's been the majority of it.

10          Q.       And is there any reason you didn't use a  
11          contractor in this case?

12          A.       We thought the analysis was something that  
13          was best done by the internal team.

14          Q.       Was there ever a discussion should we get  
15          a contractor to do it instead of internally?

16          A.       No. No.

17          Q.       And you referred to I believe the modeling  
18          of the transmission network, you do it to ensure that  
19          you're satisfying NERC, PJM, and AEP's standards; is  
20          that right?

21          A.       Plan criteria.

22          Q.       Planning criteria. Are there any major  
23          differences between those?

24          A.       I don't think there's any major

1 differences. There may be a couple small things but  
2 they're relatively consistent because they're all  
3 based primarily on the NERC transmission planning  
4 standards.

5 Q. And when you were doing load flow or power  
6 flow modeling, do you personally do that or is it  
7 somebody in your shop?

8 A. My staff does that.

9 Q. And who typically does that?

10 A. There's a variety of people. So  
11 underneath Evan Wilcox he has a team of people who do  
12 this type of analysis.

13 Q. And is Evan and his team, is that who did  
14 the analysis in this proceeding?

15 A. That's correct.

16 Q. Have you ever personally done load flow  
17 modeling?

18 A. Yes, I have.

19 Q. How frequently?

20 A. Back when I first started as a planning  
21 engineer when I joined AEP I did that all the time --

22 Q. And when was that?

23 A. -- as part of my job.

24 Q. How long ago was that?

1           A.       Well, I joined in '87.

2           Q.       So when's the last time you have  
3 personally done load flow modeling?

4           A.       I believe somewhere in the neighborhood of  
5 1997 timeframe.

6           Q.       So since then your role has simply been to  
7 review results of modeling, not actually do it?

8           A.       That's correct.

9           Q.       And do you frequently review results of  
10 modeling?

11          A.       Yes.

12          Q.       And when you're reviewing the results,  
13 typically is there some sort of report that you're  
14 reviewing or how do you go about reviewing it?

15          A.       It varies. Sometimes there's reports  
16 written, sometimes it's -- it could be a PowerPoint  
17 presentation, sometimes it could just be a discussion  
18 with my directors, managers.

19          Q.       And when would you -- when would there be  
20 a report written regarding some transmission modeling  
21 that's been done?

22          A.       Typically we only write reports if they're  
23 required.

24          Q.       Required by whom?

1           A.       The only place right now I think we have a  
2       requirement for that is within ERCOT. PJM and SBP  
3       don't require formal reports but ERCOT does into our  
4       RPG process. Just their regional planning process  
5       require reports.

6           Q.       So for PJM if you do transmission modeling  
7       and then how do you communicate results to them?

8           A.       My team will send them the results. So  
9       they'll send them our solutions either through files  
10      that PJM can grab and use and test in their own  
11      system typically.

12          Q.       Okay. So you run the model and then  
13      there's a file that comes out with results that  
14      someone can then, PJM can then review and rerun to  
15      ensure it's accurate?

16          A.       Yeah. We actually don't send PJM results,  
17      we actually send them a file that says this  
18      represents our solution.

19          Q.       Okay.

20          A.       So they can read the file in, it will make  
21      the changes to their model and they'll test that  
22      solution and they'll see if it works or not.

23          Q.       Okay.

24          A.       So really they're just exchanging, at that



1 point we're sending our solution, they're testing  
2 that solution to see if it works.

3 Q. So in this proceeding, and we'll get more  
4 in the modeling later, but is there such a file with  
5 solutions that you could send to PJM so they could  
6 test?

7 A. I don't know. We didn't plan to send  
8 anything to PJM in this analysis, so I don't know if  
9 a file exists or not.

10 Q. So you're not even sure -- leaving out  
11 sending it to PJM, do you know whether there's a file  
12 with the solutions identified?

13 A. Yes. So there certainly is. So we  
14 developed exclusions for the problems and so there  
15 would be a model with that solution in it that was  
16 tested by the team to make sure it solved the  
17 problems. But there wouldn't be any separate file  
18 that we would have prepared to send to PJM because we  
19 didn't do that in this process.

20 Q. Okay. And have you, in this case have you  
21 seen that file or that model with the solutions in  
22 it?

23 A. No. I don't review the details in the  
24 model.

1           Q.       And then you also, going back to your  
2       testimony on page 2, line 12, one of your other  
3       primary areas of responsibility is advanced  
4       technical/analytical studies in support of planning,  
5       engineering, design and operation. Do you see that?

6           A.       I do.

7           Q.       What does that work involve?

8           A.       So those are the more detailed technical  
9       analysis, like systems stability analysis. Sometimes  
10      called dynamics stability analysis. We also look at  
11      EMF, electromagnetic frequency type issues associated  
12      with transmission lines.

13                   And we'll do switching studies. So we  
14      look at when you switch a transmission line, you look  
15      for transient voltages and things like that, those  
16      are much more detail types of studies.

17          Q.       And systems stability analysis, stability  
18      analysis. How does that differ from a power flow  
19      analysis?

20          A.       It's a much more detailed representation  
21      of generation. So rather than looking at general  
22      power flow, it's a time base simulation of the actual  
23      performance of the generating unit. Typically what  
24      you do, you apply a fault and look how that generator

1 performs, whether it stays synchronized to the grid  
2 or whether it trips over line.

3 Q. So that's more of a reflection of what  
4 might happen in reality than, say, just a load flow  
5 analysis?

6 A. Oh, no. No, it's just a different type of  
7 analysis.

8 Q. And are there different modeling programs  
9 you use to do a system stability analysis?

10 A. I believe we use PSSE for all our  
11 stability studies.

12 Q. And do you do those all in-house?

13 A. Subject to checking with my team, I  
14 believe so.

15 Q. Any other modeling programs you do for  
16 systems stability analysis?

17 A. I don't think so. I think we primarily  
18 use PSSE.

19 Q. And then I believe you referred to a  
20 switching analysis.

21 A. Yeah, transient type switching analysis.

22 Q. And what is that?

23 A. Basically what happens when you open up  
24 transmission lines, there are transient voltages that

1 get induced on the system so you have to make sure  
2 that the insulation is going to be capable of  
3 withstanding those voltages.

4 Q. Going down to line 16 through 19 on page  
5 2, you identify some states where you have previously  
6 submitted testimony; is that correct?

7 A. That's correct.

8 Q. And is that an -- the states that you list  
9 there, are those all in, like, the Public Utilities  
10 Commissions?

11 A. That's correct.

12 Q. Is that a complete list of states where  
13 you have submitted testimony in Public Utility  
14 Commissions?

15 A. I would put Ohio in there now, but, yes.

16 Q. And with regards to Arkansas, was there  
17 only a single case where you submitted testimony or  
18 would have been multiple?

19 A. I'm not going to be able to remember the  
20 details, how many cases that were submitted actually.  
21 I can't recall if it was one or multiple.

22 Q. Do you recall the last time you --

23 A. It was at least one.

24 Q. Do you recall the last time you submitted

1 testimony there?

2 A. It's been a couple years. I think was on  
3 the -- associated with our Trans Co. that we were  
4 representing for Arkansas.

5 Q. And you think it was 2012 timeframe?

6 A. It's been within the last five years. But  
7 time flies.

8 Q. And were you ever deposed in a proceeding  
9 in the Arkansas PSE?

10 A. No.

11 Q. Were you ever cross-examined at a hearing  
12 in the Arkansas PSE?

13 A. No.

14 Q. And how about Indiana, when was the most  
15 recent testimony you've done there?

16 A. Probably the most recent was, and I don't  
17 know if this qualifies as testimony, but we were  
18 asked to go and discuss a load shedding event that we  
19 had. So that was 2013 timeframe.

20 Q. But that wasn't written testimony.

21 A. No, that wasn't. I can't remember what  
22 the case was now but it's been a while. Been longer  
23 for Indiana.

24 Q. So more than five years ago.

1           A.       Yeah, I think so.

2           Q.       Do you know, were you deposed in that  
3 proceeding?

4           A.       No, I was not.

5           Q.       How about cross-examined in a hearing?

6           A.       No, not in Indiana.

7           Q.       And Michigan, when was the last time you  
8 submitted testimony?

9           A.       That was even longer ago. I couldn't tell  
10 you what year.

11          Q.       But more than --

12          A.       Yeah, it's been a while.

13          Q.       More than five years?

14          A.       Yes.

15          Q.       And do you know, were you deposed in that  
16 proceeding?

17          A.       No.

18          Q.       How about cross-examined?

19          A.       No.

20          Q.       Oklahoma, when was the last time you  
21 testified there? Or submitted testimony there.

22          A.       I believe it was 2013.

23          Q.       Which proceeding was that?

24          A.       That was the base rate case for Public

1 Service of Oklahoma.

2 Q. And what was your testimony there  
3 regarding?

4 A. Supporting the need for transmission that  
5 we had built.

6 Q. Was that in any way related to any  
7 retirements of generating units?

8 A. No, it was not.

9 Q. And were you deposed in that proceeding?

10 A. I was not.

11 Q. How about cross-examined at the hearing?

12 A. Was not.

13 Q. Do you recall any other Oklahoma  
14 testimony?

15 A. No. Not testimony, no.

16 Q. And Virginia, last time you submitted  
17 testimony there.

18 A. So in Virginia it's got to be close to ten  
19 years ago. I don't remember exact date.

20 Q. And have you ever in general been deposed?

21 A. No.

22 Q. Have you ever testified in a hearing?

23 A. Yes.

24 Q. Where?

1           A.       Virginia.

2           Q.       There we go. And have you ever submitted  
3 testimony in a court proceeding?

4           A.       Be more specific.

5           Q.       State or Federal Court.

6           A.       No.

7           Q.       And have you ever been a witness in a  
8 State or Federal Court proceeding?

9           A.       No.

10          Q.       And outside of this current proceeding  
11 have you ever been involved in transmission  
12 reliability issues related to proposed retirements of  
13 generating units?

14                 MR. MILLER: Can you be more specific?

15          A.       I'm not sure what you mean.

16          Q.       So in this proceeding you're sponsoring  
17 testimony regarding reliability impacts if certain  
18 coal plants were to retire.

19          A.       Right.

20          Q.       Have you ever, outside of this proceeding,  
21 analyzed the transmission and impacts of retiring of  
22 some generating units?

23          A.       In some proceedings somewhere?

24          Q.       No, just in general. Like, do you have



1 any experience doing that?

2 A. Yes. We would do that on a regular basis  
3 anytime generators retire, especially true with the  
4 MATS retirements. We did a lot of analysis around  
5 the MATS retirements.

6 Q. And you were involved in those analyses?

7 A. Yeah, the same capacity I am today.

8 Q. And what sort of analyses did you do with  
9 regards to those retirements?

10 A. So we did very similar analysis to what we  
11 did here, we looked at the retirements of those  
12 generating units and assessed their impact on the  
13 grid and what we, you know, we not only looked at our  
14 generation retirements but we had to look at our  
15 neighbors because they were also impacting -- having  
16 impacts on our grid.

17 So we've looked at that, we started that  
18 process in 2012 when folks started announcing their  
19 retirements for the MATS and we've been doing that  
20 ever since because we keep finding issues.

21 Q. Sure. And were any of those analyses  
22 regarding MATS retirements system stability analyses?

23 A. Yes, at some point we had to do system  
24 stability analyses, I can't recall exactly which step

1 along the way, but they would have been part of,  
2 ultimately part of PJM's RTEP process stability  
3 analysis would have been done.

4 Q. So you have done a system stability  
5 analysis to then submit something to PJM's RTEP  
6 process?

7 A. Well, we would have, PJM would have run a  
8 stability analysis and would have shared those  
9 results with us. We would have done our own  
10 stability analysis to see if there's a need for  
11 system reinforcement as a result of those analyses.  
12 So we would have gone back and forth with PJM in that  
13 process.

14 Q. And why would that process involve system  
15 stability analysis rather than, say, just a load flow  
16 study?

17 A. Well, in that case we were actually  
18 looking at a very specific situation where units had  
19 announced their retirements and were moving forward.  
20 And so part of the analysis involved system  
21 stability, part of our planning requirements require  
22 us to run a stability study, if a plant's actually  
23 going to retire, and we would do that detailed  
24 analysis.

1           Q.       So, for example, in this proceeding if any  
2           of the PPA units were actually going to retire, you  
3           would do, at some point you would do a system  
4           stability analysis to evaluate the impact.

5           A.       That's correct.

6           Q.       But that has not occurred here.

7           A.       Has not.

8           Q.       Outside of the MATS retirement scenario  
9           has there been any other times that you have been  
10          involved in evaluating the transmission impacts of  
11          retirements?

12          A.       Well, sure, we did it with the Clean Power  
13          Plan.

14          Q.       So you've done -- what did you do with the  
15          Clean Power Plan?

16          A.       We assessed the impact of the retirements  
17          that EPA thought would happen under a Clean Power  
18          Plan, we assessed that impact on the transmission  
19          system.

20          Q.       And what sort of modeling did you do to  
21          assess those impacts?

22          A.       Power flow modeling.

23          Q.       And no system stability analysis?

24          A.       That's correct.

1 Q. And when did you do that power flow model?

2 A. The end of, somewhere in the end of 2014.  
3 The last quarter maybe, second half.

4 Q. So that was when the Clean Power Plan was  
5 proposed for?

6 A. That's correct.

7 Q. Have you done any such analysis since the  
8 Clean Power Plan has been finalized?

9 A. Have not.

10 Q. Do you know if anybody in the AEP family  
11 has?

12 A. No.

13 Q. Would there be any other section or  
14 department in AEP that would be doing transmission  
15 reliability analyses or is that all done through the  
16 section you're in?

17 A. Yeah, it would all be done by my section.

18 Q. So outside of the MATS and the Clean Power  
19 Plan assessments, any other assessments you've been  
20 involved in of transmission impacts of retirements?

21 A. Just in general anytime there's a change  
22 in generation on the system and whether it's related  
23 to MATS or not or generally retiring, and that  
24 analysis would be done. And so if it falls in

1 generation, that would have an impact on our system,  
2 we would do that. So anytime a generator retires,  
3 that process would happen.

4 So my team is regularly involved in those  
5 types of evaluations. I don't have any specific  
6 units off the top of my head that I could say, but  
7 generating units are retiring on a fairly regular  
8 basis.

9 Q. And so that's not just units in the AEP  
10 zone but just that could affect the AEP zone even if  
11 they're outside?

12 A. That's correct.

13 Q. And just to make sure we're on the same  
14 page, when I said "AEP zone," I guess I was referring  
15 to the portion of AEP in PJM; is that right?

16 A. Yeah, that's how I interpreted it.

17 Q. Okay, great. And that covers a  
18 multi-state area, correct?

19 A. It does.

20 Q. Is it a portion of seven states I believe?

21 A. I think that's correct. I can name them:  
22 Michigan, Indiana, Ohio, West Virginia, Virginia,  
23 Kentucky, Tennessee. Seven.

24 Q. And then there's also an AEP, separate

1 from PJM there's AEP in kind of south central part of  
2 the country; is that right? Like Texas, Oklahoma.

3 A. Yeah. So we do have operations in, would  
4 be in the states of Oklahoma, Arkansas, Louisiana,  
5 Texas.

6 Q. And are you responsible for transmission  
7 there too?

8 A. Yes.

9 Q. And are you just at a general level  
10 familiar with the proposed agreement under which  
11 AEP-Ohio would pay to AEP Generation the cost of  
12 operating the PPA units?

13 A. I am familiar.

14 Q. And can we agree to refer to that proposed  
15 agreement as the affiliate PPA?

16 A. Yes.

17 Q. When did you first hear about the  
18 affiliate PPA?

19 A. First I can recall is right around the  
20 time we got asked to do a study to look at the  
21 transmission impacts.

22 Q. And when was that?

23 A. Sometime in '14 right around when we did  
24 the study. So it would be, I don't know the exact

1 but somewhere July probably, June-July timeframe.  
2 I'm not sure, have to think about that a little bit  
3 more but that's the first I heard.

4 Q. June-July 2014.

5 A. Somewhere in that time.

6 Q. And who asked you to do the study?

7 A. I'm not sure who actually made the  
8 request. It was -- I don't know, I can't remember if  
9 it was through our -- probably through our legal  
10 counsel. Would have been Steve Nourse. I'm not sure  
11 who else. I don't know.

12 Q. Do you recall who outside of your  
13 Transmission group you've spoken to about the  
14 affiliate PPA?

15 A. Yes. It would have been the Regulatory  
16 group under Rich Muczinski. So we've talked to them.

17 Q. Muczinski?

18 A. Yeah.

19 Q. And do you know, is his group part of AEP  
20 Service Corp.?

21 A. They are.

22 Q. Anyone else you've spoken with outside of  
23 your transmission group about the affiliate PPA?

24 A. Well, yeah, I've spoken to other people

1 about it. Lots of people.

2 Q. Sure. Anybody outside of AEP? Not your  
3 friends or something but anybody outside of AEP,  
4 anybody inside of AEP.

5 A. I mean, in general we've got a case filed,  
6 so it comes up and we talk about, we read about it in  
7 the paper and stuff like that. So we in general will  
8 talk about those things.

9 Q. In terms of your analysis that you're  
10 sponsoring in your testimony here, is there anyone  
11 else you've spoken with at AEP about that?

12 A. No. It's just within the Transmission  
13 organization, and then the Regulatory group.

14 Q. And what were your discussions with the  
15 Regulatory group?

16 A. Most of that's along the issues of  
17 responding to RFIs and things like that to help  
18 facilitate that process. And they also helped  
19 facilitate the development of the testimony.

20 Q. And how so?

21 A. They just coordinate and make sure we're  
22 meeting our deadlines and getting stuff together.  
23 Making sure we're reviewing our testimony and if we  
24 had any edits and stuff like that.



1           Q.       Do they have any substantive role in your  
2 testimony?

3           A.       No.

4           Q.       Did you draft your testimony yourself?

5           A.       With my team.

6           Q.       Who on your team helped you?

7           A.       Evan Wilcox. And I'm not sure who he  
8 relied on, if anybody.

9           Q.       So did he draft it and present you with  
10 something to review? How did that work?

11          A.       Yeah, typically that's how it worked is we  
12 discuss what we want to do, it gets drafted up and  
13 then hand it to me to read.

14          Q.       And how long did you spend reviewing the  
15 draft?

16          A.       I don't know how many versions I looked  
17 at. Just I read it, provide comments on it, and send  
18 it back. It doesn't take too long to read it and  
19 respond.

20          Q.       So do you recall having significant  
21 substantive comments on what Mr. Wilcox had drafted?

22          A.       Well, we talked about it first, so we talk  
23 about, hey, these are the types of things we need to  
24 put in there, and then he drafts what I've asked and

1       then we go through it. So I don't remember all the  
2       different variations of what I commented on stuff  
3       like that. Ultimately this is where we landed, I  
4       guess.

5           Q.       Do you recall having any disagreements  
6       with Mr. Wilcox about what should be in the  
7       testimony?

8           A.       No.

9           Q.       And did anyone else besides Mr. Wilcox and  
10      his team have any substantive input into your  
11      testimony?

12          A.       No.

13          Q.       And are you aware there's a draft contract  
14      setting forth the terms and conditions of the  
15      proposed affiliate PPA?

16          A.       Just generally aware.

17          Q.       Did you have any role in negotiating that  
18      contract?

19          A.       Oh, no.

20          Q.       And so you're not in this proceeding  
21      offering any opinions regarding the terms or  
22      conditions of the proposed affiliate PPA?

23          A.       I'm not.

24          Q.       Are you aware just generally that

1 AEP-Ohio's application also seeks approval for  
2 inclusion of the net impacts and affiliate PPA in a  
3 rider?

4 A. I don't know that much about it in terms  
5 of the details of how they actually want to do it.

6 MR. MILLER: That's pretty vague, what do  
7 you mean by "aware"?

8 MR. FISK: I guess just wanted to know  
9 does he know that there's a proposal for that, not  
10 any details of it.

11 A. I haven't looked at the details or  
12 anything like that, I just know we proposed this PPA.

13 Q. So you did not have any input into  
14 constructing the proposed PPA.

15 A. None.

16 Q. And you're not offering any opinions  
17 regarding the PPA in this proceeding.

18 A. I am not.

19 Q. And your testimony in this proceeding  
20 addresses potential reliability impacts if the  
21 affiliate PPAs were to retire, right?

22 A. That's right.

23 Q. So if the affiliate PPA units did not  
24 retire, the reliability impacts you identify would

1 not occur; is that right?

2 A. I think that's generally true. All things  
3 else not changing, yeah, I think that's generally  
4 true.

5 MR. FISK: Somebody just join?

6 MS. PETRUCCI: Yes, it's Gretchen  
7 Petrucci.

8 MR. FISK: Hi, Gretchen.

9 Q. Do you know whether if the Commission does  
10 not approve the affiliate PPA and its inclusion in  
11 the PPA rider whether AEP Generation would retire any  
12 of the PPA units?

13 A. I have no idea.

14 Q. Have you ever seen any analysis of whether  
15 those units would retire if the affiliate PPA and PPA  
16 rider were rejected?

17 A. I'm not involved in any of those types of  
18 analyses and have not seen any.

19 Q. And has anyone told you that any of the  
20 PPA units would retire if the Commission does not  
21 approve the affiliate PPA and PPA rider?

22 A. No, they have not.

23 Q. And if the PPA units were sold to a third  
24 party as opposed to retired, do you believe the

1 reliability impacts you identify in your testimony  
2 would occur?

3 A. Only if they close them.

4 Q. Fair enough.

5 And we've mentioned previously PJM, of  
6 course. What is PJM?

7 A. It's the RTO that operates the markets  
8 here and in the Mid-Atlantic states.

9 Q. And RTO is Regional Transmission  
10 Organization?

11 A. That's correct.

12 Q. And are you aware that the owner of a  
13 generation unit must notify PJM if the owner intends  
14 to retire that unit?

15 A. Yes.

16 Q. And to your knowledge has AEP Generation  
17 notified PJM of its intent to retire any of the PPA  
18 units?

19 A. Not that I'm aware of.

20 Q. And would you agree PJM is responsible for  
21 ensuring reliability within its footprint?

22 A. Yes.

23 Q. And do you think PJM is capable of  
24 ensuring such reliability?

1           A.       Yes.

2           Q.       Okay.

3           A.       They get a lot of help from us.

4           Q.       And on page 5 of your testimony, on lines  
5       5 to 16 you have a discussion there about Reliability  
6       Must Run contracts; is that correct?

7           A.       Yes.

8           Q.       And can we agree to refer to that as RMR  
9       contracts?

10          A.       Yes.

11          Q.       And what is your understanding what an RMR  
12       contract is?

13          A.       My understanding is just it's a kind of a  
14       short-term measure to keep generating units that have  
15       announced that they may retire, to keep them running  
16       until such time the reliability impacts can be  
17       assessed and addressed by the RTO.

18          Q.       So if a generation owner proposes to  
19       retire a plant by X date and PJM determines their  
20       reliability impacts, they can't be fully addressed by  
21       that date, PJM would then propose an RMR contract to  
22       keep the plant running?

23          A.       That's how I understand it works, yes.

24          Q.       And the RMR, under the RMR contract the

1 generation owner would be paid to keep the plant  
2 running, correct?

3 A. That's correct.

4 Q. And such payments would last until the  
5 transmission upgrades needed to address reliability  
6 impacts are completed?

7 A. Yes, that's my understanding.

8 Q. Have you ever had any involvement in  
9 negotiating RMR contracts with PJM?

10 A. I have not.

11 Q. Do you know who at AEP would be in charge  
12 of that?

13 A. It would be someone in the Generation  
14 organization. So I would not be involved in those  
15 types of negotiations.

16 Q. So someone at AEP Generation?

17 A. Well, I guess it would depend. Right? If  
18 it's an AEP Generation unit, then they would be  
19 involved. If it's one of the regulated units, then  
20 they would not.

21 Q. And your group wouldn't have any role in  
22 those negotiations?

23 A. Not in the contract negotiations, no.

24 Q. And on lines 14 to 16 of your testimony on

1 page 5 you note that there is no obligation for a  
2 generator owner to accept an RMR designation; is that  
3 right?

4 A. That's correct.

5 Q. Do you know of any generation owners who  
6 have sought to retire a plant and were offered an RMR  
7 contract by PJM that refused to enter in such a  
8 contract?

9 A. I don't have any knowledge of RMR  
10 contracts within PJM, so no. I don't know if there  
11 has been that situation or not. I don't personally  
12 recall each and every one so I couldn't tell you if  
13 there has been or has not.

14 Q. Okay. So you can't identify any  
15 individual utility that said no, we are just going to  
16 shut down, we don't want your RMR contract?

17 A. I'm not aware of any. That doesn't mean  
18 there hasn't been.

19 Q. And going down lines 20 to 21 on page 5  
20 there, you have a sentence there However, one can  
21 never be certain if transmission improvements can be  
22 implemented. Do you see that?

23 A. Yes.

24 Q. And do you know of any situations in which



1 transmission improvements needed to address  
2 reliability impacts from a proposed plant retirement  
3 couldn't be implemented?

4 A. Yeah. It's not implemented so much as  
5 it's maybe implemented in a timely manner. There are  
6 transmission projects have been proposed that have  
7 been rejected. We just recently had one in Arkansas  
8 where ultimately the state said we have justification  
9 to move forward with it but as it related to  
10 generation retirements, we've got that situation now  
11 with the MATS retirements where we've got MATS, a  
12 project that was driven by the generation retirement  
13 with MATS that is not complete yet but the generation  
14 has been retired, so what we've done is we've put in  
15 place an operating procedure, basically load-shedding  
16 procedure.

17 So if we get ourselves into a certain  
18 situation, we will just shut the load in the area to  
19 prevent the larger, you know, collapse of the system.  
20 That operating procedure will stay in effect until  
21 the project's done.

22 Q. Okay. And --

23 A. So those situations can exist.

24 Q. Is that just one situation, the load shed,

1 one that you know of?

2 A. Yeah, that's the one we currently have on  
3 our system as involves the MATS.

4 Q. Do you know of any other such situations?

5 A. I don't know. Other than there's been a  
6 lot of generation retirements and I don't know if  
7 they've got similar situations or not.

8 Q. And are you able to say on the public  
9 record which retirement that involves?

10 A. Well, it's the collective. You can't  
11 really identify any one unit, so it's the fact that  
12 we retired a bunch of generating units, "we" being  
13 AEP, FirstEnergy retired generating units, other  
14 companies have retired generating units and it's the  
15 collective impact of all that that results in this  
16 outcome. So you can't really assign those to anyone.

17 Q. And so as a part of that there's a  
18 specific transmission project that's been identified  
19 as needed but that hasn't been completed yet?

20 A. That's correct.

21 Q. Are you able to say which project that is?

22 A. It's we call it the Canal Valley Area  
23 Improvements. It's basically rebuilding a 138 kV  
24 corridor from southern -- from the Ohio-West Virginia

1 border area down through the Charleston, West  
2 Virginia.

3 Q. And that project has been approved by PJM?

4 A. Yes.

5 Q. And it's in process?

6 A. Yeah, it's under construction.

7 Q. And --

8 A. Not under construction, it's certainly  
9 under the siting. I don't know if we've started  
10 physical construction yet but it's moving forward and  
11 it will get done eventually.

12 Q. Do you have any sense of how delayed it  
13 is?

14 A. I think it's probably going to be about a  
15 year and a half.

16 Q. Do you know why it was delayed?

17 A. Not so much delayed as the timeframe we  
18 had to get it done wasn't adequate. So we started  
19 the analysis in 2012 and these plants were going to  
20 retire in 2015 and because of we have to rebuild this  
21 major corridor. It just takes longer. So the time  
22 was a three-year window and it just takes longer to  
23 build it than three years.

24 Q. So this is a situation where it's not that

1 the transmission improvement can't be implemented,  
2 it's just that it can't be done in the timing that  
3 was set forth by MATS.

4 A. Yeah.

5 Q. So do you know of any situations where the  
6 transmission improvement simply cannot be implemented  
7 when there's a retirement that's been proposed?

8 A. Good clarification. For retirements not  
9 on our system. I can't speak to the other generation  
10 retirements but I don't recall any on our system.

11 Q. And on the Canal Valley Area Improvements  
12 do you expect to have to do load shedding at some  
13 point?

14 A. We hope not.

15 Q. And then you referred to an Arkansas  
16 project getting rejected?

17 A. Yeah, there was recently a project we had  
18 in northern Arkansas that ended up getting rejected.

19 Q. But that was not related to any sort of  
20 retirements.

21 A. No, it was not.

22 Q. So if timing is not an issue with regards  
23 to a retirement of a unit, are you confident that  
24 necessary transmission projects to allow for such

1 retirement could be completed?

2 A. In general, yes. I mean, you always run  
3 into the issues of siting and trying to get something  
4 sited so it's hard to speak about future siting  
5 challenges you might have. In general we would  
6 ultimately find a solution, if we had enough time we  
7 could get that built.

8 Q. And it's your understanding that under an  
9 RMR contract PJM would continue to pay for the  
10 continuing operation of the plant during that timing,  
11 right?

12 A. That's my understanding, yes.

13 Q. I'm moving on to another topic, so if you  
14 need a break, let me know.

15 A. I'm good right now.

16 Q. Okay, figured I'd ask.

17 A. Appreciate that.

18 Q. Sure. Let me go ahead and mark this.

19 (EXHIBIT WAS MARKED FOR IDENTIFICATION.)

20 Q. Mr. Bradish, you have been handed what's  
21 been marked Sierra Club Exhibit 1, which is a  
22 Supplemental Attachment 1 to Sierra Club RPD-2-71; is  
23 that correct?

24 A. Yes.

1           Q.       And this is an 11-page document entitled  
2       PPA Deactivations - Ohio Transmission Assessment; is  
3       that right?

4           A.       Yes.

5           Q.       And have you seen this document before?

6           A.       I have.

7           Q.       And did you create this document?

8           A.       I did.

9           Q.       Excellent. And did anybody work with you  
10       on creating this document?

11          A.       Yes.

12          Q.       And who?

13          A.       Evan. Evan and his team.

14          Q.       Okay. And what generally is this  
15       document?

16          A.       This document generally describes the  
17       process we went through to assess the transmission  
18       system and identify the solutions that we needed to  
19       solve the reliability problems.

20          Q.       And so this Sierra Club Exhibit 1, does  
21       this reflect the transmission impact study that is  
22       discussed starting at line 14 on page 6 of your  
23       testimony?

24               MR. MILLER: Shannon, when you say

1 "reflect."

2 Q. Or summarize. I just want to make sure  
3 they're the same, there's not another transmission  
4 impact study.

5 A. Oh, no. Yes.

6 Q. And then on page 9 of your testimony, line  
7 4, you refer to an estimated cost for minimum  
8 upgrades required is 1.6 billion. You see that?

9 A. Yes.

10 Q. Is that 1.6 billion figure for the  
11 transmission upgrades that are addressed in Sierra  
12 Club Exhibit 1?

13 A. Yes.

14 Q. And if you could turn to page 2 of  
15 Exhibit 1. The page is entitled Background; is that  
16 right?

17 A. Yes.

18 Q. And in the middle of the page under "Used  
19 generic commercial probability." Do you see that?

20 A. Uh-huh.

21 Q. There's a reference to "FSA."

22 A. Yes.

23 Q. What is that?

24 A. Facility study agreement.

1 Q. What are those?

2 A. They're agreements that PJM enters into  
3 with the generating units that generating units  
4 commit to doing a facility study where they figure  
5 out what the detailed transmission requirements are  
6 for the unit to connect to the grid.

7 Q. And ISA?

8 A. Interconnection study agreement.

9 Q. And what is that?

10 A. That's the final agreement where the  
11 generators, all the studies have been completed and  
12 the generator signs an agreement with PJM they accept  
13 whatever cause and responsibility there is and  
14 they're ready to connect to the grid.

15 Q. So you're familiar, I assume, with the PJM  
16 queue?

17 A. I am.

18 Q. And is that interconnection study  
19 agreement in the last step before the plant goes into  
20 service?

21 A. That's correct.

22 Q. And if you turn over to page 3 of the  
23 Exhibit 1, says Scenario Studied for Transmission  
24 Solutions Development; is that right?



1           A.       Yes.

2           Q.       And it says "Retirement to Cardinal,  
3       Stuart, and Zimmer plants plus the projected  
4       retirements of plants affected by 111(d)," right?

5           A.       It does.

6           Q.       Should Conesville be in there too?

7           A.       It should. I don't know what happened  
8       there. Just to be clear, that is Cardinal Unit 1.

9           Q.       Okay, just Unit 1.

10          A.       Only.

11          Q.       All right. And one other what I think is  
12       a typo. If you turn to page 10, at the very top,  
13       well, under Scope and Cost Mitigation, it says  
14       "Stewart and Zimmer." Is that supposed to be  
15       S-t-u-a-r-t?

16          A.       Yes.

17          Q.       So that's the same plant as Stuart, right?

18          A.       Yes.

19          Q.       I just wanted to make sure the record is  
20       clear there.

21          A.       Yes.

22          Q.       And so just to be clear, you have not done  
23       any transmission reliability analysis of retiring  
24       either Tiger Creek or Clifty Creek, correct?

1           A.       That's correct.

2           Q.       So in your analyses here it's assumed that  
3 those plants would continue operating?

4           A.       That's correct.

5                   (EXHIBIT WAS MARKED FOR IDENTIFICATION.)

6           Q.       You've been handed an exhibit marked  
7 Sierra Club Exhibit 2 which is the company's  
8 responses to Sierra Club interrogatory 2-070; is that  
9 right?

10          A.       Yes.

11          Q.       And it's double-sided so there's stuff on  
12 the next couple pages there.

13          A.       Yep.

14          Q.       And you are the witness on this response?

15          A.       Yes.

16          Q.       And you've seen this document before?

17          A.       Yes.

18          Q.       And did you draft these responses?

19          A.       I reviewed them with my team. I didn't  
20 actually write them myself.

21          Q.       Did Mr. Wilcox write them?

22          A.       Wilcox or his team.

23          Q.       And if you look under the initial response  
24 subsection a.ii.

1           A.       Yes.

2           Q.       And the third sentence says "AEP developed  
3 and assessed five different scenarios." Do you see  
4 that?

5           A.       Yes.

6           Q.       And there's then those five are listed.  
7 Are these the same scenarios that are discussed in  
8 the Transmission Assessment, Sierra Club Exhibit 1?

9           A.       Yes.

10          Q.       And so just to make sure the record is  
11 clear, scenario 2 says retirement of Cardinal units,  
12 plural. Should that be just one unit?

13          A.       Yes, should be Unit 1.

14          Q.       And then under scenario 4 when you refer  
15 to Cardinal, it's just Unit 1?

16          A.       Unit 1.

17          Q.       And I assume under scenario 5 only  
18 Cardinal Unit 1 was retired?

19          A.       Yes.

20          Q.       So which of the five scenarios listed  
21 here, assuming it's one of them, led to the  
22 \$1.6 billion cost estimate?

23          A.       Scenario 5.

24               MS. PETRUCCI: This is Gretchen. Can I

1 have that answer reread?

2 (Record read.)

3 Q. So going back to the Transmission  
4 Assessment, page 8, it says AEP Upgrades Scope and  
5 Cost. Do you see that?

6 A. Yes.

7 Q. And there's a list of ten projects.

8 A. Uh-huh.

9 Q. And \$1.64 billion.

10 A. Uh-huh.

11 Q. So then ten projects came out of  
12 scenario 5?

13 A. That's correct.

14 Q. And then if you flip over to the next  
15 page, Scope and Cost of Mitigation Plans, and then it  
16 says Conesville Units 4, 5, and 6. Are those numbers  
17 from scenario 5 or are they from scenario 1?

18 A. Scenario 5.

19 Q. And that's the same with the other  
20 scenarios or the other sets of costs identified on  
21 page 9 and 10?

22 A. That's correct.

23 Q. And in the study on what date did you  
24 assume Cardinal Unit 1 would retire?

1           A.       It was all at 2019. So it would have been  
2 retired before the summer of 2019.

3           Q.       So like June 1?

4           A.       Yeah.

5           Q.       And on page 10 of the Transmission  
6 Assessment, so the top one, Stuart and Zimmer plants,  
7 so you have not reported, am I correct, the  
8 transmission upgrades that would be needed if only  
9 the Stuart units retired? Is that right?

10          A.       That's correct.

11          Q.       And why?

12          A.       Just when we did this analysis, because  
13 they're electrically very close, we just bundled them  
14 together.

15          Q.       Would you agree that Zimmer could continue  
16 operating even if Stuart retired?

17          A.       Yes.

18          Q.       Do you have any sense of what the  
19 transmission impacts would be if only Stuart retired  
20 and Zimmer kept operating?

21          A.       I don't.

22          Q.       Do you know what upgrades might be needed  
23 if only Stewart retired and Zimmer kept operating?

24          A.       I don't.

1           Q.       Would it be safe to say that it would be,  
2           the upgrades would be needed would be less than the  
3           upgrades needed with both Stuart and Zimmer retiring?

4           A.       Yeah, I think it's safe to generally say  
5           that, yeah. If fewer plants retired, fewer upgrades  
6           would be needed. I don't know exactly which one is  
7           the -- what the outcome would be until I did the  
8           analysis, but yes, generally.

9           Q.       So you would need to do a new load flow  
10          analysis.

11          A.       Yes.

12          Q.       So scenario 5 assumes the retirements of  
13          all these PPA units plus a set of units impacted by  
14          the Clean Power Plan.

15          A.       That's correct.

16          Q.       And when in the modeling did you assume  
17          the Clean Power Plan units would retire?

18          A.       2019.

19          Q.       And why did you assume that?

20          A.       That was the case we used, so the case was  
21          representative of the 2019 time period to 2019 RTEP  
22          case. So what we did was we modeled what affects  
23          would happen in 2019 if all these plants retired.

24          Q.       And the Clean Power Plan is not going to

1       into affect until 2022, correct?

2           A.       That's my understanding. The new rule  
3       coming out is 2022 is the initial date; however, if  
4       you want to be compliant in 2022, you need to make  
5       actions before you get to that point, you got to make  
6       decisions before you get to that point.

7                   So decisions are going to have to be made  
8       about what's going to happen, so the states I believe  
9       are going to put together their state implementation  
10      plans and stuff like that over the next few years.  
11      So they're going to be making those decisions and  
12      those decisions need to be made essentially, if I  
13      understand it correctly, and I would defer to John  
14      McManus, the witness, on this for any details of the  
15      Clean Power Plan.

16                  But my understanding is that after the  
17      rule comes out, from a timing perspective, and this  
18      is about all I understand, is that you got a year for  
19      the states to respond, they can ask for a two-year  
20      extension, so you've got three years out and then  
21      you'd be able to move on that in an another year. So  
22      you're about four years out where all decisions have  
23      to be made.

24                  And so that's really what this was geared

1       towards is helping people makes decisions during this  
2       timeframe and so that's the concern you have. Then  
3       you got to get the transmission done, right? So it  
4       takes multiple years to get it done.

5               So if you want something to begin  
6       compliance by 2022, you need to start well before  
7       2022 with your decisions. And, quite frankly, even  
8       with your engineering design and stuff like that if  
9       you actually want it to happen by that time frame.

10       Q.       And you could go back to Exhibit 2, the  
11       second page, subsection C, which about is a third of  
12       the way down says "One scenario included additional  
13       retirements." See that?

14       A.       Yes.

15       Q.       Is that scenario 5?

16       A.       Yeah, this is the Clean Power Plan  
17       retirements, that's correct.

18       Q.       So all these plants that are listed on  
19       page 2 and then over onto page 3, those are the  
20       plants you assumed would be retired under the Clean  
21       Power Plan?

22       A.       Yes.

23       Q.       And where did this list come from?

24       A.       It came out of the initial work that EPA



1 did, so it's associated with their, I believe it was  
2 called option 1 for regional compliance for 2020 year  
3 run. So they produced a list of generating plants  
4 that they thought would retire. And at the time when  
5 we did this analysis, that was the best information  
6 we had available to us in terms of what plants would  
7 retire. So we used that list from the EPA.

8 Q. So it's your testimony that there was an  
9 actual list that EPA issued saying these plants we  
10 think are going to retire?

11 A. Based on their analysis, yes.

12 Q. Have you seen such a list from EPA?

13 A. It's on their website. That's where we  
14 got it from.

15 Q. Are you referring to the IPM modeling?

16 A. Yes.

17 Q. To your knowledge did the IPM modeling  
18 identify specific units by name?

19 A. This is exactly from their list, as I  
20 understand it.

21 Q. Okay. Who provided you with this list?

22 A. So the list was made available to me  
23 through Scott Weaver who works in our Environmental  
24 Policy group I believe.

1 Q. And do you know how he obtained that list?

2 A. I believe he got it from the website.

3 Q. And how did he send it to you, via email?

4 A. Yeah, I think he did.

5 Q. And did you ever discuss the list with  
6 him?

7 A. I just asked him what it represented at  
8 the time and he said that represents what I just said  
9 to you, what EPA thinks would retire. And the units  
10 that they assumed would retire when they developed  
11 their targets for each of the states.

12 Q. And do you know how EPA made the list?

13 A. No. Again, we start getting into the  
14 111(d) details, I would refer you to John McManus,  
15 Witness McManus.

16 Q. Yes. So you, have you personally done  
17 anything to verify that any of the units on this list  
18 are actually expected to retire under the Clean Power  
19 Plan?

20 A. No, I haven't done anything to verify  
21 that. I went with EPA's analysis.

22 Q. And if you look under Kentucky, the very  
23 first one is Big Sandy, see that?

24 A. Yes.

1           Q.       269 megawatt unit, that's the smaller of  
2           the two units there, correct?

3           A.       That's correct.

4           Q.       And that unit has just been converted to  
5           natural gas, hasn't it?

6           A.       It's proposed to. I don't know if it's  
7           actually finished yet but they've proposed to convert  
8           it to natural gas, that's correct.

9           Q.       Do you know if anyone at AEP expects to  
10          retire that unit?

11          A.       I don't know. I'm not involved in those  
12          discussions.

13          Q.       And if you turn over to page 3 under Ohio,  
14          Avon Lake, do you know who owns that?

15          A.       I'm not sure. I believe it might be  
16          FirstEnergy but I'm not sure.

17          Q.       Might it be General?

18          A.       I don't know. It's just in that general  
19          area so I'm thinking FirstEnergy is up there but I  
20          really don't know.

21          Q.       And do you know if that plant has been  
22          proposed to be converted to natural gas?

23          A.       I have no idea. We did not do any  
24          assessment to look at conversions to natural gas.

1           Q.       So these -- your study, am I correct, the  
2 modeling of the transmission impacts is based on  
3 PJM's 2019 regional transmission expansion plan?

4           A.       Yes.

5           Q.       And that plan, am I correct, assumes  
6 certain units stay in service and are running? Is  
7 that right?

8           A.       Yeah. PJM will not retire a unit until  
9 they're told to retire the unit.

10          Q.       And so all of these, all of the units in  
11 your Clean Power Plan 111(d) listed in the 2019 RTEP  
12 are assumed to be operating, correct?

13          A.       I think that's generally correct. I'm  
14 trying to remember, there was some on the list that  
15 either had already been turned off or weren't modeled  
16 anymore, so they must have been shut down already.  
17 But generally that would be correct.

18          Q.       So for the units that the RTEP assumed  
19 would still be operating you had to go in and just  
20 turn them off in the RTEP model?

21          A.       That's correct.

22          Q.       And the list of units for the 111(d)  
23 analysis, that's based on analysis of the draft or  
24 proposed Clean Power Plan; is that correct?

1           A.       That's correct.

2           Q.       So this list has not been updated to  
3 reflect the final Clean Power Plan.

4           A.       Not that I'm aware of.

5           Q.       So to your knowledge the list of units  
6 that may retire under the final Clean Power Plan  
7 could be different than the list you used in your  
8 analysis?

9           A.       That's correct.

10          Q.       And then if you look down at, if you turn  
11 to the next page of Exhibit 2, so page 3,  
12 subsection d. says "All transmission upgrades  
13 approved by PJM to mitigate the transmission  
14 reliability impacts due to deactivation of units  
15 affected by the MATS rule were included in the 2019  
16 PJM RTEP model."

17                   And then it says "The only modification  
18 AEP made to the case was deactivation of Conesville,  
19 Stuart, Zimmer, and Cardinal plants." Correct?

20          A.       Yes.

21          Q.       That's not true for case 5, correct? Or  
22 scenario 5?

23          A.       Yeah, I think we were just referring to  
24 transmission upgrades here. We didn't make any

1 transmission changes, so I think that was the point  
2 here was we were just making sure people understood  
3 we did not make any changes to the transmission  
4 model.

5 Q. Okay, I see. Okay. So any transmission  
6 upgrades that were assumed in the 2019 PJM RTEP model  
7 were still assumed in your model.

8 A. That's correct.

9 Q. Now, if you turn over to the last page of  
10 Exhibit 2, we have amended response September 15,  
11 2015. Says "The original answer misunderstood the  
12 question and this amended answer should replace the  
13 original answer," correct?

14 A. Okay.

15 Q. So the original answer includes, for  
16 example, the listing of the five scenarios, right?

17 A. Yeah.

18 Q. So the original answer with regards to the  
19 five scenarios that were modeled is still correct; is  
20 that right?

21 A. It's still accurate.

22 Q. And the original answer with regards to  
23 the list of 111(d) plants is still accurate?

24 A. That's still accurate.

1           Q.       Is there anything in the original answer  
2       that is no longer accurate?

3           A.       I think this was just clarification as to  
4       making sure they understood. Trying to remember now  
5       what the issue was.

6                   MR. MILLER: Take your time.

7           Q.       Yeah, take your time.

8                   (Recess taken.)

9           A.       So I think --

10          Q.       I'm sorry, was that question actually on  
11       the record?

12                   (Record read.)

13          A.       No, I think for the most part it's all  
14       accurate. I think the amended response was just to  
15       provide additional clarification for some of the  
16       sections. So I could not identify anything at this  
17       time that was incorrect.

18          Q.       Okay.

19          A.       It's more just clarification I believe.

20          Q.       So on the amended answer we should just  
21       strike that, the amended answer should replace the  
22       original answer?

23          A.       Yeah. I don't think it should replace, it  
24       should augment it somehow.

1           Q.       Okay. So we could say this amended answer  
2 should augment the original answer?

3           A.       Yeah, I think that's fair.

4           MR. MILLER: Could we say "supplement"?

5           A.       Yeah. Maybe that's a better word.

6           Q.       Okay, that's fine.

7                    So walk me through, you have scenario 5  
8 which has PPA unit retirements and then also all  
9 these 111(d) retirements. You've identified I  
10 believe in your Transmission Assessment transmission  
11 upgrades and costs for the retirement of PPA units.  
12 Right?

13          A.       Uh-huh.

14          Q.       How did you break out these upgrades are  
15 for the PPA unit retirements rather than all the  
16 other retirements?

17                  MR. MILLER: Shannon, can you point him to  
18 the specific?

19          Q.       Sure, pages 9 to 10 on your Transmission  
20 Assessment. So let's say, for example, the first  
21 example which is Conesville Units 4, 5, and 6, you  
22 have a list of AEP upgrades, correct?

23          A.       Uh-huh.

24          Q.       And I guess to make sure the record's



1 clear, is it your testimony that if Conesville Units  
2 4, 5, and 6 alone were to retire, this \$725 million  
3 figure is an estimate of transmission upgrades that  
4 may be needed?

5 A. Yes. If they retire in the context of  
6 including the 111(d), the Clean Power Plan that's in  
7 there and as part of the case, then yes.

8 Q. So if the Clean Power Plan units were not  
9 included, what upgrades would be -- may be needed for  
10 retirement at just Conesville 4, 5, 6?

11 A. I don't know. I didn't do that analysis.

12 Q. Same question with Cardinal Unit 1, you've  
13 got a total upgrade cost of \$85 million, correct?

14 A. Yes.

15 Q. And that would be for retirement of  
16 Cardinal Unit 1 and all of the 111(d) units?

17 A. Yes.

18 Q. So do you have any knowledge as to what  
19 the upgrades would be needed for just retiring  
20 Cardinal Unit 1 would be?

21 A. No. Didn't look at that detail analysis.

22 Q. Flipping over to page 10, Stuart and  
23 Zimmer plants you haven't identified upgrade costs for  
24 \$240 million; is that right?

1           A.       Yes.

2           Q.       And that's a cost for upgrades if Stuart,  
3       Zimmer, and all the 111(d) plants retired?

4           A.       Yes.

5           Q.       And so do you know what upgrades would be  
6       needed if just Stuart and Zimmer retired and not the  
7       111(d) units?

8           A.       No.

9           Q.       And then the final section here on page 10  
10       says "Incremental upgrades to mitigate impacts of  
11       Cardinal, Stuart, and Conesville," and it identifies  
12       \$640 million; is that right?

13          A.       That's correct.

14          Q.       And so that \$640 million figure, what does  
15       that represent?

16          A.       So that's what happens if you do them all  
17       together. When you retire plants -- so if you looked  
18       at simply just the retirement of a single plant or  
19       single unit, you get one impact. But if you look at  
20       two plants together -- and if you look at another one  
21       by itself, you'd get another impact. But if you look  
22       at two together, the impact's going to be bigger. So  
23       there's a combined impact of all the units retiring  
24       and that's what that section represented.

1           Q.       But that combined impact, is it just -- is  
2       the resulting upgrade cost 640 million or is it  
3       640 million plus the 240 million and 85 million and  
4       725 million?

5           A.       Yes, it's the incremental piece above  
6       those others.

7           Q.       So all of those go together --

8           A.       Yes.

9           Q.       -- for the impact of retirement of Stuart,  
10       Cardinal 1, Zimmer, and Conesville.

11          A.       That's correct.

12          Q.       Plus and that also includes the 111(d)  
13       units.

14          A.       In the context of 111(d) retirements, yes.

15          Q.       Do you know what the approximate cost  
16       would be if just Stuart, Cardinal 1, Zimmer, and  
17       Conesville retired and the 111(d) units continued  
18       operating?

19          A.       No. Didn't do that analysis.

20          Q.       And why did you not do any analysis of the  
21       units of the cost of transmission upgrades for  
22       retirement of just the PPA units without the 111(d)  
23       units?

24          A.       Because it's our belief that the EPA

1 111(d), the Clean Power Plan, will move forward and  
2 our expectation is there will be generation  
3 retirements associated with that. So for us to  
4 ignore the combined affects of all that would  
5 ultimately give you the wrong answer in terms of what  
6 we think ultimately the transmission reinforcement  
7 should be.

8 So we've had this experience with MATS, we  
9 talked about a little earlier where we looked at our  
10 generating units, you get one number, FE looks at  
11 theirs, FirstEnergy looks at theirs, they get another  
12 number, but when you look at them together, it  
13 creates a much bigger problem on the grid.

14 We had hundreds of millions of dollars  
15 that we had to either advance or incremental spend  
16 simply due to the fact that FirstEnergy's units  
17 retired. And so when you do those analysis, you have  
18 to look at the combined affects of everything.

19 Clean Power Plan's going forward. The  
20 expectation, my understanding the expectation is  
21 there will be carbon regulation that will ultimately  
22 result in generating units retiring simply because  
23 they won't be economic to stay in service.

24 You have to look at the combined affect of

1       that. Those two things are moving together at the  
2       same time. To try and separate those, you don't get  
3       the final answer, you don't get a real answer, you  
4       get something that's simply not accurate. So we felt  
5       it was important to put them together.

6           Q.       And you don't consider yourself an expert  
7       on the Clean Power Plan, correct?

8           A.       I do not.

9           Q.       And you haven't personally evaluated what  
10      units may or may not retire under the Clean Power  
11      Plan.

12          A.       I have not.

13          Q.       And you also haven't personally evaluated  
14      when any units might retire under the Clean Power  
15      Plan?

16          A.       No, I have not evaluated when. However, I  
17      am familiar with studies done by others who have  
18      looked at those types of things and suggest, and PJM  
19      is the most recent study on that where they've done  
20      an analysis.

21                 So while I don't pretend to know all the  
22      details around peak's analysis, I do know they ran  
23      scenarios where they looked at significant  
24      retirements on their footprints. So, you know, we're

1 going with that collective information that the  
2 expectation is there will be retirements, best  
3 available information I had at the time was EPA  
4 studies.

5 Q. And the PJM study you referred to, do you  
6 know what study that was?

7 A. They did an analysis at the request of the  
8 organization of PJM states.

9 Q. And when was that analysis?

10 A. They did it over the last -- trying to  
11 remember when they did -- the economic analysis came  
12 out. Within the last probably six months.

13 Q. So do you know if that was reflecting the  
14 proposed Clean Power Plan versus the final?

15 A. Proposed.

16 Q. Do you know of any analyses of generating  
17 unit retirements under the final Clean Power Plan?

18 A. I'm not aware of any right now.

19 Q. Would you consider PJM a credible source  
20 of analyzing what the impacts of the Clean Power Plan  
21 might be on the grid?

22 A. Sure.

23 Q. And do you -- of the \$1.6 billion figure  
24 do you know what portion of that would be cost

1 related to the reliability impacts of the retirement  
2 of the 111(d) units?

3 A. I didn't study that in this analysis, no.

4 Q. So there's no analysis of if the affiliate  
5 PPA unit stayed open and just the 111(d) units  
6 retired, you don't have any analysis of what the  
7 transmission impacts might be.

8 A. I do not.

9 Q. So I believe we discussed earlier that  
10 there were four other scenarios run besides the  
11 retirement of all the PPA units and the 111(d) units,  
12 correct?

13 A. Yes.

14 Q. And those other four scenarios, none of  
15 those involved 111(d) units retiring; is that right?

16 A. They did not.

17 Q. And are the results of those scenarios  
18 reported anywhere?

19 A. I believe we submitted them in a response  
20 to data request from Environmental Law. So that  
21 would have been this week I think we submitted those  
22 analyses. But the issue there was we didn't do the  
23 full detailed analysis for those scenarios. Those  
24 scenarios were done more for the planning team to try

1 and understand how the model is going to react when  
2 you make large changes on the system.

3 So what they did was they built up -- this  
4 is discussed in the response we gave to the RFI from  
5 Environmental Law. They kind of built up a process  
6 where they looked at one and then they looked at the  
7 next one and looked at the next one and looked at  
8 them all just so they can get comfortable with what  
9 impacts were going to be so when they finally got to  
10 the scenario they were going to use, they would be  
11 able to develop solutions and recognize were there  
12 any issues along the way that didn't seem to make  
13 sense. So they just did that as they got to the end.

14 It was standard practice where if you've  
15 got big changes on a power flow, these things are  
16 somewhat sensitive at times and they can create  
17 nonconvergence issues, meaning the solutions, they  
18 won't solve. So they worked into the final solution.  
19 So that's what those other ones represent.

20 And we had that analysis done, someone  
21 asked for it so we handed that to them because we had  
22 it but it wasn't the complete analysis, we didn't do  
23 the full reliability analysis on that. But we did  
24 have output from that. But those were more for the



1 engineers, the planners to develop, ultimately get to  
2 the final solution and help them understand what the  
3 impacts might be out there.

4 Q. So could you use the results of those --

5 MS. PETRUCCI: Before you go back on,  
6 Mr. Bradish, you were just fading in and out a little  
7 bit there. I don't know if you were moving relative  
8 to the microphone but if you could speak up just a  
9 little bit, thanks.

10 THE WITNESS: Yes. I was using my hands  
11 and I think I might have been blocking my mouth,  
12 sorry about that.

13 MS. PETRUCCI: Thanks.

14 Q. So have you ever looked at the results of  
15 those scenarios 1 through 4?

16 A. I haven't looked at those, no.

17 Q. Do you know if the results of the  
18 scenarios 1 through 4 could be used to determine what  
19 level of or what transmission upgrades might be  
20 needed just from retirements of the PPA units as  
21 opposed to the 111(d) units?

22 A. Not as I stand because they're not  
23 complete. Like I said, they didn't run the full set  
24 reliability test. So you can't use those results to

1 draw conclusions like that.

2 Q. Okay. And who decided that those  
3 scenarios shouldn't be completed?

4 A. I don't think anybody decided that. I  
5 think they weren't considered scenarios where they  
6 ultimately developed in test solutions. Like I said,  
7 they were more for the planners to study and  
8 understand how the grid's going to respond so when  
9 they get to that final scenario, they would have a  
10 better feel for what's happening on the grid as a  
11 result.

12 Q. With regards to the fact that the  
13 transmission upgrades that you are identifying in  
14 your testimony reflect both the PPA units retiring  
15 and the 111(d) units retiring, did someone make the  
16 decision that you shouldn't look at just the PPA  
17 units retiring?

18 A. No, I don't think so. The decision we  
19 made, I made was to look at the PPA unit retirements  
20 in the context of 111(d) because it's happening and  
21 it's real. And so to do something different than  
22 that would not give us accurate results.

23 I think the team needed to do that, just  
24 like I said, so they could understand the process,

1 understand what was happening on the grid as they  
2 went through the different scenarios. But, no, there  
3 was only one scenario that I wanted results from to  
4 develop solutions and that's the one we gave you.

5 Q. And so you were the one that made the  
6 decision that that would be the scenario to use.

7 A. Yes.

8 Q. So my understanding is that, and I guess  
9 if you want to turn to page 4 of the Transmission  
10 Assessment, the title here is Retirements and  
11 Dispatch - 2019 RTEP Model; is that right?

12 A. Yes.

13 Q. And this again reflects scenario 5?

14 A. Yes.

15 Q. So says 15,850 megawatts retired from the  
16 model; is that right?

17 A. Yes, it is.

18 Q. And so that's the amount of capacity you  
19 retired from what was included in PJM's 2019 RTEP  
20 model?

21 A. Yes. So let's be clear on that. So when  
22 the team looks at this, when we look at this, I  
23 should say, what this represents is how much the  
24 actual unit was dispatched in the model.

1 Q. Okay.

2 A. So it may not be the name plate capacity  
3 of the units themselves. So whatever was dispatched  
4 in the model, they were being very clear this is the  
5 amount in the model that we changed. So that's what  
6 they were trying to identify.

7 Q. Okay, makes sense.

8 (EXHIBITS WERE MARKED FOR IDENTIFICATION.)

9 Q. So you've been handed, Mr. Bradish, Sierra  
10 Club Exhibit 3, which is the company's response to  
11 ELPC interrogatory 3-002; is that correct?

12 A. Yes.

13 Q. And you are identified as the witness who  
14 prepared this answer; is that right?

15 A. Yes.

16 Q. And then Sierra Club Exhibit 4, which is  
17 Attachment 1 to ELPC interrogatory 3-002; is that  
18 right?

19 A. Yes.

20 Q. And that's a three-page attachment; is  
21 that right?

22 A. Yes, it is.

23 Q. And have you seen both of these documents?

24 A. Yes, I have.

1 Q. Did you prepare these documents?

2 A. Under my direction, yes.

3 Q. So Mr. Wilcox actually prepared them  
4 himself.

5 A. Yeah, he or his team.

6 Q. And you reviewed them before they were  
7 submitted?

8 A. Yes.

9 Q. So the request subsection f. says for  
10 Company's scenario 5, retirement of all plants plus  
11 those identified by EPA as impacted by the Clean  
12 Power Plan, please list each generating unit  
13 identified by EPA as impacted by the Clean Power  
14 Plan. Do you see that?

15 A. Yes.

16 Q. And your response on the very back page  
17 refers to ELPC interrogatory 3-002, Attachment 1.

18 A. Yes.

19 Q. And that's what's been marked as Sierra  
20 Club Exhibit 4, right?

21 A. Yes.

22 Q. So Sierra Club Exhibit 4, am I correct,  
23 identifies the units that you turned off in the -- in  
24 your modeling in comparison to what was in the 2019

1 RTEP model? Is that right?

2 A. Yes, those are the units we would have  
3 turned off, that's correct.

4 Q. So I'm curious, if you compare ELPC, well,  
5 Sierra Club Exhibit 4 to page 4 of Sierra Club  
6 Exhibit 1, the Transmission Assessment?

7 A. This one?

8 Q. Yes.

9 A. Page 1?

10 Q. Page 4.

11 A. Page 4.

12 Q. So looking at Sierra Club Exhibit 4, for  
13 example, you have Illinois as the very first state  
14 listed, right?

15 A. Right.

16 Q. And you have I assume that's megawatts,  
17 6,058 megawatts? Very top.

18 A. Yeah. I'm not sure what that number  
19 represents.

20 Q. Okay. And do you know why that number is  
21 different than the number reported on page 4 of your  
22 Transmission Assessment for Illinois?

23 A. The thing on page 4 should have been a  
24 summation. That 6,000 took on a wrong number,

1       probably better to sum the actual columns. I'm not  
2       sure what the 6,000 actually represents.

3               Yeah, I don't know what the 6,000  
4       represents. This is the list of units I think that  
5       was in the earlier list here and that we should have  
6       summed only those units. So I'm not sure what the  
7       6,000 represents.

8           Q.       Okay. How about for Indiana, the 1889?

9           A.       Yeah, again, I'm not sure what that  
10       represents. So the list of the units is consistent  
11       with the list that we put in the response to you but  
12       for some reason I don't know what that 1889  
13       represents.

14          Q.       So you don't know if that was any sort of  
15       an input into the RTEP model?

16          A.       No, that would not have been input into  
17       the RTEP model. I don't know what that number  
18       represents though.

19          Q.       And but that number is inconsistent with  
20       what is on page 4 of the Transmission Assessment; is  
21       that right? For Indiana.

22          A.       That number is not on page 4. The number  
23       on page 4 represents the sum of those individual ones  
24       and that number does not represent that.

1 Q. Okay. And so am I correct that would be  
2 the same answer with regards to the other states?

3 A. Yes. Don't know what that number  
4 represents.

5 Q. And do you know why -- let's see. So the  
6 Ohio on page 2 of attachment -- Sierra Club Exhibit 4  
7 under Ohio you have listed Avon Lake, which I think  
8 we discussed earlier, Conesville, Hamilton, and  
9 Orrville, right?

10 A. Yes.

11 Q. But you don't have any of the other PPA  
12 units listed there.

13 A. Yeah, because Conesville was actually  
14 identified by the EPA as a unit potentially at risk  
15 for retirement in their analysis. In our analysis  
16 Conesville is a PPA unit. So it was removed from  
17 this list when we did the analysis. It was removed  
18 in the sense that it's not an EPA number anymore,  
19 it's a PPA unit now.

20 Q. Okay.

21 A. Because they did identify Conesville as at  
22 risk for retirement.

23 Q. I see.

24 And if you look down at the bottom of



1 page 3, so we have the AEP retirement, right? Listed  
2 there.

3 A. Yes.

4 Q. Now, I'm not a math expert but the total  
5 of those numbers is north of 5,000 megawatts,  
6 correct?

7 A. Yes.

8 Q. And over on page 4 of your Transmission  
9 Assessment you've got it identified as 4,036  
10 megawatts.

11 A. Yes. Getting back to the earlier question  
12 that you asked about this, about those being capacity  
13 values, they're not. These represent the capacity  
14 ratings of the units. What we did then is we went  
15 into the model and turned it off. Whatever it was  
16 dispatched at the model, that's what those numbers  
17 add up to there on that list.

18 Q. Okay.

19 A. That's why the dispatch is in there,  
20 retirement and dispatch, because here's the units we  
21 retired, the dispatch amount, not that it was  
22 actually set to in the case, in the RTEP case is what  
23 those numbers represent.

24 Q. Okay.

1           A.       So they don't represent, that does not  
2       represent the capacity of unit. This does represent  
3       the capacity of the unit.

4           Q.       Could that be the explanation for why the  
5       state numbers in Sierra Club Exhibit 4 are higher  
6       than the numbers reported on page 4 of the  
7       Transmission Assessment?

8           A.       I don't know what the reason is.

9           Q.       Okay.

10          A.       I just do not know why.

11          Q.       Okay. Fair enough.

12          A.       The important information is the unit  
13       listed and the fact that we turned it off. What that  
14       sum represents or what that is, I don't know. But  
15       the list that we've got here that says the units we  
16       turned off is consistent with the list we sent you in  
17       the interrogatory earlier. So I think that's the  
18       important part to focus on.

19          Q.       Okay. Now, so in terms of removing units  
20       from the 2019 PJM RTEP model, nothing else is  
21       removed, correct? Outside of the 111(d) units and  
22       the PPA units.

23          A.       Yeah, we didn't change the transmission  
24       system.

1 Q. And you didn't remove any other units?

2 A. No.

3 Q. Okay. Now, the RTEP model, am I right  
4 that assumes that certain proposed units would --  
5 that have interconnection agreements and service date  
6 before June 1, 2019, would be included in the RTEP?

7 A. That's correct.

8 Q. Are there any other proposed units that  
9 would be included in the 2019 RTEP?

10 A. Not sure on that. I think what PJM does  
11 is once they get to an FSA stage, once they get that  
12 agreement signed I believe they put it into the RTEP.  
13 Whether or not they put in units that have an  
14 in-service date beyond 2019 in their case even though  
15 it's not supposed to go in before 2019, I don't think  
16 so. But for the most part I think the stuff is  
17 supposed to be in place by 2019.

18 Q. So units that are supposed to be in place  
19 by June 1, 2019, and that have either an  
20 interconnection agreement or a facility support --  
21 services agreement, those would all be included in  
22 the RTEP model?

23 A. I believe so.

24 (EXHIBIT WAS MARKED FOR IDENTIFICATION.)

1           Q.       All right, you have been handed,  
2       Mr. Bradish, Sierra Club Exhibit 5, which is the  
3       company's response to Sierra Club interrogatory  
4       5-119; is that right?

5           A.       Yes.

6           Q.       And so -- and I'm sorry, have you seen  
7       this document before?

8           A.       Yes.

9           Q.       And you are identified as the preparer of  
10      this document?

11          A.       Yes.

12          Q.       And did you draft this document, this  
13      response?

14          A.       It was done in my direction, yes.

15          Q.       By Mr. Wilcox?

16          A.       Yes. Or his team.

17          Q.       And so subsection a. says, well, "For each  
18      of the five different scenarios identified in  
19      interrogatory 2-070, identify each specific new  
20      generating unit on the 'PJM generation  
21      interconnection queue' that was assumed to be added  
22      to the system impact study."

23          A.       Right.

24          Q.       And then your response discusses, I guess,

1       how you determined what units to add; is that right?

2           A.       Yes.

3           Q.       And says "A significant amount of FSA  
4       units were already modeled online in the 2019 RTEP  
5       case"; is that right?

6           A.       Uh-huh.

7           Q.       And then "Generators with capacity less  
8       than 5 megawatts totaling 200 megawatts were not  
9       modeled..., " right?

10          A.       Uh-huh.

11          Q.       So when you say those were not modeled, do  
12       you mean PJM did not include them in the RTEP or that  
13       you decided to remove them from the RTEP?

14          A.       I think it's neither of those. I think  
15       what happened was they were in there but we didn't  
16       turn them on. We didn't use them in our analysis.  
17       So again, if they're an FSA unit, my understanding is  
18       PJM will put them in the case, but we just didn't  
19       turn them on. We didn't use them in this analysis.

20          Q.       Do you know if PJM would turn them on in  
21       their analysis?

22          A.       I think PJM turns on everything they have.

23          Q.       And why did you not turn them on?

24          A.       We did not need all of the FSA units for

1       this analysis. So we decided, as it says here, that  
2       we looked at units that had been stalled for more  
3       than three years and have transmission upgrade costs  
4       greater than 25 million, we simply did not turn them  
5       on.

6           Q.       But that's a different set than the  
7       generation -- generators with less than 5 million  
8       megawatts.

9           A.       It is.

10          Q.       So when you're saying you didn't need  
11       them, what do you mean you didn't need them?

12          A.       The amount of generation we're retiring  
13       did not require us to use all of the FSA generation  
14       that was in the queue.

15          Q.       And that's because you were attempting to  
16       replace the amount of generation retiring one for  
17       one?

18          A.       Yes.

19          Q.       So then you also say in this response  
20       "...nuclear uprates totaling 1600 megawatts  
21       (including North Anna Unit 3 scheduled for 2024) was  
22       not considered assuming these uprates may not get the  
23       required regulatory approval by 2019." See that?

24          A.       Yes.

1           Q.       So those are 1600 megawatts of nuclear  
2       uprates that PJM had included in the 2019 RTEP case;  
3       is that right?

4           A.       I'm not sure if they're in the case or  
5       not. They might have been, but again, they're not  
6       scheduled till 2024 so we didn't use them.

7                    Might also say in that one, I believe I  
8       recall on that one I asked them to check on that unit  
9       to make sure and when we went to Dominion's website  
10      what we found there is Dominion has no plans, meaning  
11      their words, they have no plans to build this unit at  
12      this time.

13                   And given that it's probably going to take  
14      ten years or so to build a plant like that, it would  
15      not fit within the timeframe we're looking at so that  
16      didn't make any sense for us to include it.

17          Q.       But that and then North Anna Unit 3 is  
18      just one of the units involved in the nuclear uprates  
19      totaling 1600 megawatts, correct?

20          A.       Yes.

21          Q.       So there were other uprates that you  
22      removed from the RTEP?

23          A.       I think there were other uprates that we  
24      simply did not turn on.

1 Q. Do you recall which those were?

2 A. I do not know which ones they were.

3 Q. Do you know why those you removed?

4 A. What we said, we didn't feel they would  
5 move forward by 2019.

6 Q. And did you personally verify whether  
7 those would be expected to move forward by 2019?

8 A. I did not personally verify.

9 Q. Do you know who did?

10 A. My staff would have looked at that.

11 Q. And is that identified anywhere in writing  
12 which nuclear units were removed?

13 A. It would have been whatever was listed in  
14 the PJM queue at the time, those would have been the  
15 ones.

16 Q. So if it was in the PJM queue with an FSA  
17 or an ISA?

18 A. ISA.

19 Q. Or ICA?

20 A. ISA.

21 Q. PJM would have included them and that's  
22 how we can determine which ones that you removed.

23 A. Yeah, but usually PJM would include in  
24 their analysis anything that would have an in-service



1 date beyond 2019. So even if it is marked as an FSA,  
2 they may -- I'd have to verify this, I'm just not  
3 sure on this part of the answer whether they actually  
4 include those in the model itself and just don't turn  
5 them on and use them in the analysis or didn't put  
6 them in the model, I just don't recall.

7 Q. So for the nuclear uprates at some point  
8 between when PJM made its list of units to put into  
9 the RTEP and when you did your analysis, those units  
10 switched from being expected to be in service by 2019  
11 to expected to be in service sometime later?

12 A. I don't know if they were expected to be  
13 in service by 2019 or not. We've listed North Anna  
14 was scheduled for 2024. So I don't know, I don't  
15 recall when the nuclear uprates were scheduled to be  
16 in service. I just didn't use them.

17 Q. And then you also state that generation  
18 that has been stalled for more than three years and  
19 transmission upgrades cost greater than 25 million  
20 were not included.

21 A. That's correct.

22 Q. And do you know how many megawatts or  
23 units those are?

24 A. I don't recall that, what that actual

1 amount was.

2 Q. Do you have a general sense, are we  
3 talking a hundred megawatts or 5,000?

4 A. I don't think it's -- I don't want to  
5 speculate. I just don't remember what that number  
6 is.

7 Q. Did you review that list personally?

8 A. Not personally.

9 Q. So who made the decision which units we  
10 were to remove under that category?

11 A. So the criteria of more than three years  
12 and transmission upgrades greater than 25 million was  
13 my decision. The implementation of that decision was  
14 done by my staff.

15 Q. And do you know, is there a list of what  
16 units they removed anywhere?

17 A. That they didn't turn on? I don't think  
18 we created that list.

19 Q. And so you've got the 2019 PJM RTEP and  
20 from that you removed your PPA units, the 111(d)  
21 units, and then the three sets of units that were not  
22 turned on that we were just discussing, correct?

23 MR. MILLER: That's kind of a compound  
24 question.

1           A.       Yeah, could you break it down by piece and  
2 I'll answer "no" to what you said.

3           Q.       So you got the PJM 2019 RTEP from PJM,  
4 correct?

5           A.       Yes, got that.

6           Q.       And that's the base for your transmission  
7 modeling, correct?

8           A.       Yes.

9           Q.       And then you removed from that the PPA  
10 units.

11          A.       Yes.

12          Q.       This is for scenario 5.

13          A.       Yes.

14          Q.       Then you removed from it the 111(d) units.

15          A.       Yes.

16          Q.       Then you removed from it generators with  
17 capacity of less than 5 megawatts.

18          A.       No. So I would characterize that  
19 differently.

20          Q.       Okay.

21          A.       We didn't turn them on because they're  
22 going to be modeled in the case but they're not going  
23 to be turned on.

24          Q.       So do they -- if they are not turned on,

1 do they play any role in the modeling?

2 A. My understanding is that they will, for  
3 certain of the analyses PJM will use the FSA units.  
4 Like for a gen delivery and stuff like that they will  
5 use the FSA units. But there's restrictions on how  
6 they will use those and what they will let them --  
7 how they will let them participate and what they  
8 won't let them do.

9 And I don't know all the details of it,  
10 but my understanding in general is they'll allow FSA  
11 units to possibly create problems, they won't let the  
12 FSA units resolve problems. But so that then  
13 forms -- informs them on their study but what they'll  
14 typically do in that situation then is they'll go  
15 back and they'll do, you know, they'll recognize that  
16 but they won't necessarily take any action on it  
17 because it's driven by an FSA unit that doesn't have  
18 a commercial -- that's doesn't have -- not in service  
19 yet. They don't want to necessarily take action on  
20 that.

21 So it's more of an informed study for them  
22 and they continue to look at that and as those units  
23 move forward, PJM tracks them, and once they go into  
24 service, then they're treated as full capacity in

1       their analysis.

2               So it's FSA units are treated a little  
3       differently than regular generation, online  
4       generation.

5           Q.       So if you have -- if you are running a  
6       load flow model based on the 2019 RTEP and you have a  
7       unit that is proposed, does that unit, if it's  
8       included in the RTEP, does the fact -- does that unit  
9       impact the results of your modeling in any way?

10          A.       If the unit is online, it certainly does  
11       impact the results. Meaning if it's modeled with an  
12       output greater than zero.

13          Q.       Okay. And the units that you turned off  
14       in the model, they would have -- in the PJM RTEP  
15       model, they would have initially been turned on at  
16       something higher than zero, correct?

17          A.       Yes.

18          Q.       So by turning them off they no longer have  
19       an impact on the results of the modeling, correct?

20          A.       Oh, yes, they do. It's the change in  
21       state, right? So if they've never been on, then this  
22       has never been an issue. Now you got a unit that was  
23       on, now all of a sudden you turn it off. So you've  
24       changed power flow as a result of that.

1           So the FSA units are modeled at zero, so  
2   if they're modeled at zero and they're never on in  
3   any situation, then their impact is zero, there's no  
4   impact. But if you have one that's on and you turn  
5   it off or if you have one that's off and you turn it  
6   on, you've made a change in the power flows and that  
7   changes your results.

8           Q.       Okay. So that -- and that change in  
9   results could result in identifying additional  
10   transmission upgrades that would be needed?

11          A.       Yes.

12          Q.       And so the generators with capacity of  
13   less than 5 megawatts totaling 200 megawatts total,  
14   that you turn off.

15          A.       We just didn't turn them on.

16          Q.       You just didn't turn them on.

17          A.       They were set to zero in the case and we  
18   didn't use them.

19          Q.       So they were already set to zero. So that  
20   decision, it's your opinion, would have no impact on  
21   the modeling results, correct?

22          A.       Yes. And that's part of the reasons we  
23   didn't turn them off because they're 5 megawatts or  
24   less, they're scattered throughout the model.

1       Wouldn't feel that at the end of the day they had  
2       meaningful impact on the results so we didn't use  
3       them.

4           Q.       Okay. Let's go to the nuclear uprates  
5       totaling 1600 megawatts. Would those in the model  
6       initially that you got from PJM, were they turned on?

7           A.       No.

8           Q.       So those were off and you just left them  
9       off.

10          A.       Yes.

11          Q.       And then the generation that is stalled  
12       for more than three years and have transmission  
13       upgrade costs greater than 25 million, were those  
14       turned on in the model?

15          A.       Some of them had already been on.

16          Q.       Okay.

17          A.       So the other step is that PJM, sometimes  
18       they have to balance load and supply and so if they  
19       don't have enough supply, they go and they start  
20       turning on the ISA units and the FSA units. I don't  
21       recall if, how many if the FSA units actually were  
22       turned on. But I guess I'm just not sure. It is  
23       possible that they might have been turned on but I'm  
24       not sure whether they were turned on or not.

1           Q.       But if any of them were turned on, you  
2       turned those off.

3           A.       No, we left them on.

4           Q.       Okay. So I'm sorry, the generation that  
5       has been stalled for more than three years in  
6       transmission upgrades and cost greater than  
7       25 million.

8           A.       Yeah, those all had to get turned on.

9           Q.       So those you're saying in the PJM RTEP  
10       were off already?

11          A.       Yeah.

12          Q.       All of those were off.

13          A.       All of those were off, we had to turn them  
14       on.

15          Q.       And you just didn't turn them on.

16          A.       We did the ones that met that  
17       requirement -- I'm sorry, that met the requirement,  
18       they were not included. I'm sorry, I got that  
19       backwards. Sorry.

20                 If they were stalled for more than three  
21       years and their costs were more than 25 million, we  
22       did not turn them on.

23          Q.       So we're clear, in the PJM RTEP they were  
24       not turned on.



1           A.       That's correct.

2           Q.       Okay.  So were there any units in the PJM  
3       2019 RTEP outside of the PPA units and the 111(d)  
4       units that were turned on in the 2019 RTEP that you  
5       turned off?

6           A.       No.

7           Q.       Okay.  So you have the units that were  
8       removed, now let's go to the units that were added  
9       in.  If you could go to page 4 of the Transmission  
10      Assessment.

11          A.       Okay.  Yes.

12          Q.       So we now have two-thirds of the way down  
13      the page says "PJM interconnection queue projects in  
14      facility study stage and with signed IAs dispatched  
15      to make up for retired generation."  Do you see that?

16          A.       Yes.

17          Q.       What is a signed IA?

18          A.       Interconnection agreement.  They must have  
19      abbreviated that.  It's ISA or IA.

20          Q.       So they've abbreviated from the  
21      abbreviation.

22          A.       I think so.

23          Q.       And then it says "14,448 megawatts of  
24      capacity projects dispatched"; is that right?

1 A. Yes.

2 Q. And 880 megawatts of energy dispatched?

3 A. Yes.

4 Q. What's the difference between a capacity  
5 project and an energy project?

6 A. Wind. So wind unit would have a name  
7 plate rating of, say, a thousand megawatts but it's  
8 only treated as 130 megawatts capacity, 13 percent of  
9 its name plate I believe is the right answer for PJM.  
10 So those are more than likely wind and solar. I  
11 don't think there was a lot of solar in the queue.

12 Solar I think we use, PJM uses 38 percent  
13 of named plate capacity for solar. So, yeah, they  
14 get modeled in a peak case at their capacity value.

15 Q. And that's the energy projects, right?

16 A. Yeah.

17 Q. So the 880 megawatts, is that the capacity  
18 value or the name plate?

19 A. That's actually dispatched, I don't think  
20 it's the name plate.

21 Q. And so these are units that you took the  
22 PJM RTEP files and you turned on these units?

23 A. Yes.

24 Q. So these are units that were already in

1 the RTEP but turned off?

2 A. Yes.

3 Q. And you turned on units that had either an  
4 FSA or an ISA?

5 A. Yes.

6 Q. And that was only in scenario 5 that you  
7 did that, correct?

8 A. Yes.

9 Q. So scenarios 1 through 4 did you do any of  
10 that?

11 A. Yeah, in the answer we gave to the  
12 Environmental Law they asked us when we did -- when  
13 they looked at the preliminary analysis when they  
14 looked at just the Conesville unit or Conesville  
15 units, or the Cardinal unit, when we modeled those  
16 offline we added in capacity to offset them. And so  
17 those were given in the responses to Environmental  
18 Law.

19 Q. Are you referring there to Sierra Club  
20 Exhibit 3?

21 A. That's correct.

22 Q. And so in your responses to Sierra Club  
23 Exhibit 3 starting with subsection a. at the bottom  
24 of page 2, so you say "The following IPPs were

1       turned" I assume you mean turned on?

2           A.       Yes.

3           Q.       "...to make up for the retirement of  
4       Conesville units in scenario 1."

5           A.       Yeah.

6           Q.       And then you've identified various  
7       interconnection queue project numbers.

8           A.       Yes.

9           Q.       And those correlate with what was added  
10       in?

11          A.       Yes.

12          Q.       Okay. And then that's the same for the  
13       other scenarios?

14          A.       Yes.

15                   (EXHIBIT WAS MARKED FOR IDENTIFICATION.)

16          Q.       I've handed you a document labeled Sierra  
17       Club Exhibit 6, and it's the PJM Generation Queues  
18       Active; is that correct?

19          A.       That's what it says, yes.

20          Q.       And I assume you haven't seen this  
21       specific document but does this --

22          A.       I have not.

23          Q.       Does this appear to be a printout of the  
24       website of PJM interconnection queues?

1           A.       It does have that appearance.

2           Q.       Great. Do you regularly visit that  
3 website?

4           A.       I do not.

5           Q.       You do not, okay.

6                    Do you know in your responses on Sierra  
7 Club Exhibit 3 you have a link; is that right? To  
8 PJM interconnection queue.

9           A.       3.

10          Q.       Starting on page 3.

11          A.       A link to the generation interconnection,  
12 yes.

13          Q.       Do you know, would the printout that I  
14 gave you in Sierra Club Exhibit 6, would that be  
15 what's linked?

16          A.       I believe it is.

17          Q.       Okay. Have you ever visited the PJM  
18 interconnection queue or generation queue website?

19          A.       Maybe one time I've been there. But, no,  
20 I've never gone into the details here like this.

21          Q.       So in terms of identifying in your  
22 responses in Sierra Club Exhibit 3 the project  
23 numbers, did you have any role in that?

24          A.       No, I did not.

1 Q. So those were identified by Mr. Wilcox?

2 A. Yes, and his staff.

3 Q. So did you ever review which PJM  
4 generation interconnection queue projects were added  
5 into any of the scenarios?

6 A. No, I did not review the details.

7 Q. Would you accept that the PJM  
8 interconnection generation queue listing would likely  
9 be accurate on their website?

10 A. I can't speak to its accuracy, but.

11 MR. MILLER: Objection. That calls for  
12 speculation on his part whether it's accurate.

13 A. I mean, it's subject to whatever input  
14 errors are and stuff like that. But it's their  
15 queue, it's what they have.

16 Q. Do you have any reason to question the  
17 veracity of their queue?

18 A. No. No.

19 Q. So if you're looking at Sierra Club  
20 Exhibit 3, and I just want to make sure I'm  
21 connecting these up correctly.

22 A. I understand.

23 Q. If you look at let's say the response to  
24 subpart d., which is at the bottom of page 3, so you

1 say "The following IPPs were turned," once again I  
2 assume you mean "on," correct?

3 A. Copy and paste, it's dangerous.

4 Q. "...to make up for the retirement of  
5 Conesville, Cardinal 1, Stuart, and Zimmer units in  
6 scenario 4," correct?

7 A. Yes.

8 Q. And then there's a long list of projects.

9 A. Yes.

10 Q. And so let's just take the first one,  
11 queue 39.

12 A. Okay.

13 Q. So if you look at Sierra Club Exhibit 6  
14 and you turn to page 21 of 49, that would be there's  
15 a queue 39 there; is that correct?

16 A. Uh-huh.

17 Q. And that says Kewanee 138 kV; is that  
18 right?

19 A. Uh-huh.

20 Q. And it has an in-service date of quarter 4  
21 of 2016.

22 A. Yep.

23 Q. And that's a project in Illinois?

24 A. Yes.

1           Q.       So would that be the project you're  
2       referring to in subsection d of Sierra Club  
3       Exhibit 3?

4           A.       I think that would be -- that's how you  
5       would interpret that, yes.

6           Q.       And do you know how the specific projects  
7       to turn on were decided?

8           A.       For these analysis?

9           Q.       Yes.

10          A.       I don't. I don't know what process -- I  
11       don't recall what process was used because at the end  
12       of the day we were not going to use that to develop  
13       solutions, so I don't know really how they decided  
14       what subset then to use for this, for these analyses.

15          Q.       How about for scenario 5?

16          A.       For scenario 5 it was all the ones we had  
17       listed in that -- we had a separate thing that we  
18       sent out that said here's all the things that we  
19       used.

20          Q.       And do you know how that was selected?  
21       How that list was selected?

22          A.       What we just went through, it was the FSA  
23       list and it's those units that have not been stalled  
24       for three years and not cost greater than 25 million,



1 those were the units that should have been in that  
2 list.

3 Q. So all of those units?

4 A. Yes.

5 Q. As of August of 2014?

6 A. Yes.

7 (EXHIBIT WAS MARKED FOR IDENTIFICATION.)

8 Q. You've been handed Exhibit Sierra Club 7  
9 which is the response to Sierra Club RPD-2-071.

10 A. Uh-huh.

11 Q. Is that correct?

12 A. Uh-huh.

13 Q. And you're identified as the preparer of  
14 this response; is that correct?

15 A. Yes.

16 Q. Have you seen this document before?

17 A. Yes.

18 Q. And then there's an attachment that is a  
19 listing of appears to be 101 entries; is that right?

20 A. Yeah.

21 Q. And there's no identification on this  
22 document of specifically what it is; is that right?

23 A. Meaning there's no what?

24 Q. Like, no title to the document.

1           A.       No, I don't see a title.

2           Q.       Is this the listing of projects that were  
3 added to or turned on in the 2019 RTEP in scenario 5?

4           A.       Let me verify that.

5                    Yes, that's my understanding.

6           Q.       Okay. And have you ever seen this list  
7 before?

8           A.       Yes; when we prepared it to be sent.

9           Q.       So you had some role in preparing this  
10 list?

11          A.       I just reviewed it and asked what it  
12 represented.

13          Q.       And so again, if you turn to the list,  
14 there's a header that says Name and the name is a  
15 letter and some numbers; is that right?

16          A.       Yes.

17          Q.       Are those the PJM interconnection queue  
18 numbers?

19          A.       Yes, that's my understanding, yes.

20          Q.       So those numbers you can match up with the  
21 queue numbers on Sierra Club Exhibit 6; is that  
22 right?

23          A.       Yes.

24          Q.       So if we take, for example, the second

1 listing on the table that's on Sierra Club Exhibit 7,  
2 it says R-011; is that right?

3 A. The second one, yes.

4 Q. And if you go to page 21 of Exhibit 6, the  
5 second-to-last listing is R-11.

6 A. Yes.

7 Q. And those appear to be the same project;  
8 is that right?

9 A. Yes.

10 Q. And do you know the projects listed here  
11 in Sierra Club Exhibit 7, the attachment, would this  
12 be all of the units that have a facility study or  
13 signed interconnection agreement in PJM?

14 A. These should have been the ones that met  
15 that criteria that have not been stalled for more  
16 than three years and less than 25 million in  
17 reinforcements needed for transmission. So that's  
18 the criteria. So if you meet that criteria, we'll  
19 include you. If you don't meet that criteria, we  
20 won't include you.

21 Q. Okay. So to your knowledge there's not  
22 additional proposed units in the queue that would  
23 meet that criteria that were not included; is that  
24 right?

1           A.       So this, I believe these are all FSA units  
2 I believe. So it probably does not -- I'm not sure  
3 if it includes the ISA units or not, that's where I'm  
4 not sure. These might be all FSA units. So I don't  
5 recall now.

6           Q.       Okay.

7           A.       But the ISA, these are the ones that we  
8 would have turned on though.

9           Q.       But there may be other ones that fit the  
10 criteria that you didn't turn on.

11          A.       No, I don't think so. I think these are  
12 the ones that fit that criteria, we turned them on.

13          Q.       So am I correct you were trying to do  
14 one-for-one replacement of the assumed retirement  
15 generation?

16          A.       Yes.

17          Q.       And on page 4 of your Transmission  
18 Assessment, Sierra Club Exhibit 1, you identified  
19 15,850 megawatts retired from the model; is that  
20 right?

21          A.       That's what it says, yes.

22          Q.       And if you look at the attachments to  
23 Sierra Club Exhibit 7, it's at a grand total of  
24 15,328 megawatts?

1           A.       Uh-huh.

2           Q.       So you're about 500 megawatts short of the  
3 replacement one for one, right?

4           A.       Yeah, those two numbers aren't the same.  
5 That's right.

6           Q.       Do you know why it wasn't an exact  
7 one-for-one replacement?

8           A.       I don't. I don't know why those numbers  
9 are different.

10          Q.       Do you know if that would affect the  
11 outcome, the fact that you didn't, potentially didn't  
12 fully replace one for one?

13               MR. MILLER: Affect the outcome of what?

14          Q.       The outcome of the modeling. The modeling  
15 results in terms of what transmission upgrades might  
16 be needed.

17          A.       I don't think it would have a major impact  
18 on the results. But I don't know why they're  
19 different.

20          Q.       Would you need to rerun the model with a  
21 one-for-one replacement to know why the results were  
22 different?

23          A.       I'd have to know why those numbers were  
24 different first. If these were different. I think

1 the results will, in terms of the ultimate we got to  
2 the solutions I think would be fairly consistent with  
3 the results we've already got.

4 Q. Why do you think that?

5 A. Because of the nature of the problems we  
6 had on our system and where the problems were. The  
7 solutions where you lost Conesville, you create a big  
8 hole in your system, you used -- we repurposed the  
9 outlets from that plant and used the HV system to  
10 support it. Same thing with the Stuart and Zimmer  
11 results, Cardinal results.

12 So I'm not thinking it would change the  
13 outcome substantially, so yeah, I don't think I'd  
14 recommend rerunning anything at this point for that  
15 change.

16 Q. Would the location of the new generation  
17 that you've turned on affect the results of your  
18 modeling?

19 A. Yes. Location matters.

20 Q. So looking at page 7 of your Transmission  
21 Assessment, it looks like -- it's not the easiest map  
22 to read, however, am I correct that many of these  
23 projects are in or near Ohio?

24 A. Yes.

1           Q.       And if you were to add more new generation  
2       in Ohio, could that help reduce the transmission  
3       upgrades you would need in the state?

4           A.       It could help or hurt.

5           Q.       How would it hurt?

6           A.       Location matters. If you put it in the  
7       wrong spot, you could actually hurt things.

8           Q.       Okay. But you could also help things,  
9       correct?

10          A.       Yes. It could be either.

11          Q.       And how could it hurt things?

12          A.       Well, if you put it in a situation where  
13       there's already heavily loaded facilities and then  
14       more generation comes to that area, you're just going  
15       to overload those facilities.

16          Q.       You did not do a load deliverability  
17       study; is that correct?

18          A.       That's correct.

19          Q.       So you don't know, or do you know, are  
20       there load deliverability issues in this region of  
21       Ohio where you're proposing to -- where you're  
22       finding that you need to add transmission upgrades?

23          A.       We have not done that analysis.

24          Q.       So if you were to add some more generation

1 to Ohio, you don't know how that would affect load  
2 deliverability.

3 A. I don't.

4 Q. And why did you not do load deliverability  
5 analysis?

6 A. Up until now that has not been an issue  
7 for the AEP zone. We've had -- we haven't had  
8 restrictions on how much capacity we actually use in  
9 our system because we've been long generation. As we  
10 go forward as more generation retires, as our zone  
11 becomes shorter, meaning it's got more load than  
12 generation, then the likelihood of having a load  
13 deliverability analysis done and finding problems  
14 with this increases.

15 So we just historically haven't had that  
16 issue for our zone because we've had ample  
17 generation. So we haven't run that analysis and I  
18 don't know, I'd have to go look at the ultimate  
19 supply/demand balance to figure whether or not you  
20 need to run that analysis. It's a little bit more  
21 involved.

22 Q. And so is that what you would need to do  
23 to determine whether adding additional generation in,  
24 say, the central region of Ohio would create more



1 problems rather than --

2 A. It's just one up. You'd have to do the  
3 full set of analysis we've already done and just  
4 another one you would do on top of that to figure out  
5 what the impacts are.

6 Q. So looking at page 4 of the Transmission  
7 Assessment, you say that you're assuming in the model  
8 that 4761.8 megawatts of generation retires in Ohio,  
9 correct?

10 A. Yes. So that again must have dispatched  
11 the case.

12 Q. And then looking at the attachments to  
13 Sierra Club Exhibit 7, which is the new generation  
14 you put into the model, correct?

15 A. Right.

16 Q. For Ohio you've added in 2124.8 megawatts;  
17 is that right?

18 A. Yes.

19 Q. So if the actual amount of new generation  
20 in the queue that had an FSA or an ISA in Ohio were  
21 higher than 2124.8, do you know whether that would  
22 help reduce transmission impacts you've identified in  
23 Ohio?

24 A. I think it would be location dependent.

1       So it matters where. And so that's the biggest  
2       challenge. Location matters. So until you know what  
3       the location is and what the capabilities are of that  
4       unit, then you can figure out what that impact would  
5       be. So it could help or hurt; again, if you put it  
6       in the wrong spot, you could actually do harm.

7           Q.       And when a proposed project does an  
8       interconnection agreement, does PJM study whether  
9       it's going to help or hurt the system?

10          A.       It does.

11          Q.       So if a plant has an interconnection  
12       agreement, is it safe to say that the PJM has already  
13       determined that either it won't harm the system or if  
14       it will, they've determined other projects need to  
15       occur to address that?

16          A.       Only for the conditions they modeled. So  
17       PJM did not do that for the scenario where the PPA  
18       units are out.

19          Q.       Okay.

20          A.       So they would have to go back and look at  
21       from that perspective. So their model that the PPA  
22       units are on then they don't know what the effect  
23       would be.

24          Q.       And are you aware of the proposed Carroll

1 County natural gas plant?

2 A. I am.

3 Q. And do you know, does that plant now have  
4 an interconnection agreement?

5 A. I don't know what its status is.

6 Q. Do you know if it was added into your --  
7 if you added it into the 2019 RTEP model?

8 A. I don't believe so.

9 Q. You believe you did?

10 A. I don't think we added it in.

11 Q. Do you know what the impact would be if  
12 you had added that in?

13 A. No, I don't, because I haven't assessed it  
14 so I couldn't speak to that.

15 Q. Okay. Is it your understanding that you,  
16 if it -- assuming it -- let's just assume it does  
17 have an interconnection agreement, would PJM include  
18 it in its next RTEP?

19 A. Yes.

20 Q. And it would include it as a unit that's  
21 turned on?

22 A. If it has an ISA, I believe so.

23 Q. And are you aware of the Oregon, proposed  
24 Oregon Clean Energy Center?

1 A. Yes.

2 Q. And to your knowledge was that included in  
3 your modeling?

4 A. No, it was not.

5 Q. And do you know how that, if you did  
6 include that, would that impact your results?

7 A. Same answer I gave you before.

8 Q. Okay.

9 A. It could hurt or it could help.

10 Q. Okay.

11 A. I think that one's further removed from  
12 our system, if I recall. So it has less of an impact  
13 but still have an impact one way or another.

14 Q. And you simply don't know unless you  
15 actually did the model.

16 A. That's right.

17 Q. And is that, are you aware of the  
18 Middletown proposed natural gas plant?

19 A. I am.

20 Q. Is that the same?

21 A. Same type of discussion, yes.

22 Q. So you wouldn't know how it would impact  
23 the analysis until you did it.

24 A. That's right.

1 Q. And one more, Lordstown?

2 A. Yes.

3 Q. You're aware of that?

4 A. I am.

5 Q. And once again, you wouldn't know how that  
6 would impact your analysis unless you actually did  
7 it.

8 A. That's correct.

9 Q. And just to make sure, neither Lordstown  
10 nor Middletown were included in your models?

11 A. That's correct.

12 Q. And then you -- so on page 8 of your  
13 Transmission Assessment for the various AEP upgrades  
14 that you've identified there you've identified  
15 planning costs; is that right?

16 A. That's correct.

17 Q. How did you determine those planning  
18 costs?

19 A. We use kind of per-unit costs when we do  
20 these planning assessments. So we have kind of here  
21 is what a typical number would look like to do  
22 certain things.

23 Q. And what's the source of the per-unit  
24 costs?

1           A.       Just our historical experience with  
2       billing transmission.

3           Q.       So your own internal numbers?

4           A.       Yes.

5           Q.       So you didn't use numbers that, for  
6       example, have been filed with FERC.

7           A.       Well, they're based on actual projects,  
8       so. Project costs would eventually have been filed  
9       with FERC but it's the list of costs by themselves  
10      that's ever been filed with FERC.

11          Q.       And have your cost assumptions been  
12      produced in discovery in this proceeding to your  
13      knowledge?

14          A.       I don't recall if we did or not.

15          Q.       So let's just take, say, the new project  
16      A, the new 345/138 kV in near Philo. \$15 million  
17      planning costs.

18          A.       Yes.

19          Q.       So I guess walk me through how you would  
20      do that math.

21          A.       Yeah. So we would have for a new  
22      345/138 kV station we would have a planning estimate  
23      that's \$50 million as shown here. Planning estimate  
24      involves the transformer and whether or not you're

1 going to spare the transformer, in this case for  
2 345/138 we could not include a spare. The actual  
3 configuration of the station, the layout of the  
4 station, the breaker configuration, the land cost,  
5 what it would take to bring the transmission line  
6 work associated with bringing transmission lines into  
7 the station.

8 It would involve the control house,  
9 communication facilities, protection facilities,  
10 anything that is involved with development of that  
11 new station. So that's how we kind of come up with  
12 these per-unit, if you will, costs for these types of  
13 things.

14 Q. So project A is a new substation?

15 A. Yeah, essentially going to be a new  
16 substation.

17 Q. And project B, is that a line,  
18 transmission line?

19 A. No, that's a substation.

20 Q. Oh, that's also a substation. How about  
21 project C?

22 A. Project C involved a variety of things, as  
23 indicated. So there's some lines, 138 kV lines, we  
24 looked at reconductor. There's things called sag

1 studies. Basically what we do with sag studies, we  
2 assess the rating of the line.

3 The rating on the line we have may be  
4 below what we would think from what the actual  
5 thermal capability of the equipment would be so we go  
6 out and look to see if there's anything underneath  
7 the line that's preventing this thing from going to  
8 its maximum operating temperature. So we make sure  
9 there's nothing underneath it.

10 If there is, sometimes you have to do  
11 regrading, knock down a hill, or someone built a  
12 house underneath it by accident or something like  
13 that, those types of things.

14 And then terminal equipment is just that,  
15 equipment you use to connect facilities in the  
16 stations, stuff like that.

17 So we had a variety of those that we had  
18 to upgrade or replace or look at. Sag study is an  
19 initial study and if you find a problem, you have to  
20 fix the problem. So those involved -- that was  
21 involved in item C.

22 And again, there's standard things for  
23 reconductoring and for 138 I think it's a million  
24 dollars a mile. For sag studies we would have used



1 an estimate of how much it cost per mile, I'm not  
2 sure. It's not a big number, it's \$5,000 or  
3 something like that. Terminal equipment I think what  
4 it is, could be \$2 million to address terminal  
5 equipment issues. So it's those types of numbers  
6 that we would look at based on what needs to get  
7 done.

8 Q. So you haven't done those sag studies,  
9 correct?

10 A. No, the sag studies have not been done.

11 Q. And how did you decide on reconductoring  
12 rather than replacing the line?

13 A. Reconductor is your go-to because it's the  
14 lowest cost. So we would look to do that first if we  
15 can. Reconductoring means putting a bigger conductor  
16 so you have to look to make sure the foundation's  
17 okay, the towers can handle it, the insulation is  
18 good. Lot of analysis to do if you decide whether to  
19 reconduct the works or if you have to actually  
20 rebuild it.

21 Q. And do transmission lines after a certain  
22 age need to be reconducted just in general?

23 A. Yeah. I mean, eventually lines get old  
24 enough that the materials begin to wear out, yeah.

1 You look to assess that and decide whether or not you  
2 want to reconductor or not or rebuild. Towers fail,  
3 foundations get deteriorated, stuff like that.

4 Q. Do you know with any of the upgrades that  
5 you've identified here on page 8 were any of those  
6 lines that may need to be reconductored or rebuilt  
7 anyway?

8 A. I don't think we did any of that  
9 assessment.

10 Q. So you simply don't know if these are  
11 lines that three years from now you'll have to  
12 replace them anyway.

13 A. Right.

14 Q. Do you know the age of any of these lines?

15 A. I don't.

16 Q. Is there, like, an expected life for a  
17 line, 138 kV line, every 30 years you have to replace  
18 it?

19 A. No, there's no expected life. Depending  
20 on what type of standards it was built to to begin  
21 with, and number two, what type of basically  
22 operating experience it's had. If it's -- just  
23 depends. So there's no real, you know, 50 years,  
24 boom, you're gone type stuff.

1           We have lines that are up to 80 to 90  
2       years olds on our system. So it depends in terms of  
3       what materials it was made of, what standards it was  
4       built to, and what type of experiences it's had  
5       during its life.

6           Q.       Is there an expected life for purposes of  
7       depreciating cost of it?

8           A.       There is a depreciation schedule and I  
9       don't recall what that is off the top of my head.

10          Q.       Are you involved in kind of figuring out  
11       how you're going to depreciate transmission  
12       investment?

13          A.       No.

14          Q.       Who does that?

15          A.       Accounting group does that.

16          Q.       So project D or upgrade D, Clifty Creek,  
17       is that a reconductoring?

18          A.       I believe that is a reconductor.

19          Q.       And then project E, what is that?

20          A.       So that is dynamic, SVC means static var  
21       compensator, 250 MVar is mega var. It's the unit of,  
22       well, the units associated with reactive power.  
23       Million voltage reactive. So that's just dynamic  
24       support we need in Columbus because we're losing the

1 dynamic support from Conesville, reactive power  
2 support that helps prop up voltages. So we're  
3 looking for dynamic source.

4 Q. So what is that?

5 A. It provides reactive power. It's very  
6 much necessary to maintain voltages, both magnitude  
7 of voltage and quite frankly, stability in the area.

8 Q. I guess I mean physically what is it?

9 A. It would fit in a station, it's a device.  
10 It's a combination of capacitors and reactors all  
11 tied together through some power electronics. But it  
12 sits within a station.

13 Q. And then project F is the Axton-Joshua  
14 Falls/Clover 765 kV.

15 A. Yes, so it's a line that would run from  
16 Axton to Joshua Falls.

17 Q. And that's a new line?

18 A. Yes.

19 Q. And then the next one down G, is that also  
20 a new line?

21 A. It's both a line and a station. So the  
22 Adkins 765/345 kV is a station, and Don Marquis to  
23 Adkins is a new line that would run from our 765  
24 station over to that new Adkins station.

1 Q. And Beaver Creek, that's project H.

2 A. Yeah, it's a new 765/138 kV station.

3 Q. So no lines involved in that one.

4 A. No.

5 Q. And then capacitor banks in Eastern Ohio.

6 A. Yeah, so there's again, because we're  
7 losing the reactive support of the plants, there's a  
8 need to again support the voltages, so capacitors in  
9 this case they're static devices, meaning you don't  
10 have dynamic control of them, you can't change the  
11 output of the device, it's either on or it's off. So  
12 we've proposed those in several locations, so those  
13 sit within the station.

14 Q. And then Stuart 765/345 kV.

15 A. Yeah, new station.

16 Q. Okay.

17 A. Keep in mind, with all these new stations  
18 there is line work because you do have to move, pull  
19 the lines into the station. So there's, like I said  
20 when I gave you that cost estimate number, includes  
21 line work with those.

22 Q. And so for the planning costs for all of  
23 these would you agree they're just kind of rough  
24 estimates?

1           A.       Yeah, planning estimates, yes.

2           Q.       So there's no like --

3           A.       There's been no detailed engineering with  
4 this. They are based on our experience of building  
5 transmission.

6           Q.       And so once you do the -- if you were to  
7 do the detailed engineering cost, could be higher or  
8 lower --

9           A.       Yes.

10          Q.       -- than your planning costs?

11          A.       Yes.

12          Q.       And how, for the 765 kV lines how did you  
13 decide that's needed as opposed to other smaller  
14 lines?

15          A.       That was geared to fit the problem that we  
16 were seeing on our system. So the solutions here  
17 proposed are really geared based on the magnitude of  
18 the problem you're seeing and the magnitude of the  
19 problem we're seeing was fairly substantial.

20                 There was significant voltage issues, low  
21 voltage, voltage collapse issues, overloaded line.  
22 There's some nonconvergence problems. The case  
23 wasn't solved because the problem was so bad. And so  
24 the 765 kV line, Axton-Joshua Falls/Clover line was

1 proposed to address a lot of those issues. So it's a  
2 big problem so it required a fairly good size  
3 solution.

4 The other one, the other 765 kV line is  
5 because we lose Conesville and the power from  
6 Conesville comes from north of Columbus, northeast of  
7 Columbus, and when you lose that power, the remaining  
8 power to feed Columbus and Central Ohio area comes  
9 now from the south. And so that whole southern path  
10 that leads into the Greater Columbus area picks up a  
11 lot of that flow.

12 So what we've done is we've proved our  
13 ability to move that power from the south into the  
14 Columbus area with the line and then the station is  
15 where we terminate that line to bring it down into  
16 the 345 and then eventually down into the 138.

17 Q. And if you were to, instead of retiring  
18 one of the PPA units if you were to instead replace  
19 it with, say, a natural gas combined cycle unit,  
20 would that address the reliability impacts from  
21 retirement?

22 A. Yes. Well, let me qualify that. If you  
23 replace it with similar sized.

24 Q. Similar sized.

1           A.       Again, if we go for the megawatt for  
2 megawatt, then yeah, they would resolve the  
3 reliability issues.

4           Q.       And how about if you were to repower one  
5 of the coal boilers with gas, would that also address  
6 the reliability issues?

7           A.       Yes, again, if it's the same size, same  
8 capabilities, exactly.

9           Q.       And with regards to Conesville you haven't  
10 done any analysis of the reliability impacts of  
11 retiring, say, only Conesville Unit 4, correct?

12          A.       That's correct.

13          Q.       Or any subset of Conesville units.

14          A.       That's correct.

15          Q.       The 2019 PJM RTEP case uses the PJM's 2014  
16 load forecast; is that right?

17          A.       Yes. So it would have been what we call,  
18 yeah, 2014 series, meaning it was built in 2014. So,  
19 yeah, it would have been that load forecast.

20          Q.       And would you agree that load plays a role  
21 in what transmission impacts might occur from a  
22 retirement?

23          A.       Yes.

24          Q.       So if you have higher load, you might have



1 greater impacts?

2 A. Yeah, I think that's fair to say.

3 Q. And if you have lower loads, you may have  
4 lower impacts?

5 A. Yes. And but we got to be careful there.  
6 End of the light load issue, right, because you do  
7 have to look at that too and that becomes an issue  
8 with wind. If you had a lot of wind to your system,  
9 the wind tends to blow during low load periods so the  
10 issue there would be what also is happening with the  
11 wind from a lower load perspective type situation.  
12 But to your point, load does matter.

13 Q. So light load, I believe you ran into  
14 sensitivity in a light load scenario?

15 A. Yes, we did.

16 Q. And that was based on a 2017?

17 A. Yeah, it was the only one that was  
18 available.

19 Q. So that means you used RTEP for 2017?

20 A. Yeah, it was an RTEP.

21 Q. And in that case you assumed retirement of  
22 the PPA units in 2017?

23 A. Yeah.

24 Q. And are the results of that analysis

1 identified anywhere?

2 A. Well, the results didn't drive any new  
3 requirements. So all we did with that was we ran  
4 that as a sensitivity to look at whether or not the  
5 issue we added here we added in close to  
6 7,000 megawatts I think of wind, somewhere in that  
7 neighborhood, to get the 880 megawatts of capacity.

8 Q. Right.

9 A. Required a lot of wind. There was a lot  
10 of wind in the queue. Name plate. And so when you  
11 do light load modeling, you model that wind at a much  
12 higher output, take it anywhere from 40 to 80 percent  
13 of it's name plate. So we did that analysis to see  
14 if there was any problems. We didn't see any  
15 problems so we didn't think too much about it any  
16 further.

17 Q. Okay. So your light load analysis you  
18 assumed all the PPA units retired, correct?

19 A. Yeah. We just made the same general set  
20 of assumptions and just ran in sensitivity just to  
21 test the wind assumptions under a light load  
22 condition just to see if we saw anything. But then  
23 again, sensitivity analysis, it didn't produce any  
24 additional need for reinforcements.

1           Q.       And when you say no additional need, are  
2           you saying nothing beyond the 1.6 billion or just  
3           nothing at all?

4           A.       No, nothing beyond 1.6 billion.

5           Q.       Did it produce less than the 1.6 billion?

6           A.       No, I don't believe so. I mean, we would  
7           put all the retirements in there and everything like  
8           that too.

9           Q.       So you're saying so the exact same  
10          transmission upgrades were identified?

11          A.       At that point we were looking to see if  
12          there were any new types of problems and we didn't  
13          see any new problems relative to what we saw in the  
14          peak load case.

15          Q.       But are you certain that all of the same  
16          problems were identified in that light load case?

17          A.       No. It was a light load case, not peak  
18          load, so it won't show the same types of problems  
19          because the generators are all modeled very  
20          differently, the load's all much lower, so you'll see  
21          a whole different set of results. We were just  
22          looking to see if there was a new set of problems  
23          that showed up that wouldn't be covered.

24          Q.       So the light load case didn't identify the

1 need for the same upgrades that you've identified in  
2 Sierra Club Exhibit 1?

3 A. It wouldn't -- we would not expect that;  
4 it's not a peak load case, it's a light load case.

5 Q. That's why it didn't; is that right?

6 A. Yes.

7 Q. Do you know what level in terms of costs  
8 of upgrade it did identify would be needed?

9 A. No. We just looked at the impacts. We  
10 just looked to see if there were any new impacts and  
11 that's where we stopped.

12 Q. And the light load case, when you say  
13 "light load," are you assuming a lower total load?

14 A. Yes.

15 Q. And that's just based on you're not using  
16 peak anymore?

17 A. Using 50 percent of peak.

18 Q. Okay. So leaving aside the light load  
19 case, if you were to use a different -- if you were  
20 to have lower peak demand forecast in your 2019 RTEP  
21 scenario, you would end up with lower transmission  
22 upgrade -- transmission impacts?

23 A. I think that's generally true. I won't  
24 say it's a hundred percent true but I think it's

1 generally true.

2 Q. Okay.

3 A. Again, it depends because if the load  
4 drops in a way that creates flow patterns on your  
5 system that are different and those flow patterns  
6 result in reliability problems and that can happen.  
7 Depends on the flow in generation.

8 So it matters how you get that load, what  
9 resources you use to meet that load. I think your  
10 statement's true.

11 Q. And in your modeling you simply used, am I  
12 correct, the PJM forecast that was used in the 2014  
13 RTEP?

14 A. That's correct.

15 Q. So you didn't modify that in any way?

16 A. No.

17 Q. Are you aware that PJM in January 2015  
18 came out with a new load forecast?

19 A. Yes. Every year they do a load forecast.

20 Q. And to your knowledge is that -- is their  
21 new forecast lower than the --

22 A. I don't know that.

23 Q. You completed your modeling in August  
24 2014, correct?

1           A.       Yes.

2           Q.       And you didn't make any changes or updates  
3 to it before you submitted your May 2015 testimony?

4           A.       That's correct.

5           Q.       And did you evaluate whether in submitting  
6 your May 2015 testimony you should run the model with  
7 a new load forecast?

8           A.       No.

9           Q.       And why not?

10          A.       We didn't see any major transmission  
11 upgrade changes moving at that time so I think that  
12 was the kind of the deciding factor. There wasn't  
13 really any major changes in the network configuration  
14 so we felt it was, the results were going to be  
15 reasonably accurate.

16          Q.       But in making that determination you  
17 didn't evaluate whether PJM had come up with any  
18 lower load forecasts; is that right?

19          A.       That's correct.

20          Q.       And did you evaluate before submitting  
21 your May 2015 testimony whether additional proposed  
22 units in the PJM queue had obtained ISAs?

23          A.       No.

24          Q.       Can we take a five-minute break.

1 (Discussion off the record.)

2 (Lunch recess taken from 12:00 noon to  
3 1:00 p.m.)

4 --|--

5 Friday Afternoon Session,  
6 September 25, 2015.

7 --|--

8 EXAMINATION (continued)

9 BY MR. FISK:

10 Q. Back on.

11 Okay, we can go ahead and mark this as  
12 Sierra Club 8.

13 (EXHIBIT WAS MARKED FOR IDENTIFICATION.)

14 Q. Mr. Bradish, you've been handed Sierra  
15 Club Exhibit 8 which is the company's response to  
16 ELPC, INT-2-029; is that correct?

17 A. Yes.

18 Q. And you were the sponsor on this response?

19 A. Yes.

20 Q. And did you draft this?

21 A. Under my direction, yes.

22 Q. The request is "Identify transmission  
23 upgrades currently planned or scheduled for the  
24 transmission facilities included in response to ELPC

1 set 2-INT-28."

2 And then you have a response regarding a  
3 PJM recommended approval of a 450 MVar static var  
4 compensator.

5 A. Yes.

6 Q. So if you can also turn to page 7 of  
7 your -- of Sierra Club Exhibit 1, the Transmission  
8 Assessment.

9 A. Uh-huh.

10 Q. And I realize this is probably hard to do  
11 without -- on the record, but I'm trying to get a  
12 sense of generally is this project identified in  
13 Sierra Club Exhibit 8, would that be on the map  
14 that's on page 7?

15 A. Yes, it is.

16 Q. And where approximately would that be?

17 A. I believe it's here.

18 Q. Okay. And if you could just maybe  
19 describe that.

20 A. So that's the Jacksons Ferry 765 kV  
21 station. It's just a little bit -- it's in, I don't  
22 know what would be, what county that is. It's  
23 Virginia.

24 MR. MILLER: Use the letters perhaps.



1 Q. Just south of C?

2 A. Yeah, just south of letter C that's next  
3 to the F on the bottom of that diagram.

4 Q. And where it says "Jacksons Ferry"?

5 A. Where it says "Jacksons Ferry," correct.

6 Q. Okay. So your understanding is that there  
7 is a recommended approval before PJM for this project  
8 to move forward?

9 A. Yes.

10 Q. And do you believe that if that project  
11 were to move forward, would it affect whether upgrade  
12 C and/or F that you've identified would still be  
13 needed?

14 A. Yeah. It will have influence on the scope  
15 of the work required to remediate the issues in this  
16 area. So because C is several locations, it would  
17 affect this area primarily, so it's going to affect C  
18 but it's going to affect the C that's down here in  
19 Virginia, not necessarily the Cs that are up here.

20 Q. When you're saying "this area," you were  
21 drawing a circle around C and F?

22 A. The Jacksons Ferry area, yes, C and F,  
23 Jacksons Ferry, yes.

24 Q. So those upgrades potentially might not be

1 needed or could be smaller?

2 A. Yeah, I think it will influence the scope  
3 of the work required in that area. We haven't done  
4 any type of analysis, this just came out by PJM, so,  
5 but it will influence the scope of the work required  
6 for that area.

7 Q. And that is a project that would be  
8 occurring in the AEP territory?

9 A. Yes. Yes, it is.

10 Q. And so AEP would be the one that would  
11 have to carry that out?

12 A. Yes.

13 Q. And do you know what the status of that is  
14 if PJM recently recommended approval?

15 A. Yeah, so my understanding is it's an  
16 official process PJM has to go through to make a  
17 recommendation, look to see if there's any feedback  
18 on that, and absent any feedback that changes their  
19 mind and if they're still doing any studies, then --  
20 I'm not aware if they are or not doing any studies --  
21 they'll eventually take to the board.

22 Once the board approves it, then it's good  
23 and we start taking action. So we still have to wait  
24 for the board approval. It just falls under the

1 category of planned.

2 Q. I know we talked a little bit earlier  
3 about when proposed generating units might be  
4 included in PJM's RTEP. Do you know when proposed  
5 transmission projects might be included?

6 A. I believe once they're approved by the  
7 board they'll put them in.

8 Q. And to your knowledge if it's before that  
9 in the process, they wouldn't be included?

10 A. No.

11 Q. Do you know -- so the 2019 RTEP that you  
12 used, the determination of what transmission projects  
13 to include in that scenario would have been based on  
14 FERC approval as of kind of mid-2014; is that right?

15 A. Yeah. I don't recall when the model's  
16 finalized but it's finalized somewhere in the first  
17 half of '14.

18 Q. And did you do anything to determine  
19 whether any additional transmission projects had been  
20 approved by the PJM board between closure of the list  
21 that's included in the 2019 RTEP and when you  
22 submitted your testimony in May of 2015?

23 A. Yeah, so the RTEP analysis was done during  
24 the rest of '14 and there weren't any significant

1 transmission developments that occurred during that  
2 RTEP that we thought would influence the results  
3 here. So that was part of the reason I gave earlier  
4 we didn't go forward and update the analysis.

5 Q. So that you're talking about there was no  
6 major developments during the 2019 RTEP process?

7 A. Yeah, so that would have run in 2014.  
8 It's looking forward five years.

9 Q. Right.

10 A. So it would have run in 2014 and so the  
11 results of that would have been towards the end of  
12 2014 that you would have started seeing the results  
13 and knowing what's going on. And we didn't see  
14 anything that came out of that analysis that would,  
15 we thought would strongly influence the results here.  
16 This analysis is now the next series of RTEP, so this  
17 is the 2015 process.

18 Q. Right. So but your analysis in this  
19 proceeding was completed in August 2014, correct?

20 A. Yes.

21 Q. So the 2019 RTEP must have been completed  
22 before then, correct?

23 A. The case is put together and then they  
24 immediately start running the analysis and we start

1     seeing what problems are there and what, based on  
2     those problems you got an idea of what the solutions  
3     are going to be, something like that.

4             So it's a -- then so it finishes up and  
5     then the question is do you rerun the analysis for  
6     the May '15 submittal, and we didn't see anything in  
7     that process that would lead us to believe we needed  
8     to redo the analysis at the time.

9             Q.     Is whether the board of PJM has approved a  
10    transmission project public information?

11            A.     Yeah. Once the board approves it, they  
12    announce it publicly.

13            Q.     And did you verify whether the PJM board  
14    had approved any transmission projects after  
15    August 2014 that weren't included in the 2019 RTEP?

16            A.     I don't know that we actually looked to  
17    the board approvals or not. I mean, we can look and  
18    see what the process is and what the problems are  
19    they're solving and kind of know what the scope of  
20    the solution is going to be and know whether or not  
21    there's going to be anything. Ultimately they get  
22    sent to the board for approval.

23            Q.     You you didn't check the board approvals  
24    themselves, correct?

1           A.       I personally didn't. I don't know if my  
2 staff did or not.

3           Q.       You didn't ask them to do it.

4           A.       I didn't.

5           Q.       And so there's no transmission project  
6 approved after August 2014 that you added to the RTEP  
7 model that you used, correct?

8           A.       That's correct.

9           Q.       And I believe you said the 2015 RTEP  
10 process is now underway?

11          A.       Yes.

12          Q.       And do you have any involvement in that  
13 process?

14          A.       My staff does certainly.

15          Q.       And what sort of involvement?

16          A.       Well, it's the same general process. PJM  
17 does the analysis, they share the results, my team  
18 then looks to develop exclusions to resolve the  
19 problems. And so we're going through that process  
20 now.

21                 This is one of the first things that  
22 recently came out in the most recent Transmission  
23 Expansion Advisory Committee, TEAC, from PJM where  
24 they announced that they were going to move forward

1 and recommend this SVC.

2 Q. So AEP has received from PJM the 2015 RTEP  
3 that you're now going through; is that right?

4 A. Yeah. They provide -- publicly they're in  
5 a meeting when they present their results publicly.  
6 And that's where this got presented.

7 Q. Do they also give you, like, modeling  
8 files that you are then able to go through and figure  
9 out what solutions might need to be identified?

10 A. I think in this one there was probably, I  
11 don't know the details on this one because it's also  
12 part of a winter analysis they're doing too and I'm  
13 not sure, I assume there was some interaction to my  
14 staff saying here's the problem we're seeing, here's  
15 what we think the recommendation would be to fix  
16 that.

17 So I think the same type of general  
18 process and my team would send solutions to them and  
19 see if not -- PJM agreed with those solutions or not.

20 Q. But your staff would send solutions to PJM  
21 after PJM had provided modeling finals to your staff?

22 A. Yes. PJM does the analysis themselves and  
23 sends us the results. So they tell us hey, here's  
24 the problems we're seeing on your system and then

1 we've got the cases that they use so we've got access  
2 to those. Which, by the way, we have to sign  
3 nondisclosure agreements to get access to them.

4 Q. Sure.

5 A. So we get all the cases and the results  
6 and then my team goes in and finds solutions to those  
7 problems.

8 Q. And when you say "cases," is that  
9 essentially the 2015 RTEP?

10 A. Yes, it's the RTEP case.

11 Q. So it's the 2015 version of the 2014 that  
12 you used in your analysis.

13 A. Yes, that's correct.

14 Q. So you have that at this point, the 2015.

15 A. Yes.

16 Q. And then you're able to use that to then  
17 run your system and determine what kinds of solutions  
18 might be needed.

19 A. That's right.

20 Q. And have you, has AEP proposed any  
21 solutions to PJM at this point?

22 A. I'm sure we helped with that one. I'm not  
23 aware of anything else of substance out there that's  
24 showing up at this point in time. But I haven't



1 really discussed the 2015 RTEP process in detail with  
2 my team yet.

3 Q. Do you know what the schedule is on the  
4 2015 RTEP process moving forward?

5 A. I don't. They've got some windows that  
6 they've got open and they're running through that  
7 process. So their evaluation is ongoing at this  
8 point in time. This is the first one decided they  
9 thought they were going to recommend something. But  
10 there's ongoing evaluations.

11 Q. Do you know if PJM is using a new load  
12 forecast in running it's 2015 RTEP as compared to  
13 what they use in the 2015?

14 A. Yes.

15 Q. That would be the new 2015 PJM load  
16 forecast?

17 A. That's right.

18 Q. I believe that came out in January of  
19 2015?

20 A. Yeah, sometime earlier this year would  
21 have been when the cases all came together. So there  
22 is a process that PJM runs to collect all the inputs  
23 to develop their cases, so the RTEP model would have  
24 been finalized sometime the beginning of first

1 quarter, first half of this year.

2 Q. And the modeling that you've done in this  
3 proceeding, have you discussed that with PJM at all?

4 A. No.

5 Q. Has anybody on your staff discussed that  
6 with PJM?

7 A. No.

8 Q. And you've never asked PJM to do any sort  
9 of analysis of what transmission impacts might occur  
10 if any of the PPA units were to retire; is that  
11 right?

12 A. That's correct.

13 Q. If you turn to page 4 of your testimony.  
14 There's a reference right up at the top of the page,  
15 lines 1 and 2, talking about the polar vortex. See  
16 that?

17 A. Yes.

18 Q. I guess it starts actually on the bottom  
19 of page 3. You have a reference to "...coal-fired  
20 PPA units can store a substantial amount of fuel on  
21 site, which helps maintain transmission grid  
22 reliability during adverse weather conditions..., "  
23 you see that?

24 A. Yes.

1           Q.       And the example you gave was the polar  
2       vortex in January 2014 and similar frigid  
3       temperatures that occurred in early 2015?

4           A.       Uh-huh.

5           Q.       Do you have any knowledge about the  
6       performance of the PPA units during the polar vortex  
7       of January 2014?

8           A.       No, I'm not sure what they did.

9           Q.       So you're not offering any testimony  
10      regarding that?

11          A.       No.

12          Q.       And when you say "the polar vortex," are  
13      you talking about specific dates in January? Or the  
14      whole month?

15          A.       Well, I think there's probably certain  
16      dates in there that, wherein that term became popular  
17      that were very, very cold. I'm trying to recall off  
18      the top of my head what those were. I don't recall  
19      off the top of my head. I think they were in early  
20      January.

21          Q.       And have you heard the frigid temperatures  
22      in early 2015 I think are called the Siberian express  
23      now?

24          A.       Were they? I'm not sure I was aware of

1       that.

2           Q.       Fair enough. And do you have any  
3       knowledge about the PPA units' performance during the  
4       frigid temperatures that occurred in early 2015?

5           A.       No, I don't.

6           Q.       So you're not offering any testimony about  
7       that?

8           A.       No.

9           Q.       Have you evaluated the performance of  
10      coal-fired generating units in general during the  
11      polar vortex?

12          A.       No, I have not.

13          Q.       And same with regards to the January or  
14      the early 2015?

15          A.       That's correct.

16          Q.       And on lines 20 to 23 on page 4 you have a  
17      sentence that says While the transmission upgrades  
18      would mitigate identified NERC reliability standard  
19      violations, they would not cover all potential  
20      scenarios where the plants may be required to  
21      maintain system reliability.

22          A.       Yes.

23          Q.       What situations are you, or scenarios are  
24      you referring to that wouldn't be covered by the NERC

1 reliability standards.

2 A. I think the concern there was we hadn't  
3 run the stability analysis yet. That's probably the  
4 primary driver of that. And the other fact I think  
5 it also went with the remainder of the answer in this  
6 section where we talk about nondispatchable type  
7 plants. When you get yourself into a critical  
8 situation, you need all the flexibility you can get  
9 in terms of dispatch plants.

10 So these plants have the ability to  
11 redispatch whereas other resources may not be so  
12 flexible in terms of their redispatch, especially  
13 renewable resources. So simply having the upgrades  
14 in place doesn't mean that at the end of the day you  
15 won't run into problems. Once you get situations on  
16 your grid work, you need to be able to redispatch  
17 around them, and if you don't have the resources to  
18 redispatch around them, you get yourself in trouble.

19 Q. And redispatching issues are not covered  
20 by the NERC reliability standards?

21 A. No, they're not. They won't cover all  
22 those situations. So it's just the fact of the  
23 matter in real life there's plants trip on and off,  
24 circuits trip on and off and so if -- you need the

1 flexibility to deal with that. So just a statement  
2 about the flexibility of the plants and what they can  
3 bring to the table.

4 Q. And is it also your opinion that PJM  
5 reliability standards don't address or don't cover  
6 redispatching issues?

7 A. Not all.

8 Q. Are there some that they do cover?

9 A. Well, so I think the point being here is  
10 that you can still, even though you plan to meet our  
11 reliability standards you can still get yourself in a  
12 situation where you have problems. And the issue  
13 here is that you need generation that's flexible  
14 enough to move to address those problems.

15 Q. And by "flexible," what do you mean?

16 A. Able to move up and down on command.

17 Q. And quickly?

18 A. Yes.

19 Q. Do you believe that a natural gas combined  
20 cycle plant can move up and down?

21 A. Yes.

22 Q. And quickly?

23 A. Yes.

24 Q. So wouldn't natural gas combined cycle

1 units provide redispatch?

2 A. Absolutely.

3 Q. And would they address the redispatch  
4 issues just as well as the coal unit?

5 A. Yes.

6 Q. And how about a natural gas combustion  
7 turbine?

8 A. Absolutely.

9 Q. Just as well as coal?

10 A. Just as well.

11 Q. So your concern here is for things like  
12 wind and solar?

13 A. Yes. So I mean, as I said, as more  
14 renewable resources were added, so that is the issue.  
15 It's wind and solar issues that you want dispatchable  
16 plants available to be able to address those issues.

17 Q. And do you, in your opinion does demand  
18 response play any role in helping to address those  
19 kinds of issues?

20 A. I think demand does have a, can play some  
21 role there. If you're able to cut demand in a  
22 significant way to influence results, yeah, they can  
23 play a role there.

24 Q. And did you factor demand response into

1 your evaluation in any way?

2 A. Demand response is reflected in these  
3 models through their load forecast I believe. It's  
4 not modeled exclusively in RTEP that I'm aware of.

5 Q. So the only demand response that may have  
6 been considered was through the load forecast in the  
7 RTEP model?

8 A. Yeah, they would reduce the load forecast.

9 Q. Do you know if demand response played a  
10 role in helping to address the issues confronted  
11 during the polar vortex?

12 A. My understanding is PJM did use demand  
13 response to help. I just don't know how much.

14 Q. But it provided some help.

15 A. I believe. That's PJM's statement. I  
16 don't have personal knowledge of that. I believe  
17 that's what I read from PJM.

18 Q. And does energy efficiency help address  
19 the system stability issues that you're discussing on  
20 page 4, lines 21 to 23?

21 A. No, energy efficiency again is going to be  
22 reflected on the transmission system in terms of just  
23 to reduce load. So the load forecast would have been  
24 reduced by the amount of the energy efficiency that



1 they would have projected to have been put in during  
2 that load forecast period.

3 So just all they do is, again, reduce the  
4 load forecast with energy efficiency.

5 Q. And you didn't assume any energy  
6 efficiency beyond what was that load forecast,  
7 correct?

8 A. That's correct.

9 Q. And with regards to the retirement,  
10 potential retirement of PPA units, did you evaluate  
11 whether any of those units could be converted to  
12 synchronous condensers?

13 A. I did not.

14 Q. Do you have any opinion as to whether  
15 synchronous condensers could address some of the  
16 reliability impacts?

17 A. Synchronous condensers could provide  
18 reactive power support so they can be helpful for  
19 that.

20 Q. And reactive power support would help  
21 address some of the transmission impacts you've  
22 identified in your analysis; is that correct?

23 A. That's correct. The synchronous  
24 condensers would be very similar to PSPC in terms of

1 providing reactor support.

2 Q. Are you aware that, for example, I believe  
3 FirstEnergy is converting Eastlake to synchronous  
4 condensers?

5 A. I am.

6 Q. So a similar effort could be done say with  
7 Conesville?

8 A. I don't know. The generation guys have to  
9 have an opinion on that. There has to be evaluation  
10 of the plant and see if it's capable of being  
11 converted into a synchronous condenser.

12 Q. But if it were able to do that, that might  
13 be a solution to some of the Central Ohio issues  
14 you've identified?

15 A. Yeah, it could certainly provide benefits  
16 to Central Ohio.

17 Q. If you could go back to Sierra Club  
18 Exhibit 3.

19 A. Okay.

20 Q. So this is ELPC interrogatory 3-002,  
21 correct?

22 A. Yes.

23 Q. And the response on the second page on the  
24 first paragraph so it's scenarios 1 through 4, well

1 strike that. So you discuss scenarios 1 through 4  
2 and then you say in the second sentence scenario 5  
3 including monitoring the neighboring systems. Do you  
4 see that?

5 A. Yes.

6 Q. And utilizing all credible contingencies  
7 in the PJM system. Do you see that?

8 A. Uh-huh.

9 Q. So when you say "monitoring the  
10 neighboring systems," what do you mean?

11 A. Basically when you run the analysis, you  
12 have to monitor when you simulate a contingency,  
13 which means a transmission outage, you have to  
14 monitor the impact on all the facilities. So you're  
15 looking at voltages and thermal loadings on the  
16 facility. So you're just monitoring those facilities  
17 to see if they're overloading or not. Or their  
18 voltages are not acceptable.

19 Q. And did you, through scenario 5 did you  
20 identify any transmission problems in those neighbor  
21 systems from the retirements that you assumed?

22 A. Yes, we did see problems.

23 Q. But you haven't identified those in your  
24 study, correct?

1           A.       That's correct, we did not try to fix  
2 those problems.

3           Q.       So we don't know what cost impacts of  
4 those, addressing those issues might be.

5           A.       That's correct.

6           Q.       Back to your responses, "utilizing all  
7 credible contingencies," what does that mean?

8           A.       It's just in that case you're also looking  
9 at contingencies on your neighboring systems to see  
10 if they cause problems on your system. So just  
11 expanding the scope of contingencies and doing the  
12 comprehensive analysis that needs to get done.

13          Q.       So in identifying the upgrades for the AEP  
14 zone you did evaluate whether contingencies in other  
15 zones would cause problems in the AEP zone?

16          A.       Yes.

17          Q.       And that factored into your identification  
18 what upgrades would be needed?

19          A.       Yes.

20          Q.       Now, on page 6 of your testimony, lines 11  
21 through 13, you say -- there's a sentence there that  
22 starts with "The focus." Do you see that?

23          A.       Yes.

24          Q.       "The focus of my testimony will be to

1 provide an analysis of the transmission upgrades and  
2 the associated costs that will be incurred if the PPA  
3 units are retired." Do you see that?

4 A. Yes.

5 Q. Is it fairer to say "may be incurred"?

6 A. Yes.

7 Q. And is that because the analysis that  
8 you've done is not the full analysis that you would  
9 do to identify specifically what projects would be  
10 needed?

11 A. That's correct.

12 Q. And the analysis of the associated costs  
13 isn't the full study that you would do to determine  
14 those costs.

15 A. That's correct.

16 Q. And would it also be fairer to add to the  
17 end of that sentence "if the PPA units and the 111(d)  
18 units are retired"?

19 A. Yes, so I guess it's, yeah, the 111(d)  
20 units that I modeled, yeah. I think that's a fair  
21 statement to say.

22 Q. And those are the list of units we talked  
23 about this morning.

24 A. Yes.

1           Q.       And am I correct that the solutions that  
2       you've -- the transmission upgrades that you've  
3       identified, that analysis has not been optimized?

4           A.       Yeah, that's fair.

5           Q.       And what does that mean when you say it  
6       hasn't been optimized?

7           A.       Well, one, it hasn't completed -- we  
8       haven't done all the stable analysis or other load  
9       stability analysis that we mentioned. You need to  
10      get eventually to the engineering so you have to find  
11      out, you have to go to site selection, you have to do  
12      the engineering analysis, you have to do short  
13      circuit studies. So that drives the size of the  
14      equipment you might need and station layouts, things  
15      like that. So there's just more detail engineering  
16      work that needs to get done before you get to the  
17      ultimate solutions.

18          Q.       Okay. And when you say additional  
19      engineering work, does that include additional  
20      modeling work?

21          A.       Well, yeah, to get the stability analysis  
22      done and all that stuff you have to use models for  
23      that, yes. Short circuit analysis as far as models.

24          Q.       Ultimately is it PJM that would make the

1 final determination what projects would be needed to  
2 address reliability impacts from retiring the PJM  
3 units?

4 A. I would characterize it more joint  
5 agreement between AEP and PJM. Because like I said,  
6 they give problems to us, we develop the solutions  
7 and then they test the solutions. So it's a  
8 partnership in that effort to come up. But  
9 ultimately they have to take it to the board and the  
10 board has to approve it before it becomes a project.

11 Q. So ultimately if there were a decision  
12 agreement, PJM would make the final decision?

13 A. Yes. In terms of whether we're going to  
14 move forward to their board, absolutely.

15 Q. And AEP can't move forward with a  
16 transmission project without PJM approval?

17 A. Actually there is a class of projects you  
18 can move forward with that are called supplemental  
19 that you can propose to move forward with. PJM will  
20 still test those and then make sure you're not doing  
21 any harm to the system. So as long as you're doing  
22 no harm, then they will say okay.

23 Q. But on supplemental projects that's not  
24 stuff you would use to address these issues, correct?

1           A.       No, it is not.

2           Q.       So in terms of these issues, any  
3 reliability upgrade would have to be approved by PJM.

4           A.       Yeah, these issues are big enough they  
5 would be based on projects that PJM would have to be  
6 part of the solution on to move forward.

7           Q.       So in your testimony on page 9, lines 3  
8 through 10, you have the \$1.6 billion figure and then  
9 there's a, I guess a division of that figure into  
10 850 million that would be borne directly by customers  
11 in AEP zone?

12          A.       Right.

13          Q.       And then 750 million -- 50 percent of the  
14 remaining 750 million shared with other PJM members.  
15 You see that?

16          A.       Yes.

17          Q.       Do you understand how PJM does cost  
18 allocation for transmission upgrades?

19          A.       To some level, yes.

20          Q.       Okay. And am I correct that's set forth  
21 in schedule 12 of the tariff?

22          A.       That's correct.

23          Q.       And what's your general understanding of  
24 how that happens?



1           A.       So there's things called regional  
2 facilities. Those are basically 345 kV double  
3 circuit and above that would be allocated, 50 percent  
4 of those would be allocated on a centralized basis  
5 across the PJM footprint with load ratio basis I  
6 believe it is.

7                   The other 50 percent of those facilities  
8 would then be allocated to either the local zone or  
9 potentially multiple zones depending on this process  
10 that PJM runs to see who benefits from that. And  
11 that's where my detailed knowledge begins to run out.  
12 It's a very complicated process they run to figure  
13 out at the end of the day how that other piece is  
14 going to be allocated.

15                  For the other nonregional facilities they  
16 get immediately assigned that same process where they  
17 basically use a hoop benefits basically from using  
18 that new reinforcement so there's a process that they  
19 run that uses something called DFAX, D-F-A-X, that  
20 looks, very complicated process that looks at  
21 beneficiaries on that -- to that reinforcement and  
22 decides who then pays what share. And that process  
23 is updated annually.

24           Q.       Makes sense.

1                   So the 345 kV and above you said double  
2 circuit?

3           A.       Double circuit.

4           Q.       And what does that mean?

5           A.       Basically two lines running on the same --  
6 two sets of conductors running on the same tower.

7           Q.       Okay.

8           A.       So there would be three phases on one  
9 side, three phases on the other side, double circuit  
10 line.

11          Q.       And for those 50 percent of the cost goes  
12 to PJM as a whole based on load?

13          A.       I think it's load ratio share. Those and  
14 above.

15          Q.       And then the other 50 percent you'd have  
16 to do the DFAX method to determine?

17          A.       Yeah.

18          Q.       And is DFAX something that AEP is able to  
19 do on its own or PJM has to do that?

20          A.       PJM has to do that.

21          Q.       So you're not able to replicate what they  
22 do?

23          A.       No.

24          Q.       But the DFAX method would assign it to the

1 zone or zones a benefit from the project.

2 A. That's correct.

3 Q. So if a cost is assigned to a zone based  
4 on benefit, does everybody in that zone pay for it?

5 A. Yes.

6 Q. So for AEP the zone covers seven states,  
7 parts of seven states?

8 A. Yes.

9 Q. So any costs that would be allocated to  
10 the AEP zone would not just be paid by Ohio  
11 customers, correct?

12 A. That's correct.

13 Q. Do you know, is it just allocated evenly  
14 across the zone?

15 A. I think it falls out, again, load ratio  
16 share.

17 Q. Okay.

18 A. So AEP would pick up its load ratio share,  
19 the larger AEP, and then within AEP there's an  
20 allocation of transmission costs based on our  
21 transmission agreement we have in place among the  
22 member companies.

23 Q. Okay.

24 A. That further allocates the cost among the

1 AEP companies.

2 Q. And do you know what portion of the  
3 allocation AEP-Ohio would get?

4 A. I don't know that number off the top of my  
5 head. I think Witness Allen has that number.

6 Q. Do you know a general percent?

7 A. I don't know. I don't know, it's  
8 15-20 percent, something like that. Somewhere in  
9 that range.

10 Q. And so then you said for other projects,  
11 which I assume would be 345 kV single circuit.

12 A. Right.

13 Q. Or anything below 345 kV?

14 A. They just get the DFAX method.

15 Q. Which is who benefits a hundred percent.

16 A. Yeah.

17 Q. Am I correct that's for products over  
18 5 million? Right?

19 A. That's correct.

20 Q. So if it's over 5 million, it goes to the  
21 zone where it's allocated?

22 A. That's correct.

23 Q. And that's for, well, if you could turn to  
24 page 8 of the Transmission Assessment.

1           A.       Okay.

2           Q.       We discussed earlier I think some of these  
3 projects are transmission lines, some are  
4 substations.

5           A.       Yes.

6           Q.       And some are MVar SVCs?

7           A.       Yes.

8           Q.       Does that cost allocation method that we  
9 were just discussing apply to substations?

10          A.       Yes.

11          Q.       So if a substation is 345 or above.

12          A.       Depends where the substation is connecting  
13 in. So in the two substations we have here, the 345,  
14 the top one, A and B, the assumption there that would  
15 be bringing a double circuit line into that  
16 substation. So on the substation that's located on  
17 the double circuit line, it would be treated as the  
18 regional facility and so some of that cost would be  
19 allocated.

20          Q.       So projects A and B would both be 50/50?

21          A.       Yeah, they'd have a mix of both. So  
22 they're going to have, A and B have a piece of that  
23 would be simply just dedicated to the AEP zone would  
24 be a logical facility, and then there's a part of

1       that project like I talked about when I say the  
2       station costs include the transmission line work  
3       coming into it.

4               So part of that station cost would be that  
5       transmission line coming into, the double circuit  
6       work so that work would get regionally allocated. So  
7       the 50 million is going to be broken up into the two  
8       buckets.

9           Q.       And then the 138 kV upgrade on project C,  
10       those would all be a hundred percent DFAX?

11          A.       Yes.

12          Q.       And same with project D?

13          A.       Yes.

14          Q.       How about project E, is that allocated?

15          A.       At that point we think it's again going to  
16       be probably a 345 kV station and it's probably going  
17       to have double circuit coming into it, so for this  
18       analysis we assumed it would be regional so it would  
19       be 50/50.

20          Q.       Project F would be 50/50, correct?

21          A.       Yes.

22          Q.       Project G, would that be 50/50?

23          A.       Yeah. Again, the line is 765, the Adkins  
24       station is 765 so you're at 50/50.

1 Q. And project H?

2 A. 50/50 because of the 765.

3 Q. Project I?

4 A. I think that would all be local.

5 Q. And project J is 50/50?

6 A. Yes.

7 Q. And for the DFAX portions which for some  
8 is 50 percent, some of it's a hundred percent, do you  
9 know for any of these upgrades exactly who benefits?

10 A. No.

11 Q. So it's possible that for any of these  
12 upgrades people in other PJM zones could receive some  
13 benefits?

14 A. It is possible. It doesn't happen very  
15 often but it's possible.

16 Q. And if that were true, then some of the  
17 costs under the DFAX methods go to those zones.

18 A. That's correct.

19 Q. And if you look at the map on page 7, for  
20 example, if you look at let's say project J, that  
21 appears to me at least to be kind of right on the  
22 border of another zone; is that right?

23 A. Yes. So J is the Stuart so, yeah, that's  
24 either the --

1 Q. Looks like EKPC.

2 A. Yeah, there's EKPC then there's Duke is in  
3 that general area also.

4 Q. Does the fact that project J is kind of  
5 right on the border suggest that maybe some of the  
6 benefits may go to another zone?

7 A. Given this location there's a possibility  
8 that some of those costs would be assigned to other  
9 zones, absolutely.

10 Q. And would that be the same for H?

11 A. It depends on the -- what matters is the  
12 underlying prevailing power flows. And I don't know  
13 but it's on the border and I don't -- that one I'm  
14 not as familiar with that general area so I'm not  
15 sure. I can't say.

16 Q. Any of the other projects on here that  
17 based on their location it appears some of the  
18 benefits might go to another zone besides AEP?

19 A. The only other one I might add would be F.

20 Q. The one down near Jacksons Ferry?

21 A. Yeah. It's mostly in our area but  
22 depending on how the response factors work out.

23 Q. And the final cost allocation  
24 determination, those would be made by PJM, correct?



1           A.       Yes.

2                   MR. FISK:  If we could go off.

3                   (Off the record.)

4           Q.       Back on.

5                   When you ran your modeling runs, did you  
6 run the 2019 RTEP system without any changes first to  
7 determine if there were issues or transmission  
8 problems identified?

9           A.       Help me understand your question, please.

10          Q.       Well, I guess I'm trying to figure out  
11 you've said that when you make various changes to the  
12 RTEP, you come up with this list of transmission  
13 upgrades that are needed because you've identified  
14 issues, right?

15          A.       Uh-huh.

16          Q.       And I guess I'm trying to figure out  
17 compared to what baseline.

18          A.       So we, I guess then we did not make any  
19 changes to the initial RTEP model that we started  
20 with other than the ones we talked about.  So we  
21 didn't do any analysis on the initial RTEP model  
22 other than the analysis that we've talked about.

23          Q.       So does the RTEP model that you get from  
24 PJM without any changes, if you just run it, are

1       there no problems identified?

2           A.       I don't know. I've never asked that  
3       question.

4           Q.       So, like, looking at your list of  
5       upgrades, the upgrades that you identify in your  
6       Transmission Assessment, those are upgrades to  
7       identify problems or transmission reliability issues.

8           A.       Right. Right.

9           Q.       From when you ran the model with your  
10      changes, correct?

11          A.       Uh-huh.

12          Q.       So are you able to tell me sitting here  
13      today whether if you ran the 2019 RTEP without any of  
14      those changes, do you know whether the transmission  
15      reliability issues you've identified would have  
16      already appeared?

17          A.       Yeah, I guess they would not have  
18      appeared. The reason I can say is they did not show  
19      up in the RTEP analysis that PJM ran.

20          Q.       So when PJM itself ran the 2019 RTEP.

21          A.       The problems that we saw did not show up  
22      in their analysis.

23          Q.       And you've seen their analysis to know  
24      that?

1           A.       Yeah, my team has seen that and we have  
2       proposed solutions to those. That was all done last  
3       year.

4           Q.       Okay. So whatever problems were  
5       identified in that RTEP were different than ones  
6       you're now identifying.

7           A.       That's correct.

8           Q.       AEP has proposed solutions to those?

9           A.       Yeah, I'm trying to remember if there was  
10      anything of significance on our system. I don't  
11      recall any major issues on our system, to get to your  
12      question of proposed solutions. I don't remember any  
13      major problems, so if there are minor problems that  
14      show up, we would have proposed solutions in that  
15      process.

16          Q.       And do you know, are the solutions that  
17      you proposed, are those publicly available?

18          A.       Yes.

19          Q.       And did the solution -- so the solutions  
20      you proposed would still be working their way through  
21      the PJM approval process; is that right?

22          A.       Probably would have been approved at the  
23      end of last year.

24          Q.       Did you include those solutions in the

1 RTEP modeling that you ran for this case?

2 A. No, we didn't make any changes to the  
3 case. So again, the reason, one of the reasons why  
4 we didn't redo the analysis is because we didn't see  
5 any problems on the grid that were going to be  
6 related to these problems. So those problems just  
7 didn't exist.

8 Q. And we talked earlier about the  
9 approximately 15,000 megawatts of unit that you  
10 turned on. Did you -- as of what date did you turn  
11 those on in the model?

12 A. I think it was set for 2019.

13 Q. So those would have turned on June 1,  
14 2019?

15 A. Yes, I believe 2019.

16 (EXHIBIT WAS MARKED FOR IDENTIFICATION.)

17 Q. So I have handed you, Mr. Bradish, Sierra  
18 Club Exhibit 9, which is the response to Sierra Club  
19 interrogatory 2-072; is that correct?

20 A. Yes, it is.

21 Q. And you are identified as the preparer for  
22 this response?

23 A. Yep.

24 Q. And did you draft this response?

1           A.       At my direction, yes.

2           Q.       And so subsection a. of your response  
3 lists the same projects or upgrades that we've  
4 discussed previously; is that right?

5           A.       Yes.

6           Q.       If you turn over to subsection C, which I  
7 guess the request had said "Identify what portion of  
8 the \$1.6 billion would be paid by Ohio ratepayers."  
9 See that?

10          A.       Yes.

11          Q.       And then there's a discussion about the  
12 allocation in your response; is that right?

13          A.       Uh-huh.

14          Q.       The last sentence says "DFAX and Market  
15 Efficiency analyses may result in a different  
16 allocation." See that?

17          A.       Yes.

18          Q.       We discussed the DFAX earlier. Correct?

19          A.       Yes, we did.

20          Q.       What is the market efficiency analyses?

21          A.       Now you're digging to another level. So  
22 they do the DFAX analysis and that gives them the  
23 response factors, and then my understanding is, and  
24 this is just general understanding, is that they then

1 run market efficiency which is basically looking at  
2 how that facility would be used throughout the year  
3 by those loads that had been identified as  
4 beneficiaries. And they combine that, they look at  
5 that result to get to their ultimate decision on who  
6 gets allocated. And that's as far as I can go in  
7 trying to explain this.

8 But it is a multi-step process. DFAX  
9 identifies the participants and market efficiency  
10 type analysis which is a production cost modeling  
11 that models 8760, all the powers in there So they can  
12 get an estimate of what the flow on that facility  
13 would be as a result of these entities. And they use  
14 that somehow based on figure 12 how to figure out  
15 what the final result is going to be. So it is a  
16 multi-step process.

17 Q. And that market efficiency portion of the  
18 analysis, that only applies to the portions of cost  
19 that were under the DFAX?

20 A. Yes.

21 Q. And the market efficiency analysis is not  
22 something that AEP itself could carry out; is that  
23 right?

24 A. We can do market efficiency but we

1 wouldn't do it for this situation.

2 Q. Okay, fair enough.

3 And you don't know what the results for  
4 the market efficiency analysis would be for any of  
5 the upgrades you've identified, correct?

6 A. I do not.

7 MR. FISK: I believe I have no further  
8 questions. Right on time.

9 MR. MILLER: So Shannon has concluded,  
10 those on the phone. What does that do to your  
11 timing, and I guess we'll figure out what order you  
12 want to go in.

13 MS. PETRUCCI: This is Gretchen. I'm kind  
14 of in the same timeframe I was before and it doesn't  
15 matter if I go next or not.

16 MR. MILLER: Madeline, you said you had an  
17 hour?

18 MS. FLEISHER: Yeah, I think I'm under an  
19 hour now and I don't have any particular time  
20 constraints so I'm happy to go next or defer to  
21 anyone else, whatever works.

22 MR. MILLER: Let's do them in decreasing  
23 order, so I'm hoping your less-than-an-hour is the  
24 most, so why don't we do you next, if you don't mind.

1 MS. FLEISHER: Sure, no problem.

2 --|--

3 EXAMINATION

4 BY MS. FLEISHER:

5 Q. Mr. Bradish, my name's Madeline Fleisher,  
6 I represent the Environmental Law and Policy Center,  
7 and just if at any point you can't hear me, I'm going  
8 to try to be as clear as I can but just speak up. Or  
9 if anything I'm saying just isn't clear because of  
10 the actual content, I'm happy to clarify.

11 A. Okay.

12 Q. So you said that you utilized the 2014 PJM  
13 load forecast for your analysis, correct?

14 A. That's correct.

15 Q. Okay. And I just want to get a sense of  
16 your familiarity with the PJM load forecasting  
17 process. Is that something that you have any  
18 familiarity with?

19 A. No, I do not.

20 Q. Okay. Do you generally review PJM load  
21 forecasts at all?

22 A. I don't.

23 Q. Would people under your supervision review  
24 them?



1           A.       So there's two components to that:  
2       There's a Load Forecasting group within AEP that  
3       prepares the load forecasts for AEP, so they've got  
4       the primary responsibility, and then the folks  
5       underneath my team look at the distribution of that  
6       load on the buses and the what we call the power  
7       factor of that load.

8           Q.       And is that load forecasting analysis, is  
9       that for purposes of providing for PJM for their load  
10      forecasting process?

11          A.       That's correct.

12          Q.       And are you familiar with AEP's  
13      preparation of fundamentals forecast internal to AEP?

14          A.       I am not.

15          Q.       And when you -- you mentioned that you, in  
16      trying to project retirements associated with 111(d)  
17      you looked at option 1 in the IPM modeling for the  
18      proposed Clean Power Plan; is that right?

19          A.       That's correct.

20          Q.       And you didn't look at that modeling  
21      involved, someone else looked at that and gave you a  
22      list of associated plant retirements; is that  
23      correct?

24          A.       Yeah. That's correct.

1           Q.       And do you know whether that modeling  
2       projected any energy efficiency for load reductions  
3       occurring in the AEP zone?

4           A.       No, I don't know what EPA did from an  
5       energy efficiency modeling respect.

6           Q.       And do you know anything about what load  
7       forecast is associated with that option 1?

8           A.       I do not.

9           Q.       Are you aware that energy efficiency is  
10      one tool for lowering carbon emissions to comply with  
11      the Clean Power Plan?

12          A.       I was aware in the proposed rule one of  
13      the four, I guess, buckets that they had was an  
14      energy efficiency bucket. I think that's changed in  
15      the final rule they've -- my understanding is that's  
16      changed somehow. They've dropped it as one of the  
17      four and they're down to and I don't readily know  
18      what that means other than that I do know, like I had  
19      indicated earlier, energy efficiency is used by PJM  
20      to offset load. So if there are energy efficiency  
21      projections within the PJM process, PJM will use that  
22      to reduce the load in the case.

23          Q.       And do you know how PJM forecasts energy  
24      efficiency?

1           A.       I don't know if they actually forecast it  
2       or if they receive that from market participants.

3           Q.       And are you aware that Ohio has statutory  
4       energy efficiency requirements?

5           A.       Generally familiar but I'm not -- I don't  
6       know any of the details.

7           Q.       And do you know whether the PJM load  
8       forecasting process takes account of the statutory  
9       energy efficiency requirements?

10          A.       I don't know.

11          Q.       And do you know whether the PJM load  
12       forecast takes account of any load reductions that  
13       might occur in connection with compliance of the  
14       Clean Power Plan?

15          A.       I'm not sure what you mean by that  
16       question.

17          Q.       So you said you understood that at least  
18       under the proposal, which was what was around for  
19       when PJM was doing its 2014 load forecast you  
20       understood that that had energy efficiency as a  
21       building block, correct?

22          A.       That's correct.

23          Q.       And do you know whether the 2014 PJM load  
24       forecast looked at how that energy efficiency

1 building block might affect load within PJM?

2 A. I do not know if PJM took that into  
3 account.

4 Q. And going back to the option 1 modeling  
5 that you derived your list of retirements from for  
6 111(d), do you know whether that option 1 forecasts  
7 any new generation in Ohio?

8 A. I don't know the location of the new  
9 generation other than I do understand that the EPA,  
10 when they retired generating units, they made  
11 assumptions that those units would be replaced  
12 somehow with new generating units. But I'm not  
13 familiar with the location of where they thought  
14 those new generating units would be located.

15 Q. Okay. So you didn't incorporate any such  
16 projections of new generation in your --

17 A. I did not use any projections from EPA on  
18 new generations. I used the PJM queue for that  
19 information.

20 Q. But you did use the EPA retirements.

21 A. I did.

22 Q. And if you can pull out Exhibit 5, the  
23 Sierra Club 5 interrogatory 119.

24 A. Okay.

1           Q.       From looking at part a. I just want to  
2 clarify a couple things. I'll try not to repeat  
3 anything that Mr. Fisk went over with you.

4                    So what I'm trying to figure out is how  
5 what you did compares to what PJM would do if any of  
6 these units announced retirements. So for generators  
7 with capacity of less than 5 megawatts if these PPA  
8 units announced retirements and PJM was doing its own  
9 reliability analysis, would PJM model generation from  
10 generators less than 5 megawatts?

11           A.       My general understanding is that PJM would  
12 use all FSA units in their analysis.

13           Q.       Okay. And when you said, when the  
14 response says "generators with capacity less than 5  
15 megawatts totaling 200 megawatts were not modeled,"  
16 is that referring to only FSA units less than  
17 5 megawatts or does that include existing units less  
18 than 5 megawatts.

19           A.       That was FSA units.

20           Q.       And does the PJM interconnection queue  
21 include behind-the-meter generation? And I'm  
22 referring there to distributed solar but also  
23 combined heat and power cogeneration projects.

24           A.       I think by definition if it's in the PJM

1 queue, it's no longer behind the meter, it's visible.  
2 So I think by definition I don't believe so. But I'm  
3 not completely hundred percent on that.

4 Q. And would you say that generators with  
5 capacity over 5 megawatts could have an impact on  
6 your analysis?

7 A. Generators over 5 megawatts could have an  
8 impact on my analysis, yes.

9 Q. Okay. Do you know whether there are any  
10 combined heat and power projects proposed within AEP  
11 service territory?

12 A. I'm not aware. Doesn't mean there aren't,  
13 I'm just not aware.

14 Q. And do you know whether behind-the-meter  
15 generation is accounted for in PJM's load  
16 forecasting?

17 A. That would -- so I don't do the load  
18 forecasting so I can only speculate on that. My view  
19 would be it would be yes, but I'm speculating at this  
20 point.

21 Q. Appreciate you qualifying that.

22 And so for the next sentence regarding  
23 nuclear uprates, for nuclear uprates that are FSA  
24 units, would PJM, in doing a reliability analysis,

1 include all of those?

2 A. Yeah, if they were FSA units, I believe  
3 they would. If their in-service states meet the  
4 requirement, they would include them.

5 Q. And so for the ones that you excluded do  
6 you know whether that would include an uprate in the  
7 Peach Bottom area?

8 A. I don't recall which ones of the uprates  
9 that we did not turn on.

10 Q. And one more just to see if it triggers  
11 memory. Do you recall any in the LaSalle area that  
12 you would have excluded?

13 A. Again, I don't recall what uprates were in  
14 there.

15 Q. And then with respect to the generation  
16 stalled more than three years and requiring  
17 transmission uprates of more than 25 million, would  
18 PJM include that generation in a reliability analysis  
19 assuming it was at that FSA stage?

20 A. Yes, they would include it.

21 Q. And why did you use the three-year and  
22 \$25 million criteria in excluding those units?

23 A. Well, we needed to -- we didn't need all  
24 the FSA megawatts so we needed to reduce that

1       somehow. And we felt that a good way to reduce that  
2       would be to reduce it by the plants that had --  
3       were -- I guess have a higher probability of not  
4       moving forward. So that was our assessment.

5               If they hadn't moved in the last three  
6       years and they have a higher transmission cost than  
7       others, meaning \$25 million, then our assessment was  
8       there's a higher probability that those would not  
9       move forward and so that's why we took them and did  
10      not include them.

11       Q.       Okay, and so for those where you excluded  
12      those you would have modeled increased dispatch from  
13      other FSA units; is that correct?

14       A.       That's correct.

15       Q.       And why would you do that tradeoff? Would  
16      it be the closest other FSA unit or is there some --  
17      it's just the model does it?

18       A.       Well, I just I think we scale them all I  
19      guess proportionately until we get to the megawatts  
20      we needed.

21       Q.       Skipping around a little bit.

22               For the transmission costs that the cost  
23      estimates for the projects that are in Sierra Club  
24      Exhibit 1, so you indicated those were based on AEP's



1 experience with past projects, correct?

2 A. Yes.

3 Q. And for item G, the Adkins, I'm on page 8  
4 here of the exhibit, the Adkins, are there any  
5 particular projects that you had in mind as  
6 indicative of the cost for this one?

7 A. Well, we've built several projects that  
8 are similar so we're in the process right now of  
9 building a new 765 kV line through Indiana that runs  
10 from Greentown over to Reynolds. We just built a  
11 765/345 kV station we call the cell in northern,  
12 northwest part of Columbus outerbelt area.

13 Not too long ago we built a 765/345 kV  
14 station. Actually we're building one now I guess.  
15 Not "I guess," we are. We're building one now at  
16 Sorenson in Indiana. And we are doing a 765 kV line  
17 work to bring the line to, Dumont Marysville line  
18 into the Swanson station. So we've got some current  
19 projects that are fairly similar.

20 Q. And so do you have per-mile cost estimates  
21 for those that you then translated to this project?

22 A. Yes. So we're using that, we're using --  
23 we didn't use a specific project cost, we're just  
24 using the collective experience we have. But that's

1       what we do, you apply basically a per-mile type  
2       number to this.

3           Q.       And do you -- I think you said for the 138  
4       kV line it was about a million dollars a mile. Do  
5       you recall for 345 or 765 what you used?

6           A.       The 1 million per mile for 138 was for  
7       reconductoring. I'm trying to think for the 765 kV,  
8       I believe it's 4 million a mile for new build. And  
9       for 345 kV, I believe it's 3 million a mile for new  
10      builds.

11          Q.       And so for the 2015 RTEP case am I -- did  
12      I catch it right that you said you have that as of  
13      first quarter or first half of 2015 from PJM?

14          A.       Yeah, that case was finished earlier this  
15      year, that's correct.

16          Q.       Would you have had it at the time you were  
17      preparing your May 2015 testimony?

18          A.       I'm not sure if it would have come out.  
19      It's right around that timeframe. It would have come  
20      out before May but I don't know how far enough in  
21      advance it would have come out.

22          Q.       And I think you said you're now going  
23      through the process for the 2015 RTEP of proposing  
24      new transmission projects; is that right?

1           A.       That's correct.

2           Q.       And you said you have a sort of, to the  
3       best of your recollection some not-that-significant  
4       projects, if I'm characterizing that correctly.

5           A.       That's correct.

6           Q.       Is that -- is there sort of a normal  
7       baseline level or is every year different in terms of  
8       the amount or significance of transmission projects  
9       you'd be proposing?

10          A.       Yeah, every year's different.

11          Q.       Is there always something that you're  
12       having to do?

13          A.       It does seem to be that way for the last  
14       two years there's always something to do. Especially  
15       with the MATS. The MATS generation retirement drove  
16       a lot. So we're doing a lot on our system now.

17          Q.       And are there ever transmission projects  
18       that are driven by just the age of the system or  
19       natural wear and tear rather than retirement?

20          A.       Yes.

21          Q.       Are those relatively common? I'm just  
22       looking for your sense, overall sense.

23          A.       Yeah, I mean, there's aging infrastructure  
24       so I think it's pretty common finding ourselves to

1 address aging infrastructure on a fairly regular  
2 basis.

3 Q. And you may have discussed this with  
4 Mr. Fisk, I'm not sure I caught it. Do you have any  
5 sense, I know there's a lot of facilities,  
6 transmission facilities involved in this analysis,  
7 but are there any that are sort of towards the end of  
8 their useful life, so to speak?

9 A. Not that I'm aware of.

10 Q. And I was wondering whether you have any  
11 familiarity with the Path transmission projects that  
12 was proposed a while back in PJM.

13 A. Yes, I'm aware of it.

14 Q. And is it your understanding that that  
15 project ended up being canceled?

16 A. Yes, it is.

17 Q. And was part of the reason for that  
18 cancellation that load growth was not as great as had  
19 originally been projected?

20 A. I believe that's part of the reason, yes.

21 Q. Are you, have you had experience with any  
22 other transmission projects that ended up not being  
23 needed because loads didn't reach the peaks  
24 forecasted?

1           A.       Not that I can recall off the top of my  
2 head. Sorry, I just can't recall any right now if  
3 there was or not.

4           Q.       Okay, that's fine.

5                   And do you deal with transmission projects  
6 in the area of the Utica and Marcellus shale?

7           A.       So when you're saying "in the area of  
8 Utica and Marcellus shale," what geographic? Can you  
9 bring that a little bit closer to me?

10          Q.       Sure. I'm referring to generally  
11 Northeastern Ohio, Eastern Ohio.

12          A.       Yes.

13          Q.       And is AEP planning to do any, by  
14 "planning" I mean contemplating any transmission  
15 projects in that area?

16          A.       Yes, we are.

17          Q.       And can you describe those?

18          A.       Most of that is 138 kV type facilities  
19 that we're using to connect the new gas processing  
20 plants and I guess the gas fracking plants, or  
21 whatever they are, facilities. So most of it's 138,  
22 however, we are building a new 345 kV station we call  
23 Holloway that's over near FirstEnergy's, I believe  
24 it's Berger plant. So there is a facility over there

1       that we're building also.

2           Q.       And do you know whether those transmission  
3       projects would have been included in 2019 RTEP case  
4       that you used in your analysis?

5           A.       Yes, they would have.

6           Q.       And does AEP ever do transmission projects  
7       for reasons other than to resolve reliability  
8       violations?

9           A.       So we do address aging infrastructure that  
10      we talked about earlier. And we also do things like  
11      SCADA, supervisory control and data acquisition. So  
12      we are upgrading and adding new SCADA facilities. We  
13      do telecom which are part of our transmission  
14      infrastructure. We do customer connections that we  
15      just talked about for shale gas, those types of  
16      things. So, yeah, there's a set of other projects  
17      that we do that are not driven purely by reliability  
18      criteria.

19          Q.       And when you upgrade transmission, does  
20      that -- putting -- hold on, let me try to phrase this  
21      in a comprehensible way.

22                    When you upgrade existing transmission,  
23      does that improve the performance of the transmission  
24      facilities?

1           A.       You know, if you just replace it in kind,  
2       it doesn't necessarily improve the overall  
3       reliability performance of the system per se. It's  
4       merely maybe providing overall reliability  
5       performance of that particular facility. But in  
6       general when you're enhancing the grid, you are  
7       improving the overall reliability of the grid at the  
8       same time.

9           Q.       And say you were to do some of the upgrade  
10      projects listed in your analysis, would that  
11      generally lower the impedance of the lines in  
12      question?

13          A.       I think that's a fair statement.  
14      Generally if you're adding new lines in, you are  
15      typically lowering the overall impedance of the  
16      system in general.

17          Q.       Sure. And sorry, did you --

18          A.       I'm holding out, there may be the chance  
19      you could do something where there might be a local  
20      increase in the impedance but maybe overall network  
21      might benefit from that too. But in general.

22          Q.       And does lowering impedance reduce line  
23      losses on the system?

24          A.       It can. It will again, ultimately what

1 will drive line losses is not just the impedance but  
2 also the ultimate flow that occurs. So it's  
3 something you have to look at together because if you  
4 change the power flows enough, you may not get the  
5 loss impacts you were looking for.

6 Q. And when you did your analysis, did you  
7 look at sort of where the new generation would come  
8 from for AEP customers?

9 A. We did not assign any generation to AEP  
10 customers, so it is, basically it is the PJM market  
11 that will supply the generation.

12 Q. And did you look at all at whether the  
13 changed dispatch would affect locational marginal  
14 prices for within the AEP zone?

15 A. No, we did not.

16 Q. Would it be possible to do that?

17 A. It is possible to run a market efficiency  
18 analysis that would assess congestion. I'm not a  
19 price forecaster so I would not want to pretend that  
20 I'm going to forecast LMPs. But we could do market  
21 efficiency analysis that would ultimately look at any  
22 changes in congestion as a result. That way you only  
23 have to worry about differences in prices and not the  
24 absolute value of the price.



1           Q.       Right. And moving to the various  
2 scenarios you ran, is there a reason you didn't look  
3 at retirements of the OVEC units?

4           A.       I was not asked to.

5           Q.       And who would have told you which units to  
6 consider?

7           A.       The folks putting together the PPA.

8           Q.       Anyone in particular?

9           A.       I don't know who that would have come  
10 from. Somewhere between Pablo Vegas, I guess Chuck  
11 Zebula, Rich Muczinski, the three of them. Pablo  
12 Vegas being the Ohio representative, Chuck the AEP  
13 Generation Resources representative, and Rich  
14 Muczinski being Regulatory. And then I put in our  
15 legal counsel. So somewhere among that group they  
16 would have decided we need to do this.

17          Q.       If you give me one minute, I may be done.

18                    Okay, two quick questions.

19                    So looking back on your general  
20 experience, have you -- I know you said you haven't  
21 been involved in negotiating any RMRs. Have you  
22 dealt with at all transmission upgrades in situations  
23 where there is an RMR in place?

24          A.       I don't think so.

1           Q.       And then for the Clean Power Plan I think  
2       you said your understanding of the compliance date  
3       for the proposal was the initial compliance deadline  
4       was 2020; is that right?

5           A.       The proposal was 2020, that's correct.

6           Q.       And do you have any knowledge of whether  
7       there's the ability to average 2020 with subsequent  
8       years in determining compliance?

9           A.       Oh, I'm not that familiar with the Clean  
10      Power Plan requirements. I defer those to Witness  
11      McManus.

12          Q.       Okay. Lucky you.

13                 All right, that should be all I have.  
14      Thank you very much.

15          A.       You're welcome.

16                 MS. FLEISHER: Well under an hour.

17                 MR. MILLER: 25 minutes.

18                 Gretchen, I think you're up.

19                 MS. PETRUCCI: Okay, thank you very much.

20                         --|--

21                                 EXAMINATION

22      BY MS. PETRUCCI:

23          Q.       Let's stick with the Clean Power Plan  
24      retirements that you indicated were included in your

1 impact study. How many retirements were specifically  
2 associated with the Clean Power Plan?

3 A. I don't recall.

4 Q. Do you know how many plants were to be  
5 retired in the impact study overall?

6 A. Oh, the ones that we actually just used in  
7 our analysis?

8 Q. Yes.

9 A. Yeah, we have a list of those plants.

10 Q. Is that included in Deposition Exhibit 1?

11 A. Find it here in a minute.

12 The list of plants is, sorry, looking.

13 So Exhibit 4, Sierra Club Exhibit 4 in  
14 today's deposition had the list of plants.

15 Q. Okay, thank you.

16 MR. MILLER: And for clarity, Gretchen,  
17 you're talking about the list of plants that were  
18 included in the model, correct?

19 MS. PETRUCCI: In his impact study.

20 A. Okay.

21 Q. I'm trying not to jump around but I think  
22 I'll probably do that.

23 There was an indication, and I'm sorry, I  
24 can't point us to the right spot where it was, but it

1       stated that the capacity added into the impact study  
2       was roughly the amount of capacity retired.

3           A.       Yes.

4           Q.       Can you tell me what capacity added is  
5       capacity in Ohio?

6                   MR. MILLER: Can you ask the question  
7       again?

8           Q.       The capacity that was added in the impact  
9       study, what was the capacity that was -- that's  
10      located in Ohio that was added to the impact study?

11          A.       Okay, so there were, if I recall there  
12      were two plants, two major plants -- there were gas  
13      plants, I'm sorry. One is an Amp Ohio plant that's  
14      located over off of our Sporn Waterford transmission  
15      line, another one was the upgrade to the plant at  
16      Flatlick, and then there was a plant that was over on  
17      the Pennsylvania-Ohio border and I can't remember the  
18      name of that one that was added, and those are all  
19      gas plants.

20                   Then there were several wind plants that  
21      were also added, and I don't know the locations for  
22      those. So those were the ones in Ohio that were  
23      fully added to the case. Or turned on, I should say,  
24      in the case.

1           Q.       Then can you tell me again the second one  
2       that you said it was an upgrade to and I had trouble  
3       understanding what you said.

4           A.       There's a plant at Flatlick that is  
5       looking to upgrade from I think a simple cycle to  
6       combined cycle I think is what they're trying to do.  
7       So that one was added to our -- turned on in our  
8       case.

9           Q.       Then I believe you earlier stated that one  
10      of the assumptions in the impact study was that all  
11      the PPA units would retire at the same time; is that  
12      correct?

13          A.       That's correct.

14          Q.       And can you tell me why that assumption  
15      was made?

16          A.       Well, essentially we only ran one year,  
17      right? We ran 2019 to assess the impacts. So the  
18      assumption was that in 2019 they would all be  
19      retired.

20          Q.       If there was a staggering retirement of  
21      all of the PPA units, are you saying that you -- I  
22      guess are you saying that you couldn't do a  
23      staggering of the PPA unit retirement dates? Because  
24      you relied upon the 2019 RTEP model?

1           MR. MILLER: Can you rephrase that? I  
2 think you're sort of stating his testimony a little  
3 bit.

4           Q.       My question is is the reason that the PPA  
5 units were not staggered for retirement purposes  
6 because you used the 2019 RTEP model?

7           A.       No. The reason they're not staggered is I  
8 was asked to assess the impact of the retirement of  
9 all the units. So I took the RTEP model for 2019 and  
10 retired all the units.

11          Q.       Do you agree that there's more than --  
12 that they could have been staggered for purposes of  
13 assessing what the impact of the units might be at  
14 retirement?

15          A.       Yes. We can do a multi-year analysis to  
16 look at staggering.

17          Q.       And you're not offering an opinion as to  
18 whether any or all of the PPA units should retire,  
19 correct?

20          A.       That's correct.

21          Q.       And you are also not offering an opinion  
22 as to whether any or all of PPA units will retire,  
23 correct?

24          A.       That's correct.

1           Q.       Looking at Deposition Exhibit 1, the date  
2       on it says September 4, 2015. Is that date accurate?

3           A.       I'm not sure what you mean by "accurate."

4           Q.       Is this PowerPoint that was marked as  
5       Deposition Exhibit 1 actually the output from your  
6       impact study or is this a summary of the output?

7           A.       This is a summary of the output.

8           Q.       And this summary was put together after  
9       you filed your testimony.

10          A.       Yes, it was.

11          Q.       If we can continue to look at Deposition  
12       Exhibit 1 and if you could pull out your testimony  
13       and turn to page 8.

14          A.       Okay.

15          Q.       And specifically looking at lines 18 to  
16       19, there's a reference to the surrounding states.  
17       Is that, those surrounding states the ones that are  
18       listed in Deposition Exhibit 1, page 4?

19          A.       No. I would direct you to page 7 of that  
20       same exhibit, Deposition Exhibit 1.

21          Q.       And then the states that are depicted on  
22       the map are the ones that you were referring to?

23          A.       The ones with the letters on them, yes.

24          Q.       And then continuing with that same page 8

1 where you began to list the upgrades that were found  
2 from your impact study, that's the list that's  
3 included in Deposition Exhibit 1, page 8, correct?

4 A. Yeah, starting on line 21 on page 8 of my  
5 testimony, yes, the upgrades shown in exhibit,  
6 Deposition Exhibit 1, page 8, are the same.

7 Q. And then looking at page 9 of your  
8 testimony where you discuss a little bit about the  
9 allocation of costs, on what basis did you determine  
10 that \$850 million of the upgrades would be borne  
11 directly by customers in the AEP zone?

12 MR. MILLER: Can you direct him to a line?

13 Q. Specifically lines 6 to 8.

14 A. So what I'm talking about there is the  
15 cost allocation method used by PJM in their  
16 processes. So we applied that cost allocation method  
17 to these upgrades to figure out how that cost would  
18 break out.

19 Q. And then for continuing on lines 8 through  
20 10 on page 9, the allocation of the \$750 million is  
21 also based on how PJM has allocated in the past,  
22 correct?

23 A. That's correct. That's their current cost  
24 allocation methodology.



1           Q.       And if I recall from questioning earlier,  
2       you do not know what amount of money for these  
3       upgrade costs would be allocated specifically to  
4       AEP-Ohio and its customers, correct?

5           MR. MILLER:   Let me kind of object.   Are  
6       you -- is that a direct quote or are you just asking  
7       him a question?

8           MS. PETRUCCI:   I'm following up on what I  
9       believe he indicated earlier today in the deposition,  
10      that he does not know what the allocation would be on  
11      his estimated transmission costs for AEP-Ohio.

12          A.       So the allocation we gave you is an  
13      approximate allocation that I think is reasonable but  
14      I do not know what the ultimate allocation PJM will  
15      do because we did not run the DFAX analysis nor the  
16      production cost analysis to precisely do the  
17      allocation.

18          Q.       And in order to understand the percentage  
19      that would be allocated to Ohio, AEP-Ohio, those  
20      items would have to be run; is what that you're  
21      saying?

22          A.       When you say "items," what do you mean by  
23      that?

24          Q.       You just listed I think two things that

1       you didn't do.

2           A.       Oh.

3           Q.       That you indicated, I thought, needed to  
4       be done in order to determine how much would be  
5       allocated to AEP-Ohio in cost for these transmission  
6       upgrades.

7                   THE WITNESS: Can you read back what my  
8       answer was, please?

9                   (Record read.)

10          A.       Yeah, so we have not done the DFAX  
11       analysis and we haven't done the production cost  
12       analysis that is required to find -- to determine  
13       ultimately what the allocation would be.

14          Q.       Okay, thank you.

15          A.       Sure.

16          Q.       With regard to the RMR designation,  
17       earlier you indicated that you did not know if  
18       generators had declined that RMR designation. If AEP  
19       had declined an RMR designation, is that something  
20       that you would know due to your position with the  
21       company?

22          A.       I believe so. I think it would be fair  
23       for me to probably know that.

24          Q.       Just give me a moment here.

1           A.       Sure.

2           Q.       Let's turn to page 4 of your testimony,  
3 lines 16 and 17. In this area you're talking about  
4 Central Ohio and the retirement of the Conesville  
5 unit.

6           A.       Okay.

7           Q.       Is Central Ohio's load served directly by  
8 the Conesville unit?

9           A.       Yes.

10          Q.       Is it served only by the Conesville unit?

11          A.       No. Other units have to supply power.

12          Q.       I'm not sure I understood the second part  
13 of your answer there. Can you explain further?

14          A.       So you asked if, well, can we read back  
15 her question?

16          Q.       My question was is the Central Ohio load  
17 served only by the Conesville unit.

18          A.       And the answer to that is no.

19          Q.       And then if we could look at line 13 where  
20 you've indicated "Central Ohio is particularly  
21 sensitive to this imbalance," can you be more  
22 specific as to what imbalance you're discussing? Was  
23 it power flows or reactive power deficiencies or  
24 something else?

1           A.       Sure. So the situation would be a  
2 supply/demand imbalance, meaning if the Conesville  
3 unit is retired, there will be an even larger  
4 imbalance between the local demand and the local  
5 supply, meaning there basically wouldn't be any more  
6 local supplies. Because most of the generation is  
7 located away from Central Ohio.

8                   So the concern would be that now you have  
9 this big distance between the major load center and  
10 the resources that are supplying it, which opens that  
11 load center up to increased reliability problems.

12          Q.       When plants retire, is there a process by  
13 which notification has to be given before the  
14 retirement can take place?

15          A.       My understanding it's a 90-day  
16 notification to PJM.

17          Q.       And then does PJM notify others?

18          A.       I'm not sure who you mean by "others."  
19 There's a defined process that PJM runs for  
20 generation deactivations, and I don't know the, all  
21 the particulars about it, but there's a 90-day notice  
22 provision and PJM will immediately go into action to  
23 do certain things to address the requests by the  
24 generator to retire.

1           One of those things it will do is it will  
2       look at reliability impacts of that generator  
3       retiring.

4           Q.       And if we can turn to page 6 of your  
5       testimony, lines 19 to 20. You use the words  
6       "equivalent generation." Can you explain to me what  
7       you meant by that?

8           A.       Basically a megawatt-per-megawatt  
9       exchange. We're looking to balance out the  
10      generation that's retired with new generation being  
11      added.

12          Q.       And that relates to the conversation we  
13      had I think very early on about the capacity being  
14      added in was roughly equivalent to the capacity  
15      retired?

16          A.       Yes.

17          Q.       The 2019 RTEP case that you started your  
18      impact study with, that included already-planned  
19      transmission upgrades as of 2019; is that correct?

20          A.       Yeah, all transmission upgrades that were  
21      planned to go in service by 2019 should be in the  
22      case.

23          Q.       Now, does that mean, therefore, that there  
24      could be planned transmission upgrades beyond that

1 would -- let me start again.

2 Does that mean that there are possibly  
3 planned transmission upgrades that would not go into  
4 affect until after 2019 that would have not been  
5 incorporated into your impact study?

6 A. Not that I'm aware of.

7 MR. MILLER: Let's go off for a minute.

8 (Off the record.)

9 MR. MILLER: Why don't we go back on the  
10 record, and Gretchen, you can continue.

11 Q. Thank you. If we can turn to page 10 of  
12 your testimony, lines 9 through 12.

13 A. Okay.

14 Q. You refer to additional at-risk  
15 generations. What are you referring to there?

16 A. The concern here is that there may be  
17 other generators. In particular there's some  
18 FirstEnergy generators that are units at risk. And  
19 so we go back to the same concern I have, that we had  
20 with the MATS is there's other generation that's  
21 going to retire at the same time. It just heightens  
22 our concern about what the combined affect of the  
23 retirements will be.

24 Q. Is there any other generations besides the

1 FirstEnergy generation that you were thinking of with  
2 that reference?

3 A. No, I don't think so. It was more of a  
4 general statement with the experience we had here in  
5 Ohio and now it looks like we got the potential to  
6 repeat it so it gets me concerned again.

7 Q. I'm flipping through to make sure I don't  
8 have anything else. That may be it, just one moment.

9 Those are all the questions. Thank you  
10 very much, Mr. Bradish.

11 A. Sure, you're welcome.

12 MR. MILLER: Kevin, I think you're up.

13 --|--

14 EXAMINATION

15 BY MR. MOORE:

16 Q. Hi, Mr. Bradish, my name's Kevin Moore, I  
17 represent the Ohio Consumers' Counsel.

18 A. Hello, Kevin.

19 Q. Can you hear me okay?

20 A. Yes.

21 Q. If you have any problems, just let me  
22 know.

23 MR. MILLER: Kevin, it's Chris, and I'm  
24 hearing myself twice. Maybe are you on speaker?

1 MR. MOORE: Yeah.

2 MR. MILLER: Is it possible to pull off of  
3 it, I think we're getting some feedback.

4 MR. MOORE: Is this better?

5 MR. MILLER: You sound taller and better  
6 looking.

7 MR. MOORE: Must have the wrong guy then.  
8 All right, I'll do it from here then.

9 MR. MILLER: Thank you.

10 MR. MOORE: I'm only going have one hand  
11 now.

12 Q. (By Mr. Moore) Earlier you talked about the  
13 PJM generation deactivation process. You said that  
14 the generation would have 90 days or has to give a  
15 90-day notice; is that right?

16 A. I think that's correct.

17 Q. So could you just explain to your  
18 knowledge what PJM does after they receive a notice  
19 of deactivation?

20 A. My understanding they'll do a detailed  
21 reliability analysis to look to see if there are any  
22 problems created on the grid as a result of that  
23 plant retiring. If they find none, then no problem,  
24 you're good to go.



1           If they do find problems, then they inform  
2           the generator of the problems and my understanding  
3           from there is that eventually they will offer the  
4           generator at some point a possible RMR contract to  
5           keep them continually running until they did get the  
6           reliability problems addressed.

7           Q.       How much is the RMR contract worth or for?  
8           How is that determined?

9           A.       I don't have any experience with that. I  
10          don't know.

11          Q.       Do you know how long the RMR contract  
12          lasts for?

13          A.       I don't know that there's a time limit  
14          associated with it. I think if parties agree, it can  
15          last until the transmission upgrades are put in place  
16          that will allow the plant to retire.

17          Q.       Do you know of any reason why a generation  
18          owner would not want to accept an RMR contract?

19          A.       I can't opine on that. I don't have any  
20          particular experience with those contracts.

21          Q.       Okay. Just to be clear, someone might  
22          have asked this earlier, but in conducting your  
23          transmission impact study you used the 2019 RTEP base  
24          case; is that correct?

1           A.       Yes.

2           Q.       And then the RPM 2017-2018 base case  
3 model.

4           A.       It was a sensitivity analysis.

5           Q.       Did you use any other PJM models or cases?

6           A.       No.

7           Q.       Are you familiar with the, I'm sure you  
8 are, the RTEP process?

9           A.       Yes.

10          Q.       Can you explain or describe what the RTEP  
11 process is?

12          A.       Generally speaking, it's a process that  
13 PJM runs through to assess the grid, assess the  
14 reliability performance of grid. And usually what  
15 they do is they look at five years, so in 2014 they  
16 would have put together a case that looks out five  
17 years, that's why we have 2019, and they do an  
18 assessment of the grid to see if there are any  
19 potential liability issues and to the extent there  
20 are, they go through a process where they get those  
21 reliability issues addressed.

22                   Since Order 1000, those part of that  
23 process involves the competitive windows that they  
24 open up to have people compete for solutions on some

1 of the problems that they find, so that's, like I  
2 said, an annual process, it just runs continuously.

3 Q. As part of that process does the PJM study  
4 have a generator retirement that could lead to a  
5 reliability problem?

6 A. Not generally. Usually they don't study  
7 those until the generator tells PJM they want to  
8 retire.

9 Q. And so what types of issues is PJM looking  
10 into in this RTEP planning process?

11 A. Well, they're looking to see if as the  
12 system is modeled in the future if it will pass the  
13 reliability criteria. So they'll run a series of  
14 reliability to make sure it passes the criteria.

15 Q. So, for example, to see if a transmission  
16 line could carry a maximum amount of electricity,  
17 would that be something they'd look at?

18 A. No, they're just, they've got a  
19 representation of what they think the future looks  
20 like based on load forecast and other things and they  
21 just do an assessment to see whether or not the  
22 system as planned or as proposed for 2019 passes the  
23 reliability criteria.

24 So they look to see if all the

1 transmission lines, loading on the transmission lines  
2 are within their ratings, the voltages are within the  
3 appropriate limits, and to the extent they are not,  
4 then folks propose solutions to address those issues.

5 Q. So part of that forward-looking process  
6 does not involve generation retirement?

7 A. Yeah, so PJM does not look at generators  
8 retiring unless the generator tells them they are  
9 going to retire.

10 Q. If you could turn to page 4 of your  
11 testimony, lines 6 through 8.

12 A. Okay.

13 Q. You talk there about exporting of power.  
14 What parts of Ohio are exporters of energy or power?

15 A. I couldn't tell you. It's hard, that's a  
16 hard question to answer. Maybe you could be a little  
17 bit more specific?

18 Q. Okay. Well, I mean, you state that "When  
19 a plant is removed from the system, the specific  
20 location that was historically an exporter of power  
21 now must import power from other parts of the system  
22 to maintain the balance of supply and demand."

23 I'm simply wondering if to your knowledge  
24 you know if a part of Ohio is currently in that

1 exporter of power?

2 A. So if there is a plant there, so back to  
3 what I said in my testimony, if there is a plant  
4 there and the plant goes away, there used to be power  
5 coming from that plant, now there's no power coming  
6 from that plant. So it used to be exporting power  
7 and the point being that the plant is now gone, that  
8 area that that plant was serving is now going have to  
9 import that power from somewhere else.

10 Geographically within the state of Ohio I  
11 don't know all the places that are imported and  
12 exported. You'd have to kind of define the area and  
13 do an assessment of load and generation in that  
14 particular area.

15 There are certain areas within the state  
16 of Ohio where generation seems to be concentrated and  
17 one of those is along the Ohio River in Southeastern  
18 Ohio. There tends to be a lot of generation along  
19 the Ohio River so it tends to -- that part of Ohio  
20 would export but generally you'd have to look at --  
21 you'd have to kind of define the area and look at  
22 load resource balances within those areas to make  
23 that decision.

24 Q. Okay. Would the PJM planning process

1     you've spoken about earlier today account for an  
2     area, a specific location losing a generator and now  
3     instead of exporting having to import power?

4           A.       So again, if a unit retires, then PJM  
5     would absolutely model that unit as retired and so  
6     that area would no longer be exporting, it would be  
7     importing and PJM would model that area as an  
8     importing area.

9           Q.       Okay, thank you.

10                   On page 5, line 2 of your testimony you  
11     state "The fewer options available, the more the grid  
12     is susceptible to swings in power flows, voltage, and  
13     frequency that can lead to system instability."

14                   What do you mean by the "fewer options  
15     available"?

16           A.       So again, here I'm talking about kind of  
17     the sentence before that where I'm talking about  
18     renewable generation and the ability to redispatch.  
19     So as you add additional nondispatchable generation  
20     into the environment and move dispatchable, that  
21     means you have fewer options, fewer dispatchable  
22     units from which you can control the grid.

23                   The grid is a very dynamic process, grid  
24     operations. Every second, every few seconds we are

1 pulsing generators up and down to maintain system  
2 frequency and voltages.

3 So you've got to have a set of resources  
4 on the grid that you can pulse up and down  
5 continuously in order to do that. So as we remove  
6 dispatch from generation and replace it with  
7 nondispatchable generation, we have fewer and fewer  
8 of those resources available to pulse up and down to  
9 maintain the grid.

10 So the issue then is one of you have  
11 concerns then about you can get much higher swings in  
12 power flow, you can get voltage swings, you can get  
13 frequency deviations that you can't manage, and  
14 ultimately those are bad enough we can lead to system  
15 stability problems. So that's in a sense what I'm  
16 talking about.

17 Q. Okay, thank you.

18 I think you spoke about load shedding  
19 earlier with Mr. Fisk. Can you explain how load  
20 shedding impacts our residential load?

21 A. Yeah. It basically cuts the power to that  
22 load.

23 Q. And this is something AEP currently  
24 practices?

1           A.       We only do that in emergency situations.  
2       So the concept there is in situations where your grid  
3       is getting into trouble and you're getting to a point  
4       where you may be, you know, unstable and possibility  
5       of cascading, it's kind of like you want to stop the  
6       cascading so you shed load to prevent the entire  
7       system from cascading. So, no, it is not something  
8       we do on a regular basis, it's used in emergency  
9       situations.

10          Q.       And what tools or mechanisms are put in  
11       place to avoid load shedding then?

12          A.       We build transmission to make sure the  
13       transmission system is robust enough to handle the  
14       changing conditions on the system.

15          Q.       What could be done in an emergency  
16       situation?

17          A.       To avoid load shedding?

18          Q.       Correct.

19          A.       At that point you're stuck with whatever  
20       you got. So --

21          Q.       There's no other -- I'm sorry, go ahead,  
22       finish your answer.

23          A.       No, that's all right.

24                So the operators will do everything in



1     their power before they shed load. So the last  
2     answer is to shed load. So you redispatch the system  
3     as much as you can, you do switching, you try and  
4     reconfigure the system as much as you can to avoid  
5     the problems.

6             So redispatch generation, you'll try and  
7     maybe change some switching configurations to relieve  
8     some problems, but at the end of the day if those two  
9     options don't work for you, the last thing you've got  
10    to control is load. So you can control the supply,  
11    you can control the configuration of the grid, and  
12    then ultimately you can control the load. So the  
13    load is the last option.

14        Q.     Okay. Page 7, lines 18 through 20 of your  
15    testimony, you state that "In some cases, the power  
16    flow models did not converge, which is an indication  
17    of severe system reliability concerns."

18             Can you explain by what you meant by "the  
19    power flow models did not converge"?

20        A.     Basically they can't find a solution  
21    that's acceptable. There's no solution that works.  
22    So literally the program will not solve for those  
23    conditions.

24        Q.     Does that mean that there is not a

1 possible solution in reality or just that this model  
2 that you're running couldn't find one?

3 A. I think there's not a solution that works  
4 for that particular configuration.

5 Q. So what would system planners do in that  
6 situation?

7 A. They will start adding in transmission  
8 reinforcements. So they'll try and assess where the  
9 problem is on the grid, they'll try and find out what  
10 transmission lines may be overloading, what areas  
11 where the voltages are collapsing, and then they'll  
12 try and provide transmission solutions that move  
13 power away from that area.

14 Q. Give me just a minute here.

15 Okay, I have no further questions. Thank  
16 you, Mr. Bradish.

17 A. You're welcome.

18 MR. MILLER: Matt, do you have any?

19 MR. PRITCHARD: I do not.

20 MR. MILLER: I think that leaves to us  
21 Mr. Beeler's question.

22 MR. BEELER: Have a good weekend.

23 MR. MILLER: Is everybody done?

24 MS. FLEISHER: We're good. Thanks,

1 everybody.

2 (Whereupon, at 3:17 p.m., the deposition  
3 was concluded and signature was not waived.)  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

## AFFIDAVIT

State of Ohio )  
 ) SS:  
County of \_\_\_\_\_ )

I, ROBERT W. BRADISH, do hereby certify that I have read the foregoing transcript of my deposition given on Friday, September 25, 2015; that together with the correction page attached hereto noting changes in form or substance, if any, it is true and correct.

\_\_\_\_\_  
ROBERT W. BRADISH

I do hereby certify that the foregoing transcript of the deposition of ROBERT W. BRADISH was submitted to the witness for reading and signing; that after he had stated to the undersigned Notary Public that he had read and examined his deposition, he signed the same in my presence on the \_\_\_\_\_ day of \_\_\_\_\_, 2015.

\_\_\_\_\_  
Notary Public

My commission expires \_\_\_\_\_, \_\_\_\_\_.

--|--

## 1 CERTIFICATE

2 State of Ohio )  
 ) SS:  
3 County of Franklin )

4 I, Julieanna Hennebert, RPR and RMR, the  
undersigned, a duly qualified and commissioned notary  
5 public within and for the State of Ohio, do certify  
that, before giving his deposition, ROBERT W. BRADISH  
6 was by me first duly sworn to testify to the truth,  
the whole truth, and nothing but the truth; that the  
7 foregoing is the deposition given at said time and  
place by ROBERT W. BRADISH; that I am neither a  
8 relative of nor employee of any of the parties or  
their counsel and have no interest whatever in the  
9 result of the action.

10 IN WITNESS WHEREOF, I hereunto set my hand and  
official seal of office on this 28th day of  
11 September, 2015.

12 \_\_\_\_\_  
Julieanna Hennebert, RPR, RMR,  
13 and Notary Public in and for the  
State of Ohio.

14 My commission expires February 19, 2018.

15 (79226-JLH)

16 --|--  
17  
18  
19  
20  
21  
22  
23  
24

**ARMSTRONG & OKEY, INC.**  
**Registered Professional Reporters**  
**222 E. Town St. - 2nd Floor**  
**Columbus, Ohio 43215**  
**614/224-9481**

September 28, 2015

Robert W. Bradish  
c/o Chris Miller  
IceMiller/AEP

Re: In the Matter of Ohio Power Company 14-1693-EL-RDR & 14-1694-EL-AAM

Dear Mr. Robert W. Bradish:

Enclosed is the transcript of your deposition taken on September 25, 2015, for examination pursuant to 4901-1-21(K) of the Ohio Rules of Practice before the Public Utilities Commission of Ohio.

The rule requires that your deposition be read by or to you. Any changes in form or substance which you desire to make shall be entered by me with a statement of the reasons given for making them.

If your deposition is not signed within 10 days of its submission to you, I am required to sign it and state the fact of the refusal to sign with the reason, if any, given therefor; and the deposition may then be used as though signed, unless on a motion to suppress the Commission holds that the reasons given for the refusal to sign require rejection of the deposition in whole or in part. By copy of this letter I am advising the attorneys in the case of the submission of your deposition.

Please have your deposition signed in the presence of a Notary Public and return to us by certified mail.

Thank you for your promptness in this matter.

Sincerely,

ARMSTRONG & OKEY, INC.

Cc: Fisk, Moore

## AFFIDAVIT

State of Ohio )  
 ) SS:  
County of \_\_\_\_\_ )

I, ROBERT W. BRADISH, do hereby certify that I have read the foregoing transcript of my deposition given on Friday, September 25, 2015; that together with the correction page attached hereto noting changes in form or substance, if any, it is true and correct.

\_\_\_\_\_  
ROBERT W. BRADISH

I do hereby certify that the foregoing transcript of the deposition of ROBERT W. BRADISH was submitted to the witness for reading and signing; that after he had stated to the undersigned Notary Public that he had read and examined his deposition, he signed the same in my presence on the \_\_\_\_\_ day of \_\_\_\_\_, 2015.

\_\_\_\_\_  
Notary Public

My commission expires \_\_\_\_\_, \_\_\_\_\_.

--|--

## ERRATA SHEET

Please do not write on the transcript. Any changes in form or substance you desire to make should be entered upon this sheet.

### TO THE REPORTER:

I have read the entire transcript of my deposition taken on the \_\_\_\_\_ day of \_\_\_\_\_, \_\_\_\_\_, or the same has been read to me. I request that the following changes be entered upon the record for the reasons indicated. I have signed my name to the signature page and authorize you to attach the same to the original transcript.

Page	Line	Change	Reason

Date \_\_\_\_\_ Signature: \_\_\_\_\_





## 1 CERTIFICATE

2 State of Ohio )  
3 County of Franklin ) SS:

4 I, Julieanna Hennebert, RPR and RMR, the  
5 undersigned, a duly qualified and commissioned notary  
6 public within and for the State of Ohio, do certify  
7 that, before giving his deposition, ROBERT W. BRADISH  
8 was by me first duly sworn to testify to the truth,  
9 the whole truth, and nothing but the truth; that the  
foregoing is the deposition given at said time and  
place by ROBERT W. BRADISH; that I am neither a  
relative of nor employee of any of the parties or  
their counsel and have no interest whatever in the  
result of the action.

10 IN WITNESS WHEREOF, I hereunto set my hand and  
11 official seal of office on this 28th day of  
September, 2015.

12   
13 Julieanna Hennebert, RPR, RMR,  
14 and Notary Public in and for the  
State of Ohio.



15 My commission expires February 19, 2018.

16 (79226-JLH)

17 --|--  
18  
19  
20  
21  
22  
23  
24

**This foregoing document was electronically filed with the Public Utilities**

**Commission of Ohio Docketing Information System on**

**9/29/2015 3:03:30 PM**

**in**

**Case No(s). 14-1693-EL-RDR, 14-1694-EL-AAM**

Summary: Deposition of Robert W. Bradish electronically filed by Mr. Tony G. Mendoza on behalf of Sierra Club