

BEFORE THE PUBLIC UTILITIES COMMISSION OF OHIO

- - -

In the Matter of the :
Commission's Review of : Case No. 12-2050-EL-ORD
Chapter 4901:1-10 of the :
Ohio Administrative Code. :

- - -

PROCEEDINGS - ORAL ARGUMENTS

before Chairman Asim Z. Haque, Commissioners M. Beth
Trombold, Thomas W. Johnson and Daniel R. Conway,
and Mr. Gregory Price and Ms. Patricia A. Schabo,
Attorney Examiners, at the Public Utilities
Commission of Ohio, 180 East Broad Street, Room 11-B,
Columbus, Ohio, called at 1:45 p.m. on Wednesday,
January 10, 2018.

- - -

ARMSTRONG & OKEY, INC.
222 East Town Street, 2nd Floor
Columbus, Ohio 43215-5201
(614) 224-9481 - (800) 223-9481

- - -

1 APPEARANCES:

2 One Energy Enterprises LLC
3 By Ms. Katie Johnson Treadway
4 12385 Township Road 215
5 Findlay, Ohio 45840

6 On behalf of One Energy Enterprises LLC.

7 The Dayton Power and Light Company
8 By Mr. Michael J. Schuler
9 1065 Woodman Drive
10 Dayton, Ohio 45432

11 On behalf of The Dayton Power and Light
12 Company.

13 Environmental Law & Policy Center
14 By Ms. Madeline Fleisher
15 21 West Broad Street, 8th Floor
16 Columbus, Ohio 43215

17 On behalf of the Environmental Law &
18 Policy Center.

19 Ohio Environmental Council
20 By Ms. Miranda Leppla
21 1145 Chesapeake Avenue, Suite I
22 Columbus, Ohio 43212

23 On behalf of the Ohio Environmental
24 Council.

25 FirstEnergy Service Company
26 By Mr. Robert M. Endris
27 76 South Main Street
28 Akron, Ohio 44308

29 On behalf of Ohio Edison Company,
30 The Cleveland Electric Illuminating
31 Company, and The Toledo Edison Company.

1 APPEARANCES: (Continued)

2 Bruce J. Weston, Consumers' Counsel
3 Office of the Ohio Consumers' Counsel
4 By Mr. Christopher Healey,
5 Assistant Consumers' Counsel
6 65 East State Street, 7th Floor
7 Columbus, Ohio 43215

8 On behalf of Ohio's residential utility
9 customers.

10 IGS Energy
11 By Mr. Joseph Oliker
12 6100 Emerald Parkway
13 Dublin, Ohio 43016

14 On behalf of IGS Energy.

15 American Electric Power Service Corporation
16 By Mr. Steven T. Nourse
17 1 Riverside Plaza, 29th Floor
18 Columbus, Ohio 43215

19 On behalf of Ohio Power Company.

20 - - -

21 ADDITIONAL SPEAKERS FROM THE AUDIENCE:

22 Mr. Robert Beeler, DP&L
23 Mr. Eric Brown, DP&L

24 - - -

4 CHAIRMAN HAQUE: Okay. Let's go back on
5 the record and begin the oral argument portion of
6 today's meeting.

7 The Commissioners and I would like to
8 welcome you all to today's oral argument regarding
9 Case No. 12-2050-EL-ORD, being In the Matter of the
10 Commission's Review of Chapter 4901:1-10 of the Ohio
11 Administrative Code, Net Metering.

12 I will note Commissioner Friedeman is
13 recused from this proceeding which is why there's an
14 empty seat here.

15 This afternoon's oral arguments will be
16 conducted in accordance with the Commission's Entry
17 that was issued on December the 21st, 2017. As
18 stated in the Entry, the Commission has invited those
19 entities who filed an Application for Rehearing or a
20 Memorandum Contra any such application to
21 participate.

22 All parties will be given 5 minutes to
23 present their arguments, with the exception of the
24 Environmental Advocates which will have 10 minutes.
25 After each argument, the Commissioners will have an

1 opportunity to pose questions. After all parties
2 have presented their arguments, each party will have
3 1 minute of rebuttal. And just for clarification,
4 the Environmental Advocates are being given more time
5 because there were many of them collapsed into one
6 rehearing application.

7 We ask that counsel speak clearly into
8 the microphone, so his or her voice will be audible
9 to the Commissioners, as well as our court reporter,
10 and those viewing the webcast on the Commission's
11 website. Counsel will receive a warning from the
12 Legal Director or Attorney Examiners if they proceed
13 beyond the scope of these oral arguments or if they
14 are running short on time.

15 The order of today's arguments will be,
16 first of all, One Energy, then Dayton Power and
17 Light, then the Environmental Advocates, then
18 FirstEnergy, then the Ohio Consumers' Counsel, then
19 IGS, and finally AEP Ohio. Rebuttal will occur in
20 the same order.

21 So let's go ahead and begin with One
22 Energy. Ms. Johnson.

23 You got married and you have another last
24 name, right?

25 MS. TREADWAY: I do now. It's Treadway.

1 CHAIRMAN HAQUE: Sorry.

2 MS. TREADWAY: That's all right.

3 CHAIRMAN HAQUE: Ms. Treadway.

4 MS. TREADWAY: I kept both so you can use
5 either.

6 CHAIRMAN HAQUE: Okay. Very good.

7 Welcome.

8 MS. TREADWAY: Thank you.

9 Good afternoon, Commissioners. My name
10 is Katie Treadway, and I am the Head of Regulatory
11 Affairs for One Energy Enterprises.

12 One Energy is a Findlay, Ohio
13 headquartered company that develops, installs, and
14 operates Wind for Industry® projects. One Energy is
15 responsible for more net metered wind projects in the
16 State of Ohio than everyone else combined. We have
17 helped write some of the Interconnection Standards
18 that are currently in use by Ohio utilities and have
19 been strong proponents of utilities strictly
20 enforcing IEEE 1547 and the standards that govern
21 interconnections.

22 The reason we are intervening at this
23 level currently is because of a very specific clause
24 that was introduced into the final rule language by
25 surprise. The sole focus of my testimony today is

1 based on the revised definition of "premises" that
2 was inserted into the final rule.

3 The revised rule inserts an additional
4 condition into the definition of "premises." It
5 requires that a lot is only a contiguous lot if the
6 utility agrees that it is safe to use that lot on a
7 case-by-case basis.

8 The revised rule directly attacks net
9 metering systems that cross easements and
10 rights-of-way.

11 The revised rule is unlawful, it is
12 unreasonable, it is impractical, and it is
13 unnecessary.

14 The revised rule is unlawful. The
15 revised rule is unlawful because it is vague. It
16 does not reference any standards to decide what is
17 safe. It is unlawful because its grants utilities
18 regulatory authority over other companies' electrical
19 systems in a manner that has nothing to do with grid
20 performance or reliability. It is unlawful because
21 it infringes on private property rights of
22 municipalities and private landowners.

23 The revised rule is unreasonable. The
24 revised rule is unreasonable because it gives
25 utilities unfettered authority to create new

1 standards on a case-by-case basis and apply those
2 standards to the very companies that are challenging
3 their business model.

4 It is unreasonable because it gives them
5 authority over a process that they, themselves, are
6 subject to. It is unreasonable because it gives them
7 the ability to make it harder on us than it is on
8 them.

9 The revised rule is impractical. The
10 revised rule is impractical because the utilities'
11 allegations that crossing easements or rights-of-way
12 creates unsafe conditions is an admission that they,
13 themselves, create unsafe conditions since they must
14 follow the same rules that we follow.

15 The rule is impractical because the
16 modern real estate world is complicated. Take, for
17 example, Ohio's beloved Toledo Zoo. The Toledo Zoo
18 consists of over 30 parcels of land that house the
19 zoo's parking lots, pedestrian walkways,
20 amphitheaters, restaurants, and animal facilities.

21 Not unusually, the Toledo Zoo, itself,
22 doesn't own all of the land the zoo sits on. Part of
23 it's owned by the City of Toledo and the Norfolk
24 Southern Combined Railroad, among others. In
25 addition, walking paths for the zoo cross a number of

1 streets including the Anthony Wayne Trail, a state
2 route, Broadway Street, Marlboro Street, and even a
3 railroad track. In addition, utility easements are
4 ubiquitous throughout the zoo.

5 The Toledo Zoo has solar panels. Under
6 the new rule, the electric utility would potentially
7 have the discretion to decide if the entire zoo was
8 safe just so it could install those solar panels.

9 The revised rule is unnecessary. The
10 revised rule is unnecessary because there are already
11 protections in place to protect the public. The
12 crossing of easements and rights-of-ways is already
13 heavily regulated by the Board of Building Standards,
14 building inspectors, county, township, and local
15 zoning authorities and commissions, private
16 landowners, railroads, other utilities, and literally
17 hundreds of years of industry practice and case law.

18 But luckily, there is a simple answer
19 that is not unlawful, there is a simple answer that
20 is not unreasonable, there is a simple answer that is
21 not impractical, and there is a simple answer that is
22 not unnecessary. The answer is to leave the
23 definition of "premises" just like it was in the
24 Commission's 2015 Order.

25 Using the revised definition of

10

1 "premises" guarantees a legal challenge to this rule.
2 And the very fact the utilities are insisting on this
3 language is just one more attempt by them to try to
4 protect their business model.

5 We are not unsafe. We are a threat to
6 their business model. That is why they're trying to
7 attack our ability to work with large commercial and
8 industrial customers and they are couching that
9 attack in a veil of unsupported safety claims. That
10 is why the Commission should adopt its 2015 Order's
11 definition of "premises."

12 I'm happy to take your questions.

13 CHAIRMAN HAQUE: Okay. Thank you.

14 Ms. Treadway, I think this -- it would be
15 helpful to us up here, could you -- could you just
16 walk us through a practical example, I know you used
17 the Toledo Zoo, but walk us through a practical
18 example whereby you start with a parcel of land,
19 assumedly the metered point is at that parcel, and
20 then you've got contiguous pieces.

21 This is, you know, one -- talk to us
22 about One Energy's business model. And so you would
23 start with -- you would start with conceivably, or
24 maybe you don't actually put solar panels on a
25 facility on the metered -- on the -- on the parcel of

1 land with the metered point. Maybe you want to --
2 maybe you want to put solar panels on a contiguous
3 parcel.

4 So talk to us about, you know, what you
5 would do. Let's assume that -- let's assume -- let's
6 assume both ways. Let's assume that you get your --
7 you get your desired definition versus how you would
8 proceed if you had to ensure that the utility decreed
9 that it's not unsafe and hazardous to put solar
10 panels on a -- on the roof of a parcel, a contiguous
11 parcel.

12 MS. TREADWAY: Absolutely. So first I'll
13 start by explaining how we would proceed under the
14 Commission's 2015 rule and then how we would proceed
15 under the rule that is proposed in December -- or, in
16 November of 2017.

17 So essentially our business model, we
18 install utility-scale wind turbines on industrial
19 facilities. So these turbines are large, so we
20 locate them a distance away from the facility itself.
21 Other types of net metering technologies also have --
22 can be located a distance from an industrial
23 facility. Solar panels sometimes are in a solar
24 field. Hydro power is another example of a type of
25 resource that would have to be located away from the

1 customer's actual facility.

2 So all of our customers' facilities are
3 complicated. So these are often large industrial
4 complexes. These real estate -- these pieces of real
5 estate, the structures of that real estate are
6 basically the result of hundreds of years of real
7 estate transactions.

8 So we've had some facilities where it's
9 the Port Authority who owns the facility. We've had
10 it where it's a developer, like CBRE, that owns the
11 facility and then the industrial just rents from
12 them. So there's all sorts of arrangements, both
13 from a real estate perspective and from a
14 transactional perspective that make it very
15 complicated of how an actual industrial facility is
16 laid out and made. So --

17 CHAIRMAN HAQUE: Got it. Yeah. So --
18 so -- so the -- the -- the potential -- so let's just
19 say the structure or the place where people are going
20 into is on a parcel where the metered point is. But
21 you've got a wind turbine --

22 MS. TREADWAY: Right.

23 CHAIRMAN HAQUE: -- so you're going to
24 want to place the wind turbine in a -- in a
25 contiguous parcel that maybe is deep into the

13

1 contiguous parcel so as to avoid any interference
2 with that structure, okay?

3 MS. TREADWAY: Correct.

4 CHAIRMAN HAQUE: So then what is the,
5 from just purely a technology standpoint, what, like
6 what are the, what are the facilities, what are the
7 wires, what are the hookups that go from that, that
8 wind turbine to the metered point and is that
9 arguably distribution stuff.

10 MS. TREADWAY: So all of our facilities
11 are clearly behind the meters. They don't mark the
12 distribution grid; that is a traditional, you know,
13 utility's domain, the traditional distribution grid.
14 All of it is essentially behind the customer's meter
15 with the utility. So it's essentially part of, and
16 interconnected with, the industrial customer's
17 facility itself.

18 The various structures that make up the
19 technology that involve, is part of those systems,
20 includes the turbine itself, transformers, switching
21 stations, and collection lines that run to the
22 industrial facility. So essentially it takes that
23 power from the turbine and delivers it to the
24 customer-generator's facility. So it's a wire.

25 And essentially the practical process of

1 how we go through that now is that if, you know, that
2 piece of real estate has an easement on it, for
3 example a lot of industrial facilities have railroads
4 nearby. So, for example, if it was a requirement for
5 us to cross that railroad, if whoever the owner of
6 that railroad is, we have to go to them for
7 permission.

8 So, for example, CSX is a railroad we've
9 often had to, been required to cross a line of. So
10 we have to go to CSX. CSX has a wireline occupancy
11 manual that we have to adhere to. It's approximately
12 40 to 50 pages. It requires us to submit detailed
13 engineering drawings. Those detailed engineering
14 drawings have to be accepted by the engineers at CSX;
15 once they are, they review those drawings for safety.
16 Then they give us the go-ahead to actually conduct
17 the work. While we're doing the work, they inspect
18 the facilities, they make sure they're safe. And
19 they eventually, if we satisfy all of their
20 parameters, they go ahead and grant that permit.

21 There are very unique considerations that
22 have to be taken into account when you go underneath
23 or over a railroad and that's why it's important that
24 the utility -- or, the railroad, who has the
25 expertise over that, is able to govern that process

1 and ensure that every crossing that does take place
2 at a railroad is safe.

3 So the same process exists any time we
4 have to cross a roadway that's around an industrial
5 facility or if there's a pipeline around an
6 industrial facility. Whoever is the owner of that
7 piece of private property has to give us explicit
8 permission to cross that or else we essentially can
9 jeopardize the entire project.

10 CHAIRMAN HAQUE: Okay. And let me just
11 ask one more question. I'm sorry I have so many
12 questions --

13 MS. TREADWAY: No --

14 CHAIRMAN HAQUE: -- for you, but you're
15 one of the only parties arguing on this issue, so.

16 MS. TREADWAY: Yup.

17 CHAIRMAN HAQUE: Can you -- can you marry
18 for me the concepts of the Commission's language in
19 the rule, which is "unsafe" and "hazardous," and
20 that's the standard that the Commission would utilize
21 or that the EDU would utilize, which could eventually
22 come to the Commission in some form of a complaint,
23 I'm guessing, if they -- if you felt like they
24 unreasonably withheld their consent to you utilizing
25 this contiguous parcel.

1 Can you marry that with the whole public
2 thoroughfare, right-of-way issue? Because I think
3 from what I'm understanding from what you just said,
4 it's that the utility would potentially be abridging
5 the rights of those who hold, for instance, the
6 easement or the public right-of-way? Not abridging.
7 I mean, it potentially could be a cog in your
8 business model, right, but not necessarily, you know,
9 abridging a property right there.

10 So can you marry those concepts? I mean,
11 what the Commission said is if this is not safe or if
12 this is hazardous, then the EDU's got to say, "Hey,
13 this is not safe and not hazardous." Potentially you
14 find another methodology to do it. But I'm
15 interested in that standard that has been created and
16 marrying that to your argument associated with the
17 right-of-way, public thoroughfares, et cetera.

18 MS. TREADWAY: So again, this area is
19 comprehensively regulated, so we don't think there
20 necessarily needs to be an overlay with respect to
21 that.

22 I would say that the term "safety" and --
23 of "unsafe" and "hazardous" as it's used is of
24 particular concern because unlike the interconnection
25 rules which holistically deal with safety, as opposed

1 to the net metering rules which do not, they
2 reference specific standards and specific actions
3 that must be taken. UL 1741, IEEE 1547, the National
4 Electric Code. These aren't ambiguous, unclear
5 standards that are just whatever comes out of the
6 utilities' minds. These are written standards that
7 we understand, that we can understand going into
8 things so that we can ensure that we are satisfying
9 those standards prior to the project even starting.

10 We want to ensure these facilities are
11 safe as well, but if we don't know what standard the
12 utility is going to apply to determine what's safe
13 and what's -- or what's hazardous, then we can't
14 possibly adhere to that standard. Instead, it allows
15 them to just make it up on a case-by-case basis to
16 either allow us to go forward or not.

17 So we already have to go through a very
18 intricate process with the utility. We work with
19 them constantly on how to design an interconnect that
20 will not impact the grid whatsoever, that will ensure
21 the safety and the reliability of the electric grid.

22 What the utility doesn't do is tell us
23 how to build a wind turbine. What they don't do is
24 tell us how to construct a foundation or how to build
25 a roadway.

1 Now, we just want to make sure that the
2 utilities' authority is clearly where it is most
3 effective and where it currently lies, which is with
4 the interconnection itself and protecting the
5 distribution system; not overreaching into an
6 already-existing comprehensive regulatory framework
7 that determines how people can construct things on
8 their own properties.

9 CHAIRMAN HAQUE: Okay. Other questions?

10 Commissioner Conway.

11 COMMISSIONER CONWAY: Thank you.

12 Ms. Treadway, as I understand your
13 position, it's okay for the utilities to be concerned
14 about, and to review and either approve or not
15 approve your -- your clients' facilities as long
16 as -- as far as it's -- as long as it's limited to
17 the manner in which it affects the utility's side of
18 the interconnection. Is that a fair way to describe
19 what your position is?

20 MS. TREADWAY: Yes. The manner in which
21 it affects, yes, the distribution grid and the safety
22 and reliability of that grid.

23 COMMISSIONER CONWAY: So would -- would
24 you -- I've got Dayton's Memorandum Contra comments
25 in mind as I'm asking these questions. And I'm sure

1 you've read their -- not their comments -- but their
2 Memorandum Contra, right?

3 MS. TREADWAY: Correct.

4 COMMISSIONER CONWAY: So do you agree
5 with their view that at least to the extent that they
6 address this topic, that it would be appropriate for
7 the utilities to review what your clients are
8 proposing to do on their side of the interconnection
9 to the extent that it affects and maybe creates
10 an unsafe or hazardous condition on the utility's
11 side of the interconnection, on their system.

12 MS. TREADWAY: So absolutely the
13 interconnection rules specify very explicitly that we
14 have to show to the utility that our facilities
15 satisfy IEEE 1547 and all those other articulated
16 standards so that it will not impact the distribution
17 grid. And we absolutely think it is important in the
18 State of Ohio to ensure that the distribution grid is
19 not negatively affected by these projects.

20 COMMISSIONER CONWAY: So -- yes, it is.

21 CHAIRMAN HAQUE: Can you speak closer to
22 mic because --

23 COMMISSIONER CONWAY: I'm sorry. If
24 there's -- if, in the course of this exercise, you
25 can't hear me, just raise your hand, wherever you are

1 in the room, if you can't hear me, okay? So can you
2 hear me now in the back of the room? No? Well,
3 okay.

4 CHAIRMAN HAQUE: Hold on one second.

5 We're going to -- we might adjust the volume here.

6 COMMISSIONER CONWAY: At least you can
7 hear me.

8 MS. TREADWAY: I can hear you, yes.

9 CHAIRMAN HAQUE: Okay. Let's keep
10 rolling.

11 COMMISSIONER CONWAY: Okay.

12 MS. TREADWAY: I can repeat the question,
13 too, if you'd like or if that helps.

14 COMMISSIONER CONWAY: The -- my question
15 is, to the extent that Dayton has responded to your
16 concerns in their Memorandum Contra, are you in
17 agreement with what they have to say about what the
18 purpose of their review, the utility's review would
19 be, which is, as I understand it, to ensure that
20 whatever you're doing on your side of the meter, the
21 interconnect -- I'm sorry -- your side of the
22 interconnection is not having a hazardous or unsafe
23 consequence on the distribution network itself, the
24 utility's side of the interconnection.

25 MS. TREADWAY: So I would say we do agree

1 -- I don't agree with how it was necessarily worded
2 or framed, but, broadly, we do agree with the
3 perspective that absolutely we should be required to
4 submit plans, and we already do, we submit
5 interconnection applications and all sorts of
6 supporting documentation to ensure that it does not
7 impact the distribution grid.

8 We just believe that this rule as
9 proposed in the 2015 Order -- 2017, I apologize,
10 Order doesn't satisfy that because it's so vague and
11 broad that we can't determine whether they're talking
12 about that interconnection or whether the rule
13 applies to something much broader which could be how
14 the actual facility is constructed, for example, or
15 what the foundation looks like, which is clearly not
16 in the utility's purview.

17 COMMISSIONER CONWAY: So -- so if what we
18 meant in our rule, as far as the standard for the
19 utilities to apply, to determine whether you're
20 presenting an unsafe or hazardous condition is the
21 manner in which Dayton has described it in their
22 Memorandum Contra, are you okay with that as the --
23 as the meaning of the standard in our rule? Is that
24 sufficient --

25 MS. TREADWAY: No, I don't think --

1 COMMISSIONER CONWAY: -- for you?

2 MS. TREADWAY: I don't think we would be
3 comfortable with adopting the language that DP&L
4 suggested. And I honestly don't know what that exact
5 language is, so it's hard --

6 COMMISSIONER CONWAY: All right. That's
7 fair enough.

8 MS. TREADWAY: -- to speak to it today.

9 What we would be content with is moving
10 it to the previous standard that was in the 2015
11 Commission Order, so.

12 COMMISSIONER CONWAY: All right.

13 CHAIRMAN HAQUE: Commissioner Trombold.

14 COMMISSIONER TROMBOLD: Hi. Thanks.

15 Quick question for you. So I'm guessing, you said
16 most -- all of your -- all of the clients that you
17 work with are industrial-based, right?

18 MS. TREADWAY: Yes.

19 COMMISSIONER TROMBOLD: So are those --
20 in all of those situations is there a
21 contiguous-premises issue? Would you say more than
22 not there is? Or can you give me an idea of how
23 often this is an issue then?

24 MS. TREADWAY: I would say in every
25 single instance that we've worked on we've had to

1 cross some sort of easement, some sort of parcel
2 line, or some sort of roadway/railway right-of-way on
3 these industrial facilities. They're just so
4 complicated from a real estate standpoint. It's
5 virtually impossible to avoid.

6 COMMISSIONER TROMBOLD: Okay. Thank you.

7 MS. TREADWAY: Uh-huh.

8 CHAIRMAN HAQUE: Commissioner Johnson.

9 COMMISSIONER JOHNSON: Thank you for your
10 testimony. Now, when I think of One Energy, I think
11 of wind. And I think that -- and when I think of
12 this requirement, I think of solar, I think of wind,
13 I think of a lot of different areas. I wonder if
14 there's any separation in your mind between, for
15 example, solar operators and wind operators, I mean
16 as far as this provision about the safety interests
17 and the utilities.

18 MS. TREADWAY: I would say no, I wouldn't
19 treat any of the resources differently. All
20 behind-the-meter, you know, DG companies have a
21 responsibility to ensure a safe interconnection with
22 the grid, and to ensure that the safety and the
23 reliability of the grid is not affected.

24 I think that for some resources it may be
25 easier to site them closer to the facility, but

1 that's certainly not the case in all instances. And
2 so no, I wouldn't, I wouldn't treat this rule
3 differently for any of the resources.

4 COMMISSIONER JOHNSON: And I also wonder
5 if, if you think all companies are the same like
6 yours. Are they pretty much all, all of them as
7 reputable, all of them as, as doing as good a job in,
8 in making sure that safety is, you know, a number one
9 priority?

10 MS. TREADWAY: Not necessarily. And
11 that's why the Commission's interconnection rules are
12 so important. That's why it is so important that
13 when someone is interconnecting a facility like this,
14 they follow those rules and that the utility insists
15 that they strictly adhere to those rules. It's
16 absolutely essential for the safety and reliability
17 of the grid.

18 And that's why it's essential that the
19 authorities, the local authorities that do have
20 authority, the building inspectors, the Board of
21 Building Standards, that they do ensure that those
22 practices are safe. That -- that system and that
23 regulatory framework is in existence to protect that
24 safety and that's why it's there.

25 CHAIRMAN HAQUE: Attorney Examiners?

1 Nothing?

2 Okay. Ms. Treadway, thank you very much.

3 We'll see you on rebuttal maybe.

4 MS. TREADWAY: Thank you.

5 CHAIRMAN HAQUE: Okay.

6 MS. TREADWAY: Sounds good.

7 CHAIRMAN HAQUE: Thank you.

8 Okay. Next up we have Dayton Power and
9 Light.

10 MR. SCHULER: Mr. Chairman, Honorable
11 Commissioners, Attorney Examiners, and the PUCO
12 Staff, I am Michael Schuler, I represent the Dayton
13 Power and Light Company.

14 Dayton Power and Light maintains that the
15 -- we support the rules as they are written in the
16 November 2017 Order from this Commission. We believe
17 that the rules maintain a delicate balance of all the
18 many different interests that have been involved in
19 this case, that have been fleshed out over more than
20 half a decade. We believe they strike a delicate
21 balance that both encourages the development of
22 distributed generation as required by 4928.02(C),
23 while also ensuring reasonable limits to ensure safe
24 and reliable service.

25 I'd like to focus on two examples that

1 really exemplify this delicate balance as set forth
2 in the November 17 Order.

3 The first is how net readings and credits
4 are calculated. Unless the Commission orders
5 otherwise on an Entry on Rehearing with further
6 clarification, (B) (9) (a) and (b) demand that a
7 customer-generator, for up to 100 percent of their
8 energy requirements, the bill calculation will be
9 determined not just on a generation component, but
10 also on the volumetric transmission and distribution
11 components as well. We see this as a tremendous
12 benefit for customer-generators that will also induce
13 and encourage the development of distributed
14 generation in Ohio.

15 We believe that this is balanced with
16 reasonable limitations on excess generation, such
17 that credits for excess generation are limited to
18 energy-only credits for SSO and only for SSO
19 customers.

20 You know, as probably talked about quite
21 a bit in a lot of the briefing, the net metering
22 rules are designed not to encourage excess
23 generation, but it does happen. In fact, DP&L has
24 probably about 20 customers that are already
25 excess-generators. We expect to see more of those

1 with the 120 percent sizing rule.

2 But I raise this because DP&L is in a
3 unique situation with their tariffs and our current
4 competitive bid service in that we, unlike the rest
5 of the utilities, have an energy-only component to
6 our SSO bids and our tariffs. So if the rules were
7 to be changed to a capacity credit as well, it would
8 put us in a bit of a unique position of having to
9 somehow figure out how we would operate under our
10 current existing tariffs. So this is a great example
11 of how the Commission's November 17 Order really
12 balanced all interests involved.

13 Perhaps the best example was what was
14 just discussed up here with Ms. Treadway, is the
15 delicate balance of how the Commission addressed the
16 differing viewpoints on net metering with contiguous
17 properties.

18 Obviously, the EDUs expressed a lot of
19 concern about having any net metering on contiguous
20 properties because of safety and reliability
21 concerns; while a lot of the other parties in the
22 case expressed concern about not -- about stifling
23 the opportunity of installing distributed generation
24 in Ohio.

25 We believe that the rules from the

1 November 17 Order really strike a good balance and an
2 evenhanded approach by allowing net metering on
3 contiguous properties, while also keeping the EDU as
4 part of the process to ensure that safety and
5 reliability will be maintained on the distribution
6 grid.

7 Now, One Energy only talked about one of
8 their issues, but they actually have two issues with
9 the language contained in the rules from the
10 November 2017 Order.

11 The first is they are seeking additional
12 language to permit net metering on contiguous
13 properties that are not necessarily contiguous.
14 Specifically, they're looking at easements and
15 right-of-ways, and there's been a discussion up here
16 already about this, but we view this as not a
17 contiguous property and would encourage the
18 Commission not to adopt these additional -- this
19 additional wording.

20 By definition, "contiguous" means
21 adjacent to. And by inserting a right-of-way from a
22 third party, they're no longer adjacent properties.

23 In addition to that, as One Energy has
24 brought up, this introduces another party to an
25 already very complicated process that obviously we've

1 all come to know over the last five years. So, for
2 that reason, we do not believe that the additional
3 language should be added.

4 One Energy also spent a lot of time
5 talking up here about removing the language that
6 allows the utilities to have a voice in whether net
7 metering infrastructure on contiguous properties
8 present an unsafe or hazardous condition. And we
9 would -- we would submit that that language should
10 remain in there.

11 As -- as Ms. Treadway mentioned, the
12 utility is -- and also in their papers -- that we are
13 the gatekeeper as the EDU and we obviously control
14 the interconnection. But it doesn't just stop there.
15 As some of the discussion we had up here, how the
16 energy gets to the interconnection is also a concern
17 of safety and reliability for everyone involved,
18 customers, the utility workers, and could have an
19 impact on the distribution utility's grid.

20 Ultimately, we expect that -- I think One
21 Energy expects the Commission to just trust that
22 these third parties have sufficient safeguards out
23 there and have more, you know, more expertise than
24 the utility, but we would take issue with that
25 particular position.

1 So, for that reason, we believe that the
2 rules are appropriate as set forth in the November 17
3 Order. It allows customers to install their own
4 generation, but if they wish to put energy back onto
5 the distribution utility's grid, the utility should
6 have a say at the table.

7 CHAIRMAN HAQUE: Thank you, Mr. Schuler.

8 So a question on the premises issue.

9 MR. SCHULER: Sure.

10 CHAIRMAN HAQUE: I think we can probably
11 craft the rule, when we are talking about contiguity,
12 we could craft the rule based upon some of the
13 concerns associated with property rights and what may
14 get in the way with contiguity.

15 But look, more so from a policy
16 perspective, when we're talking about safety, so if
17 DP&L reviewed a project that came its way from One
18 Energy, what would you be looking for, what would you
19 be looking for when you reviewed this project, you're
20 trying to determine if there was a safety or a hazard
21 that would -- that would -- that would do harm to the
22 distribution grid?

23 MR. SCHULER: Mr. Chairman, I think -- I
24 hate to answer it this way, but it's very difficult
25 to have an answer for this question and that's why we

1 thinks it does need to be a case-by-case basis. It
2 really depends on what we would be faced with.

3 They talked about the Toledo Zoo here
4 today with windmills and very experienced entities
5 involved, but these rules apply across the entire
6 state with all EDUS and all customers, with solar,
7 wind, and other types of generation. So it -- it
8 really is difficult to answer it in a sweeping manner
9 which is actually the very reason why we believe the
10 language should remain in there that we need to be a
11 part of that process to determine on a case-by-case
12 basis.

13 CHAIRMAN HAQUE: Okay. And then a
14 question about the -- the payment for excess
15 generation and the debate between energy only or
16 energy plus capacity. So if it's the policy of this
17 State to advance net metering, why shouldn't we allow
18 for a payment for excess generation that includes
19 capacity?

20 MR. SCHULER: Your Honor, for -- well,
21 for a couple of reasons. The first, obviously, our
22 reading of the Revised Code is that, you know, net
23 metering is designed for a specific purpose and
24 that's to net out what is received and what is put
25 back onto the grid. There are other ways for

1 customers to produce generation. We would -- we
2 would hate to see net metering essentially become
3 just another way to do generation in Ohio.

4 And then also more specifically from
5 DP&L's perspective, like I alluded to, it could
6 potentially create some problems with the tariffs
7 that we just recently filed and were approved by the
8 Commission because of the fact that we don't have a
9 capacity component. So for both our own selfish
10 reasons, but also from a higher-level policy reason,
11 we believe that it should be energy only.

12 CHAIRMAN HAQUE: Okay. Other questions
13 from the bench?

14 Mr. Johnson.

15 COMMISSIONER JOHNSON: Thank you very
16 much.

17 You mentioned about the, I think you said
18 20 customers that were producing excess amount of
19 energy. I wondered, are those solar customers?

20 MR. SCHULER: Sorry. I was looking back
21 at my team, Mr. Commissioner. Yeah. Yes, I believe
22 they are solar customers.

23 COMMISSIONER JOHNSON: Okay. And -- and
24 I wondered if you had other numbers as far as, you
25 know, this, this Order and how many it would affect

1 and is there any -- I'm not even sure whether you
2 would -- it's going to cost you more or it's costing
3 you -- would cost you less, as far as the company is
4 concerned, the way it's written right now?

5 MR. SCHULER: Just to make sure I
6 understand your question, Mr. Commissioner. When
7 you're referring to "costs," are you referring to the
8 implementation of net metering or are you talking
9 about a different type of costs?

10 COMMISSIONER JOHNSON: I'm talking about
11 the -- I guess maybe it's in question form. Is there
12 an additional cost that this Order would cause, and
13 that would be implementing it, it would be operating
14 it.

15 MR. SCHULER: Yeah, there certainly will
16 be additional costs. I think that was addressed in
17 the Commission's November 2017 Order that we can come
18 in and seek recovery of those costs. But you've
19 identified a good portion of them. They will be the
20 implementation. Obviously with these rules going in,
21 we will expect to see more of this. We will need to
22 automate the processes -- they will -- or invest a
23 lot of extra manual labor, but we intend to automate
24 the processes which will require obviously some
25 costs.

1 And there will be other things I think
2 that we alluded to in our Memo Contra, the, you know,
3 the effect on distribution revenues as a result of
4 net metering. So yes, there will be some costs. We
5 have not been able to quantify that yet, as we're
6 still working on implementation, but yes, there will
7 be.

8 COMMISSIONER JOHNSON: And do you have an
9 idea of how many customers we're talking about at
10 DP&L?

11 MR. SCHULER: Total number of customers
12 or who might implement net metering? Our -- our
13 total number of customers is about 520,000 customers.
14 But how many customers may implement net metering, I
15 don't know that that's something we can project.

16 Obviously, I think customers are probably
17 starting to analyze what these rules may mean to them
18 and whatever other incentives they might have out
19 there to install their own generation and distribute
20 it back onto the grid. So it's -- it's difficult at
21 this point and nor do I have a number to project how
22 many customers will take advantage of net metering.

23 COMMISSIONER JOHNSON: Well, would you
24 say at the present time it would be insignificant?

25 MR. SCHULER: Of how many will --

1 COMMISSIONER JOHNSON: Yeah.

2 MR. BEELER: 350 currently.

3 MR. SCHULER: We do have -- yeah, I want
4 to make sure I got the numbers right up here. We do
5 currently have about 350 customers --

6 COMMISSIONER JOHNSON: Okay.

7 MR. SCHULER: -- that do net metering.

8 Certainly we would expect that to grow
9 now that customers have a little more understanding
10 of what they can expect, their expectations, they can
11 plan their systems, especially now with the
12 understanding that it can be sized at 120 percent,
13 that will certainly, I would imagine, induce
14 customers to implement distributed generation and,
15 once again, a reason why we believe these rules are a
16 very good balance of all interests involved.

17 COMMISSIONER JOHNSON: Thank you.

18 CHAIRMAN HAQUE: Just a quick follow-up.
19 Of the 320, what's -- what's the customer class
20 breakdown roughly if you know it?

21 MR. BEELER: In terms of residential
22 versus commercial?

23 CHAIRMAN HAQUE: Yeah.

24 MR. BEELER: I'd say about 80 percent
25 residential.

1 CHAIRMAN HAQUE: Okay.

2 MR. BEELER: That's on the numbers side.

3 The capacity is a lot different.

4 CHAIRMAN HAQUE: Okay. Commissioner
5 Trombold.

6 COMMISSIONER TROMBOLD: Going back to the
7 premises issue. Excuse me. Just curious. This
8 whole contiguous lot, have you -- has your company
9 noticed safety issues associated with it? Has there
10 been a lot of that? And how does that come to your
11 attention?

12 MR. SCHULER: Up until this point we
13 haven't had any contiguous lots, so I don't think we
14 have -- we have not seen that yet. That's obviously
15 going to be something that will come up. But we are
16 anticipating that certainly some issues will come up.

17 And just using the example of what One
18 Energy has talked about. They talked about the
19 Toledo Zoo. Or, you know, in their Reply Comments
20 they talked about putting rooftop solar up at
21 FirstEnergy, on top of their parking garage and
22 carrying it across a number of easements which
23 include roads, pedestrian walkways, and over to the
24 stadium, and then eventually connecting into our
25 interconnection.

1 Along that way -- I mean, we are talking
2 about a dangerous commodity here -- but along that
3 way there could be a number of things that go wrong
4 that could affect a number of different people,
5 including the distribution utility workers that
6 maintain the interconnection, how that could impact
7 the reliability of our interconnection. And of
8 course, you know, if there's any sort of sagging line
9 or something is not maintained properly or installed
10 properly, that could affect the customers that are
11 standing under or above those lines.

12 So although we haven't seen anything yet
13 because the rules are being implemented, we do
14 anticipate that there could be issues and that's why
15 we think it's appropriate for us to have a seat at
16 the table.

17 We're not here to, you know, stifle the
18 development of distributed generation, but we believe
19 that as the resident experts on distribution systems,
20 we should certainly have a say in what is safe and
21 reliable.

22 COMMISSIONER TROMBOLD: Okay. Thank you.

23 CHAIRMAN HAQUE: Commissioner Conway.

24 COMMISSIONER CONWAY: Two -- at least two
25 areas, Mr. Schuler, I wanted to follow up with you.

1 First, actually preliminarily, can you
2 hear me in the back of the room or not?

3 CHAIRMAN HAQUE: We have nodding heads.

4 COMMISSIONER CONWAY: There are nodding
5 heads. Good.

6 What is "contiguous." It seems to me,
7 based on what I've heard from your comments, that
8 under the rule as currently written, Mr. Schuler,
9 your view is that if the parcels, if the lots are
10 across the street or across a railroad right-of-way,
11 they're not contiguous. Is that -- do I understand
12 your position correctly?

13 MR. SCHULER: That is our position, yes.

14 COMMISSIONER CONWAY: All right. And if
15 there is a utility easement that runs along the
16 juncture of the two contiguous lots, are you also of
17 the position that those are not contiguous, that
18 those are not contiguous lots?

19 MR. SCHULER: For purposes of net
20 metering?

21 COMMISSIONER CONWAY: Yes.

22 MR. SCHULER: For purposes of net
23 metering, we would --

24 COMMISSIONER CONWAY: For purposes of the
25 rule that we're considering here.

1 MR. SCHULER: Yes. Yes, we would. We
2 would, even if it is utility easement. In fact, that
3 would probably raise one of our graver concerns is
4 how are those lines, that are getting to the
5 interconnection, going above or below our
6 distribution utility lines. It's probably one of the
7 greatest concerns we have with safety.

8 COMMISSIONER CONWAY: But your position
9 is they're not even contiguous so they wouldn't even
10 be, those lots would not be available to the, to the
11 net meterer or the customer-generator to use anyway.
12 We wouldn't even get to the -- we wouldn't get past
13 the threshold of contiguity under your view of it,
14 right?

15 MR. SCHULER: Yes, Commissioner Conway.
16 It's essentially a two-pronged analysis that we don't
17 believe that it is contiguous such that it should not
18 be permitted; but, if so, we see it as a -- as a
19 safety concern.

20 COMMISSIONER CONWAY: Is it safe, is it
21 hazardous. All right. So they've got actually two
22 hurdles to get over for you. One is contiguity and
23 the other is safety/hazardous.

24 Okay. I -- when I started out this
25 afternoon with my questions for Ms. Treadway, I was

1 wondering whether or not there was common ground
2 actually between you, at least, and One Energy,
3 because it seemed to me that your explanation of what
4 you were looking to address in your review, under the
5 rule as it's currently written, is simply the impact
6 on your side of the interconnection by what the -- by
7 what the One Energies are proposing to do on their
8 side. And so, I thought well maybe there really
9 isn't a disagreement, maybe you're just talking,
10 using different nomenclature or something.

11 But now that I hear your views about what
12 "contiguous" means and what -- and what "safety
13 issues" mean, I'm thinking that there is really a
14 difference of opinion, pretty fundamental, between
15 you and One Energy. And that is that you're
16 interested in, under the rule as it's currently
17 written, you're interested not only in not having
18 these, these net-meterer, customer-generator
19 facilities crossing rights-of-way and public ways,
20 but you're also interested in looking to see whether
21 you think the manner in which they string up their
22 lines on their side of the interconnection, in your
23 view, are safe enough. Not -- not as far as how they
24 impact the distribution network, but how they impact
25 activities on these -- on the contiguous lots where

1 they're erecting their net metering system.

2 So is that accurate that you want to be
3 involved in a safety and hazard review on the
4 customer's property. You're not just interested on
5 impacts on your network of that type.

6 MR. SCHULER: In this unique
7 circumstance, Commissioner Conway, where we're
8 talking about a contiguous lot, which we read the
9 rules (B) (5) and (B) (6) as two separate scenarios --

10 COMMISSIONER CONWAY: My -- my question
11 is assume that you got past the contiguous threshold.
12 You're not talking about whether it's contiguous or
13 not contiguous. It is contiguous. It's just that
14 there are facilities on the contiguous lot that you
15 you want to take a look at to make sure that they
16 don't have -- that they're safe or they're
17 nonhazardous.

18 And my question is, is your
19 safety/hazardous review, assuming that in your view
20 they are contiguous, does it extend to examining
21 whether or not the hazard or the safety is -- is
22 limited to or is a consequence that's just on the
23 customer side of the meter, that you have the right
24 to get into that and just make a determination for
25 yourself whether it can be operated safely or

1 nonhazardous, in a nonhazardous manner, all on --
2 with impacts being evaluated, just those on the
3 customer side of the interconnection.

4 MR. SCHULER: I believe it would be both,
5 Mr. Conway. It could have a safety concern for the
6 interconnection itself.

7 COMMISSIONER CONWAY: Assume it doesn't
8 have it. Let's just keep whittling this down.
9 Assume it doesn't have a safety or a hazardous impact
10 on your distribution network. You're only now -- the
11 question is are you allowed, under our rule, to look
12 at what the safety and hazardous impacts are solely
13 on the customer side of the interconnection and
14 assume there's not a contiguous issue either.

15 You're past contiguity. You're not --
16 you're past adverse, hazardous impacts, unsafe
17 impacts on the distribution network, and now we're
18 just talking about what's going on, the activities on
19 the customer's facilities and the area, the
20 geographical area that the customer owns.

21 Is it your -- is it your duty, your job,
22 under this rule as written, as you see it, to go in
23 there and take a look at it and make sure that
24 everything is operating safely and in a nonhazardous
25 manner on the customer's side of the interconnection

1 on the customer's property?

2 MR. SCHULER: And I'm not trying to evade
3 the question. I just -- it is -- we see it as two
4 separate analyses. If it's -- if we have a
5 contiguous lot, it's one analysis. But if it is a
6 noncontiguous lot, it's just contained on the
7 customer's premises; the interconnection rules govern
8 that. So if we're talking about a contiguous lot, we
9 fall under the (B)(6) rules which contemplate the
10 safe or hazardous condition.

11 So I'm trying to make sure I am
12 understanding your question. I'm not trying to evade
13 it.

14 So under that scenario, because we are
15 talking about a unique situation with a contiguous
16 lot, we believe it does both, both the
17 interconnection, but also how that energy is getting
18 to our interconnection because it's coming across
19 from another property. So it raises an additional
20 level of -- and I don't want to say "concern" because
21 we don't know that it will, but it should merit an
22 additional level of review as a result.

23 Does that answer your question,
24 Commissioner Conway? I want to make sure I am.

25 COMMISSIONER CONWAY: I'm -- I'm just

1 trying to look for common ground that we can use as a
2 basis for resolving the disagreements, and I just
3 want to make sure I understand what your position is.

4 It sounds like -- you tell me whether I
5 misunderstand it -- based on what you just said, it
6 sounds to me like if there are contiguous lots, put
7 aside contiguity as an issue, contiguous lots that
8 where the customer, where the meter is located on
9 that lot, you're not interested, you don't have a
10 role in figuring out whether things are being done
11 safely on the customer's premises on that lot.

12 But to the extent that there's a
13 contiguous lot that the net metering system is
14 installed on, you would have an interest in going
15 over to that lot and taking a look to see whether or
16 not things, in your view, are being done in a safe
17 and operated in a safe and nonhazardous manner. So
18 you'd have to -- that's what I'm taking away from
19 what you just said. And if I'm wrong, correct me.

20 MR. SCHULER: No, I believe we are on the
21 same page and, yes, that is correct. And for the
22 very reason why I believe -- why we're seeing them as
23 parsed out and why we believe the rules do, is when
24 the facility is on the same property it's a more
25 immediate access to the interconnection; whereas,

1 when we're talking about contiguous lots, we don't
2 know how far that could be. And so the longer you go
3 down, the longer you're running a line to get into
4 the interconnection across contiguous lots can create
5 other safety concerns and reliability concerns that
6 are out there. So I believe, with that explanation,
7 yes, we agree.

8 COMMISSIONER CONWAY: But you keep
9 slipping off my hook here a little bit.

10 (Laughter all around.)

11 MR. SCHULER: I'm not trying to.

12 COMMISSIONER CONWAY: I'm suggesting to
13 you that there's no impact from what's going on on
14 either of the two contiguous lots. In the example
15 there's no impact on the distribution network itself.
16 We're just talking about from a safety and hazardous
17 standpoint. There's simply a question of whether or
18 not there's a safe and a nonhazardous installation
19 and operation of the equipment on that second
20 contiguous lot. Are you interested in that under
21 your view of the rules?

22 MR. SCHULER: Yes.

23 COMMISSIONER CONWAY: All right.

24 CHAIRMAN HAQUE: Just to clarify, because
25 I think I got a little confused during this line of

1 questioning as well.

2 So look, so you've got, you've got the
3 lot where the metered point is, okay? And then in
4 the One Energy example you've got the contiguous lot
5 where the wind turbine is. So on the lot where the
6 metered point is, there are already, per what
7 Ms. Treadway has said, there are already particular
8 standards that have to be met, 4901:1-22, National
9 Electric Code, IEEE standards. Those -- you --
10 you -- you work with One Energy to ensure that those
11 standards are adhered to. Sans contiguity. Forget
12 contiguity for a second. So just on a net metered
13 facility, let's assume that the wind turbine is on
14 that same, on that same parcel as the, as the
15 facility that will be, you know, arguably utilizing
16 the power; there are certain safety standards that
17 have to be met.

18 MR. SCHULER: Correct, Mr. Chairman.

19 CHAIRMAN HAQUE: And you work with -- you
20 work with One Energy to ensure that those standards
21 are adhered to currently, per what Ms. Treadway has
22 already stated.

23 MR. SCHULER: Yes. And in addition to
24 what you've already identified, there are also
25 roughly 30 pages of tariffs that we have that govern

1 it as well.

2 CHAIRMAN HAQUE: Got it. And then when
3 you moved -- and then when the wind turbine moves to
4 a contiguous lot and you start crossing utility
5 facilities -- so the property interests aside -- when
6 the wind turbine moves let's say just further away,
7 okay, and you start crossing potentially into utility
8 easements that have -- that have potential
9 facilities. It goes -- the wind turbine is further
10 and further away from the metered point. There is
11 another -- well, I guess what we have established is
12 really a trigger or a mechanism for the utility to
13 say, even beyond the safety requirements that already
14 need to be adhered to, to say we're not okay with
15 this, we're not okay with this from a safety and
16 hazard standpoint. Right? I mean, we're -- we're on
17 the same page with that, right?

18 COMMISSIONER CONWAY: I'm not -- I mean
19 I'm just trying to understand what the position is.
20 I'm not really -- maybe it appears that I'm taking a
21 position on the result here. I'm trying to figure
22 out where you have your disagreement with
23 Ms. Treadway.

24 And I think her position is -- her
25 position is that you should stay out of her business

1 when you're on the parcel where her customer's
2 facilities are, and you should stay out of her
3 business on the parcel that's contiguous to it, but
4 you should be in her business with regard to the
5 overall impact of whatever's going on on the first
6 lot as well as the second lot, whatever that overall
7 impact is on your network, she's saying she's okay
8 with that, as I understand it.

9 But she's saying stay out of our
10 business, we don't need you to tell us whether our
11 line is sagging on our first parcel or whether the
12 line from the first parcel to the second parcel is
13 sagging. That's -- that's other people's business
14 and we don't need your help with that. That's what
15 she's saying, I think.

16 And my question is -- because after
17 reading your Memorandum Contra I thought well maybe
18 you're okay with that too, and maybe there's not a
19 disagreement between you and Ms. Treadway. That's my
20 -- that's my question --

21 CHAIRMAN HAQUE: I think you just want to
22 say there is a disagreement. I think we can agree
23 there is a disagreement.

24 MR. SCHULER: Yes, I think there is a
25 disagreement there.

1 I was with you, Commissioner Conway. I
2 thought we were getting there, as I was listening to
3 the arguments, but I think it's become clear that we
4 do have a disagreement.

5 And I think the Chairman has pointed out
6 that you've identified the exact scenario there and
7 it really comes down to the interconnection itself is
8 a very finite point per 4901:1-22. That's what we're
9 talking about in -- in (B) (6) where we're talking
10 about contiguous lots is how that energy gets to that
11 interconnection can also have an impact, and we want
12 to make sure that we have a say in that, in that
13 process, which is not contained in the
14 interconnection rules.

15 CHAIRMAN HAQUE: Okay. Attorney
16 Examiners Price, Schabo?

17 EXAMINER PRICE: I just had one question
18 on the --

19 CHAIRMAN HAQUE: Make sure your mic is
20 on, Greg. Yeah.

21 EXAMINER PRICE: -- on the excess
22 generation. Does Dayton Power and Light have the
23 back-office ability to measure excess generation put
24 on by shopping customers and compensate their CRES
25 provider for that -- for that energy?

1 MR. SCHULER: The -- I'm -- I'm sorry.
2 The back-office capability to measure excess
3 generation --

4 EXAMINER PRICE: Excess generation,
5 right. If you have a negative load one month, do you
6 have the ability to track that and then send that
7 information on to the CRES provider and compensate
8 the provider for the unaccounted-for energy?

9 MR. SCHULER: I believe we will, because
10 it requires interval meters which can do that, and
11 certainly, as you saw in our Memo Contra,
12 implementing Smart Grid will further assist in that
13 process.

14 CHAIRMAN HAQUE: What do you do --

15 MR. SCHULER: So --

16 CHAIRMAN HAQUE: What do you do with
17 excess energy right now? What do you do with the
18 excess energy that comes into the system right now.

19 MR. BROWN: It's unaccounted for.

20 COMMISSIONER CONWAY: It's unaccounted
21 for.

22 CHAIRMAN HAQUE: It's just unaccounted
23 for?

24 MR. BROWN: Correct.

25 MR. SCHULER: You're starting to get

1 really technical here, Mr. Chairman. So I -- I --

2 COMMISSIONER CONWAY: It goes out into
3 the Aether.

4 MR. SCHULER: You are correct.

5 CHAIRMAN HAQUE: Okay. All right. Very
6 good. Any other questions? Mr. Schuler -- we
7 can't -- we can't go down the parcel path again.

8 COMMISSIONER CONWAY: No, no way.

9 (Laughter all around.)

10 MR. SCHULER: I should steer clear of
11 that on rebuttal then, Mr. Chairman?

12 (Laughter all around.)

13 COMMISSIONER CONWAY: Stay away from it.

14 CHAIRMAN HAQUE: Right.

15 Okay. Mr. Schuler, thank you very much.

16 MR. SCHULER: Thank you.

17 CHAIRMAN HAQUE: Okay. We'll proceed
18 with our Environmental Advocates.

19 MS. FLEISHER: Chairman, Commissioners,
20 Attorney Examiners, thanks for the opportunity to
21 discuss these issues today.

22 Just logically, my name is Madeline
23 Fleisher, I'm with the Environmental Law and Policy
24 Center, and I'll be taking 7 minutes today to address
25 the capacity value of excess generation. My

1 co-counsel, Miranda Leppla, will take on the
2 time-of-use sizing and customer premises issues, for
3 any questions on those fronts.

4 And on this, I just really want to cover
5 two main points. First is that the General Assembly
6 here has not only set forth a policy of encouraging
7 distributed generation, but it specifically directed
8 how that policy is to be implemented which is to
9 treat net metering customers and their kilowatt hours
10 identically to those of non-net metering customers.
11 That's in the statute, it's very explicit as to rate
12 structure, retail rate components, and any monthly
13 charges. And our perspective is that controls what
14 the Commission does here. That there's no room
15 to, you know, create a new rate component regarding
16 excess generation. It's kilowatt-hours are the same.

17 And then to the extent we are going to
18 delve into what is the capacity value of excess
19 generation, we think there's plenty to show that the
20 capacity value is there. And the main
21 counterargument to this has been that the distributed
22 generation is not dispatchable.

23 But capacity value is not about
24 dispatchability. It's about whether distributed
25 generation can reliably and predictably reduce peak

1 demand, and it can, it's been valued as such in other
2 states across multiple jurisdictions of all kinds,
3 and so we think that it's appropriate to do the same
4 here and we'll appropriately implement state policy
5 recognizing the value of distributed generation to
6 all customers who benefit from lower peak demand.

7 With respect to the statute here, it's --
8 it's standard policy across the United States, where
9 you have low penetration of distributed generation,
10 to not get caught up in exact valuation of what is
11 every single kilowatt-hour worth with respect to
12 energy value, with respect to capacity value, with
13 respect to transmission and distribution value, where
14 it can contribute on all those fronts.

15 And this sort of just "treat it the same
16 as any other kilowatt-hour" approach is meant to be
17 rough justice. It's not meant to say this is
18 necessarily exactly the capacity value of every
19 kilowatt-hour of excess generation, but it's a way to
20 recognize that the capacity value is there and that
21 it should be encouraged for more DG to be deployed
22 and to decrease peak demand with this sort of
23 cost-saving resource.

24 And so, when the General Assembly did
25 that, we weren't doing anything crazy, and they were

1 adopting a pretty standard practice across the United
2 States, and so there's no real basis in the statute
3 for the Commission to -- to start departing from that
4 language in the statute.

5 If we are going to delve into the
6 capacity value, since I'm guessing that you would
7 like to, you know, it's -- it's, as a practical
8 matter, a question of does this -- can this allow
9 less capacity to be procured? And it can.

10 We see this already happening in the PJM
11 capacity market where, you know, as laid out in
12 detail in our briefing in this case, there's an
13 established system that PJM has to forecast.

14 They focus on distributed solar, which is
15 the main distributed generation resource they deal
16 with, to forecast what is going to be the excess
17 generation at times of peak demand, and they use that
18 to lower the procurement requirements for the
19 wholesale capacity auctions.

20 That lowers prices in the capacity
21 auctions, that lowers prices for all customers, and
22 it provides real benefits. And so from our
23 perspective, you know, giving that value to the
24 kilowatt-hours of the customers who actually own the
25 DG systems is -- is fair and appropriate.

1 And, you know, there's -- the SSO auction
2 process is a little more esoteric, but it's mostly
3 based on historical data about load. And to the
4 extent there are DG customers out there who are
5 reducing peak demand as shown in that historic load
6 data, they are also lowering how much the auction
7 participants think they need to go out and procure
8 and what are the costs that then get passed on to SSO
9 customers.

10 And so, on both fronts, you can see that
11 the capacity value is there. Assigning it a, you
12 know, penny value, "down to the penny" value is
13 complex, folks have done it, that's a Valuation of
14 Solar study which we think, you know, if we get to
15 high-penetration DG and you need to figure out
16 exactly what is the allocation of costs and benefits,
17 that might be appropriate, but that's just not where
18 Ohio is.

19 And so, we think that what the Commission
20 issued in its original 2014 rule was a fair way to
21 get at a complicated question when the stakes are not
22 incredibly high, and the State policy on this front
23 and the chosen State approach on this front is clear.

24 Thank you. I'm happy to answer any
25 questions.

1 COMMISSIONER CONWAY: Do we want to do
2 the other three minutes first?

3 CHAIRMAN HAQUE: What do you want to do?

4 EXAMINER PRICE: Let's take the other
5 three minutes.

6 COMMISSIONER CONWAY: Three minutes.
7 Then maybe you can tag-team the questions.

8 CHAIRMAN HAQUE: Okay. Thank you,
9 Ms. Fleisher.

10 Ms. Leppla.

11 MS. LEPPA: Good afternoon, Chairman and
12 Commissioners. As Madeline explained, I'll be taking
13 time-of-use, premises, and the 120-percent sizing
14 issue.

15 To start with, time-of-use rates. As the
16 Commission recognized on page 17 of the Finding and
17 Order, we all agree that there should be some
18 compensation for net metering customers' peak-load
19 reductions; we just disagree about perhaps how to get
20 there right now.

21 The Commission indicated that that should
22 happen through time-of-use rates based on hourly-load
23 data from advanced meters. But, as my colleague
24 said, Ohio just isn't quite there yet. While we'd
25 like to do this down to the, you know, the bare

1 minimum if we had high penetration, and at some point
2 maybe that's where Ohio will be, right now we have
3 two main problems with just deferring to time-of-use
4 rates.

5 The first is that millions of Ohioans do
6 not have advanced meters right now. Less than
7 20 percent of residential customers in Ohio and
8 that's at least 2 million Ohioans, like I said, in
9 the vast majority of FirstEnergy territory and DP&L
10 customers don't have advanced meters and are unlikely
11 to get them for years to come. In fact, both of
12 those utilities don't currently have plans to roll
13 those out. And also that less than 20 percent of
14 residential customers includes Duke, who needs to
15 replace those advanced meters due to technological
16 and functionality problems with those meters right
17 now.

18 AEP is in the process of rolling out AMI,
19 and I know you are well aware of this, but over
20 700,000 people are still waiting to get those
21 implemented and that will take another three years to
22 do so.

23 So even if customers were to pay extra,
24 which would be unfair based on, you know, the way
25 we're supposed to be distributing energy, if people

1 paid extra to get an advanced meter installed, which
2 under, for example, FirstEnergy, would cost them \$105
3 to get that installed and then they'd have to also
4 have a communication link, either set up on their own
5 or pay FirstEnergy \$50 per month to get keep that and
6 maintain that so they're adding to their bill
7 already. Even if they did install that, FirstEnergy
8 and DP&L don't currently have any time-of-use-rates
9 plans that they could opt into. So just on a base
10 level, we have a problem with the millions of Ohioans
11 that don't have advanced meters right now.

12 And the second issue with this is that
13 even with our existing time-of-use rates that are in
14 place, they weren't designed with net metering
15 customers in mind.

16 For example, and we detailed this in our
17 brief, but just to point it out quickly, AEP's
18 time-of-use option has the time-varying aspect only
19 in the capacity component of the rates. So an excess
20 generation credit for net metering based on the
21 energy component is not the same whether generation
22 is coming at a time of peak load or not.

23 Another issue is that AEP has pretty
24 broad on-peak/off-peak hours right now. They're
25 7 a.m. to 9 p.m. on non-holiday weekdays and that

1 makes it really difficult to create a price signal
2 that really would be necessary to achieve the
3 compensation that's appropriate for these peak demand
4 production credits basically.

5 So to achieve the Commission's vision of
6 compensating customers' peak demand, the rates really
7 have to be designed in a manner to do so. And our
8 recommendation would be that we discuss this at
9 PowerForward coming up in March. We have, you know,
10 a lot of great speakers that probably are lined up
11 already. You guys know way more about it than I do
12 right now. So our recommendation is to consider this
13 and really take a deep dive on this as part of the
14 PowerForward process.

15 So unless and until that proceeding
16 results in some sort of new policy for net metering,
17 we really need to take a harder look at whether or
18 not we have viable time-of-use options that really
19 are useful in this sense.

20 Quickly, on premises. Safety is an
21 important part of the interconnection process and the
22 Commission designed those interconnection rules to
23 make sure safety concerns don't become a pretext for
24 artificial obstacles to net metering. The same
25 principles should apply here. And we agree that the

60

1 problematic language is that "as determined on a
2 utility by case" -- or "on a case-by-case basis."
3 Pardon me.

4 And I read DP&L's brief, like
5 Commissioner Conway, to mean that they didn't have a
6 problem with what was going on behind the meter.
7 They just wanted to make sure that they had, you
8 know, their, you know, overarching, you know, safety
9 concerns in front of the meter. And our concern with
10 this, we share it with One Energy, the proposed
11 language kind of gives the utilities a veto power on
12 safety. And we think that there needs to be a clear
13 and transparent process, just like the
14 interconnection process, that ensures it's not
15 something that's going to extend the utilities' reach
16 behind the meter.

17 And finally, just on 120 percent. We
18 support the 120 percent, so. Thank you.

19 CHAIRMAN HAQUE: Okay. Thank you.

20 So to start the questioning,
21 Ms. Fleisher, so I think part of the issue here is
22 trying to ascribe a definition to capacity in this
23 context, okay? And it sounds like to me that you
24 want to equate capacity to the ability to reduce peak
25 demand, right?

1 MS. FLEISHER: I guess I'd fine-tune that
2 a little bit and equate capacity value to "are you
3 lowering the price of capacity procurement," and
4 generally that's done by lowering peak -- whatever
5 the peak demand requirements are used to set those
6 capacity procurement requirements.

7 CHAIRMAN HAQUE: And so when, per what
8 you stated, when PJM is forecasting this out, do you
9 know if they are forecasting specifically the DG
10 customers in the State of Ohio? What does that
11 methodology look like? And when we're talking about
12 the concept of "rough justice," I mean how rough are
13 we talking about here?

14 MS. FLEISHER: Yeah. So we referenced in
15 our, in our briefing, I forget exactly what stage but
16 I think a couple points, the 2017 PJM load forecast
17 as a way to see where this is happening.

18 And what they do is they have, you know,
19 it's sort of behind-the-veil exactly what the
20 methodology is, but for each zone within PJM, which
21 includes AEP, it includes ATSI, it includes Duke, it
22 includes DP&L, they project a specific amount of
23 megawatts of basically peak demand reduction that
24 will come from distributed solar within those
25 transmission footprints.

1 And they use that to, you know, I'm sure
2 you guys are at least pretty familiar with PJM's
3 capacity auctions, those, you know, they check to see
4 whether there will be any constrained zones and that,
5 you know, the distributed solar can play a role in
6 that. So in a case where in the past or recently you
7 had Duke's transmission zone be constrained, you
8 know, if you had enough distributed solar there, that
9 could help resolve that.

10 So it is a pretty granular look at where
11 is the distributed generation, what role is it
12 playing. If you look at the 2017 load forecast
13 report, they had 49 megawatts of distributed solar in
14 Ohio transmission zones. I mean that's -- that's out
15 of a total of 878 megawatts across PJM. Ohio is not
16 the center of distributed solar in PJM, but there is
17 some here.

18 If you get, you know, if you just do a
19 rough \$80 per-megawatt-day value for that, for those
20 megawatts, that's a million-and-a-half a year from
21 Ohio solar that's, you know, that is being, that
22 amount of capacity is being met with distributed
23 solar generation.

24 So, you know, as more distributed
25 generation comes to Ohio and it can play a bigger

1 role, it can produce more savings for all customers.
2 And our point of view is you should be sending the
3 right signal to get those cost-saving resources onto
4 the grid, and the legislature picked a pretty
5 reasonable way to do that for this point in Ohio.

6 CHAIRMAN HAQUE: Can you talk about the
7 same concept but now infuse actual tangible dollars
8 into it? And I guess how do we get from the point
9 where you say, well, peak demand reduction is
10 equivalent to capacity and then, you know, follow the
11 money trail to then the pockets of a distributed
12 generator, a distributed generation customer who is
13 then receiving a payment for capacity.

14 MS. FLEISHER: Well, we don't make --
15 other demand-side resources do that. But, you know,
16 you can have -- we have the interruptible resources
17 that get compensated through utility interruptible
18 programs just at sort of a placeholder value for
19 capacity within the PJM footprint.

20 We have, you know, just your normal
21 person who implements any sort of energy-efficiency
22 measure that reduces their peak load; they're saving,
23 on the generation side of their bill, the full value
24 of that kilowatt-hour.

25 And I'll add that if we're going to start

1 digging into, you know, where exactly is the value,
2 how much is it; currently, under the regulatory
3 regime, distributed generation can't get any credit
4 for excess generation on the transmission and
5 distribution side. That's a Supreme Court decision,
6 you know, not within your scope obviously, but if
7 we're going to say what is the full value and where
8 is it, you know, we should be revisiting that.

9 And so I guess my point is this -- this
10 is sort of a single-issue ratemaking almost
11 approach --

12 CHAIRMAN HAQUE: Yeah.

13 MS. FLEISHER: -- if we're going to pick
14 away at the value, but not give a chance to have it.

15 CHAIRMAN HAQUE: But energy efficiency,
16 you can pool it, you can bid it into -- you can bid
17 it into markets at least currently.

18 With respect to, you know, again, what
19 we're really talking about here is the excess
20 generation piece. So if you are generating your own
21 power at your homestead, then, you know, whatever you
22 don't need to take from the utility affects,
23 volumetrically affects your rates and so you're
24 basically achieving, you know, a -- you're achieving
25 -- you're achieving I guess savings that way.

1 I guess there are ways -- I guess there
2 are ways to distinguish what -- there are ways to
3 distinguish some of the other resources that are
4 utilized from net metering.

5 And specifically net metering, when we're
6 talking about net metering and specifically this
7 issue, it's really the -- the -- it's really the
8 excess generation issue because there's -- because
9 you are able to, with just -- with just generating
10 your own power, you are -- you're impacting, you're
11 impacting your bills that way. You're the wrong
12 person to ask, does this feel like -- does this feel
13 like kind of cherry on top of -- of -- of the sort of
14 net metering money regime, but -- but it may feel
15 that way to others.

16 MS. FLEISHER: I understand, you know,
17 where you're coming from, and I guess I have sort of
18 two responses.

19 So one is this is exactly the kind
20 of, you know, sort of "how do you feel about
21 distributed generation" problem that I think the
22 General Assembly was trying to confront when it said
23 identical rates.

24 You know, this is your -- if you think
25 that this is, you know, an important element of the

1 value or if you think it's not an important element
2 of the value, this is a way to create an artificial
3 barrier by lowering, you know, the compensation for
4 distributed generation.

5 And so it's, it's, you know, I would say
6 almost not a valuation question at that level. It's
7 do you think this is the same as other demand-side
8 resources or not. And I think that's a very sticky
9 question that depends on your perspective and one
10 that, you know, is foreclosed by the statute.

11 And the other point I guess is that, you
12 know, it's -- when you're procuring capacity through
13 the SSO auction, through the PJM auction, it's blind
14 to what is -- what is the resource affecting that
15 peak demand that's driving your capacity procurement

16 You know, when -- when SSO auction
17 participants are going out to get their 1 percent
18 tranche satisfied, they don't know what's in that
19 1 percent tranche, whether it's distributed
20 generation, whether it's energy efficiency, whether
21 it's demand response; it's just what is that capacity
22 amount. So to the extent that distributed generation
23 is lowering that, it should be treated the same way
24 as any other resource that's serving that function.

25 CHAIRMAN HAQUE: Okay. Other questions?

1 Mr. Johnson.

2 COMMISSIONER JOHNSON: Thank you very
3 much.

4 I wanted to talk a little or have you
5 talk a little bit about the 120 percent, the --
6 whether that's the right number or not, whether, you
7 know, I think we've gotten comments in regards to
8 having it not more than 100 percent and we've had
9 comments about not stopping it at 120 percent, that
10 it has a larger -- it ought to be larger. And I
11 wondered your perspective of the -- of what the
12 General Assembly was trying to get at and what's your
13 position.

14 MS. FLEISHER: So I'll, if you don't
15 mind, I will reserve that one for my colleague,
16 Ms. Leppla, to address. And we can trade off or I
17 can, you know, tackle any other capacity value
18 questions.

19 CHAIRMAN HAQUE: So any other questions
20 on the capacity issue?

21 MS. FLEISHER: Yeah.

22 COMMISSIONER JOHNSON: Sorry.

23 CHAIRMAN HAQUE: No worries. This is --
24 this is -- we're making the rules as we go here,
25 Commissioner.

1 Commissioner Johnson.

2 COMMISSIONER CONWAY: I'm Commissioner
3 Conway.

4 CHAIRMAN HAQUE: Excuse me. Commissioner
5 Conway.

6 COMMISSIONER CONWAY: Can you hear me
7 back there?

8 I also have an interest in the answer
9 that might come from Ms. Leppla to Mr. Johnson's
10 question, but -- and hopefully I'm not going to
11 follow up on the same area, but rather in your area,
12 Ms. Fleisher.

13 But with regard to the "rough justice"
14 topic, one of the things that strikes me is the
15 discussion, some of the terminology we get which is,
16 we hear, which is a lot of distributed generation,
17 quote/unquote, related comments. I go back to, when
18 I hear it I go back to the tariff that we're actually
19 talking about here which is net metering. And I go
20 back to I think about the definition in the Revised
21 Code of what a net metering system is. And what it
22 says, as I recall, is that it's a system, the
23 intention for which, the customer's intention for
24 which, is to offset part or all of his consumption.
25 It's not a system that's designed to generate excess

1 amounts of generation.

2 And so, I think of this net metering
3 service tariff as focusing on really -- really
4 focusing on that part of the activity. And this
5 excess generation kind of results because it's the
6 way the tariff is designed to operate from
7 month-to-month and the carryover excess could be used
8 as a credit in next month, et cetera. But it's not
9 really a tariff that's designed to incent customer
10 generation that is inputted into the system on a
11 chronic or continuous basis.

12 So the "rough justice" that I first think
13 about when I'm -- when I'm thinking about this area
14 is what's happening with regard to all the generation
15 that the customer is producing that gets up to the
16 "all" or "part" threshold within the definition.

17 And I guess the observation I have is
18 that as I understand it, correct me if I'm wrong,
19 that when the customer generates all or part or all
20 of his own -- his own consumption needs through his
21 equipment, he gets to offset that entire amount
22 against all of the variable charges, both the SSO
23 charges, including capacity, as well as the
24 distribution wires charges and other wires
25 charges; is that correct?

1 MS. FLEISHER: Yeah, the -- up to the
2 point where you're zeroing out your usage --

3 COMMISSIONER CONWAY: Yes.

4 MS. FLEISHER: -- you do get a full bill
5 credit.

6 COMMISSIONER CONWAY: So you get credit.
7 It's as if you're not a distribution service customer
8 up to that point if you get all the way up to
9 offsetting 100 percent, right?

10 MS. FLEISHER: (Nods.)

11 COMMISSIONER CONWAY: So from a "rough
12 justice" and an incentive standpoint, it just seems
13 to me that we're providing a pretty good deal to the
14 customer-generator who generates -- for all the
15 generation he provides for his own needs, his or her
16 own needs, all the way up to the point it becomes
17 excess.

18 So it seems to me that what we do with
19 the excess part of it maybe deserves a little bit
20 closer attention because it's not really what this
21 tariff is focusing on, as I see it. So wouldn't you
22 think it would be fair to treat it in a slightly
23 different fashion than we're treating the other --
24 the other production that the customer has, up to
25 that threshold, where the iceberg starts to poke its

1 head up above the waterline?

2 MS. FLEISHER: Sure. And putting a pin
3 in our view that that's not consistent, it wouldn't
4 be consistent with the statute to treat the excess
5 generation differently.

6 As a practical matter, it's -- in my view
7 it is "rough justice" because this is not, you know,
8 free money. The customer has installed a system,
9 then paid for that system, often a significant
10 amount, with an expectation as to, you know, what the
11 payback period might be, and that system is actually
12 generating electricity that is going onto the system.
13 Those electrons, those kilowatt-hours, are a thing
14 that you're compensating them for.

15 And so, you know, just as, you know, you
16 wouldn't let me come in, you know, your garage and
17 plug in my electric car without, you know, paying
18 something for that. These folks are providing
19 electricity to the grid and it is justice and I think
20 fair to compensate them for that.

21 COMMISSIONER CONWAY: Let me ask it in a
22 slightly different way.

23 MS. FLEISHER: Yeah.

24 COMMISSIONER CONWAY: What if we had
25 decided that instead of classifying a customer's

1 approach as being within the net metering tariff as
2 one that can achieve up to 120 percent of his size to
3 be able to produce 120 percent of the customer's
4 domestic needs, we had said 100 percent, you know, or
5 we had said facilities that don't produce excess
6 generation -- well, put that aside for a minute.

7 But we had, instead of saying
8 120 percent, we had said 100 percent. What impact
9 would that have on the compensation that customers
10 would get and how much of this excess generation
11 issue would that have kind of obviated or avoided?

12 MS. FLEISHER: Well, I think that
13 highlights the problematic nature of trying to come
14 up with like what's, in practical terms, the best
15 policy without information. And without a lot of
16 these customers on -- you know, if we want to go do a
17 Valuation of Solar study, sure, lots of states do
18 that and we've cited a long list of them where these
19 are cost-beneficial resources; contributing more to
20 the grid than they're getting back.

21 You know, can I tell you right now in
22 Ohio how many folks are going to be generating excess
23 generation and how much that's going to, you know,
24 how much that will reduce costs and how much -- what
25 costs it will impose on the grid? I can't tell you

1 and, you know, maybe the utilities can.

2 COMMISSIONER CONWAY: Okay. One more --
3 one more choice for you.

4 MS. FLEISHER: Yeah.

5 COMMISSIONER CONWAY: Theoretical choice.
6 What if we told you you can have your choice. We'll
7 limit the net metering facilities to 100 percent of
8 projected or historical consumption, or you can have
9 energy only for excess generation and we'll let the
10 size go up to 120 percent. Which would you choose?

11 MS. FLEISHER: Well, I don't have a net
12 metering system, so I haven't done the calculations.
13 I mean -- and you're going to hate me for this. I --

14 COMMISSIONER CONWAY: No, I won't.

15 MS. FLEISHER: Well --

16 COMMISSIONER CONWAY: I think very highly
17 of you.

18 MS. FLEISHER: I guess my answer is going
19 to be that shouldn't be a choice. The question of
20 appropriate sizing is about the statutory guidelines
21 of it has to be to offset, you know, to offset your
22 generation. And the question of appropriate
23 compensation is a different part of the statute.
24 And, you know, they may require -- obviously they're
25 related and they have affects on each other, but they

1 may require different considerations. So, you know,
2 I choose not to make that choice if that's okay.

3 COMMISSIONER CONWAY: It's okay.

4 CHAIRMAN HAQUE: Any other questions on
5 the capacity issue?

6 Okay. Thank you, Ms. Fleisher.

7 And we'll -- Ms. Leppla can come back up.

8 And, Commissioner Johnson, your question.

9 Do you recall Commissioner Johnson's
10 question or --

11 MS. LEPPA: I do.

12 CHAIRMAN HAQUE: -- or do you want him to
13 restate it?

14 MS. LEPPA: I do. So if you want me to
15 -- do you want to reiterate anything?

16 COMMISSIONER JOHNSON: Yeah, I just
17 wanted to, I wanted to zero in on the amount and
18 in -- in -- in -- there's been criticisms on both
19 ways that it doesn't go high enough and some say it
20 should not go over 100 percent. And I wanted, I
21 wanted kind of your perspective of it, and I also
22 wanted to, you know, being consistent with statute,
23 any comments you might have.

24 MS. LEPPA: Sure. Well, you know, as we
25 were just discussing, the statute is -- the language

1 is intended to primarily offset usage, right? So up
2 to 100 percent would be great if we could just cut it
3 off there and say you did a great job, you sized it
4 perfectly, but that's just not the reality that
5 customers are faced with. There are a lot of factors
6 that go into this.

7 And so, we think the 120 percent is a
8 good, happy medium, where you are able to size your
9 system so that you can generate all of your capacity
10 without the threat kind of looming over your head
11 that you are suddenly going to be subject to all of
12 the rules that a utility is.

13 Because someone installing a system, you
14 know, if you talk to people all the time about why
15 they're installing this, it is to offset. They're
16 not trying to make money necessarily obviously. I
17 mean they don't want to be regulated like a utility.
18 They're excited about the possibility that they can
19 install this and create their own energy and do it in
20 a clean manner. The reason we think there needs to
21 be some flexibility built into that is because you
22 can't always predict your energy usage.

23 Say you -- say I installed solar on a
24 house. I lived there, you know, there's five people
25 say that live in this house and we sized our system

1 just for that purpose. When I go to sell my house,
2 whoever takes over that house may only have two
3 people living there, so their energy is probably
4 going to be used much less. And so if they go over
5 that 100, if we just had this limited to that
6 100 percent threshold, they might have a problem.

7 Now, there are other, you know, remedies
8 they can, you know, go about to make sure that they
9 can either, you know, shut off a panel if they have
10 to or whatever, but a lot of what we've heard from
11 customers is that when they start to get near that
12 100 percent threshold that is currently in effect or
13 the idea of it, right, is that the utilities will say
14 just turn your lights on and expend more energy.

15 We obviously don't like that from an
16 environmental perspective and that's not really the
17 goal of why someone installs solar in the first place
18 or another type of net metered distribution
19 generation system.

20 So we think that this will permit
21 customers to take a historic look-back at the three
22 preceding years and size their system appropriately.

23 And another thing that we like about this
24 bit of flexibility is that if you decide to do an
25 energy-efficiency project after you've installed

1 solar and, you know, of course the mantra is always
2 do all of your energy efficiency before you, you
3 know, size your house for a system like this. But if
4 you decide to do some type of energy efficiency, you
5 know, technology is always evolving, that you won't
6 be foreclosed from doing some type of
7 energy-efficiency project simply because you will
8 then be bumped over that 100-percent threshold. So I
9 hope that answers your question.

10 COMMISSIONER JOHNSON: Thank you.

11 CHAIRMAN HAQUE: Any other questions from
12 the bench? Mr. Price? Ms. Schabo?

13 Thank you very much.

14 MS. LEPPLA: Thank you very much.

15 CHAIRMAN HAQUE: Okay. Next up is
16 FirstEnergy.

17 MR. ENDRIS: Mr. Chairman and
18 Commissioners and Attorney Examiners and Staff, my
19 name is Robert Endris, and I represent Ohio Edison
20 Company, The Cleveland Electric Illuminating Company,
21 and The Toledo Edison Company.

22 The Commission has gotten it right with
23 its most-recent Finding and Order. And we support
24 the Order, subject to the few modifications we have
25 recommended. The Companies respectfully offer the

1 following remarks and topics for today's discussion:

2 The compensation credit and the sizing criteria.

3 When the Commission correctly ordered an
4 energy-only credit, several parties complained that
5 the recent decision reached a different conclusion
6 than was reached earlier in this proceeding. One
7 party asserts that it was unlawful for the Commission
8 to do so without legal justification.

9 However, those proposed rules on which
10 they rely were withdrawn from JCARR, and two Supreme
11 Court appeals remain pending. It was not only lawful
12 to change that earlier Order; it was necessary.

13 First, let me clarify the relevant
14 compensation for excess generation as has been
15 discussed shortly ago.

16 The Commission has not changed utilities'
17 net energy metering tariff compensation for the
18 customer's generation in the amount that offsets
19 their consumption going down to zero. That
20 compensation remains a full retail rate offset to all
21 kilowatt-hour-based charges. When it hits zero, the
22 customer pays nothing for them. The Order deals only
23 with the amount going past zero to give extra
24 compensation for the amount we sometimes call "net
25 negative."

1 The Commission's Order is correct because
2 it complies with a prior Supreme Court decision on
3 this specific question; FirstEnergy Corp versus PUCO.
4 In that 2002 decision, the Supreme Court of Ohio
5 ordered the Commission to reinstate the Companies'
6 tariff with the energy-only credit provision. The
7 Court has spoken. In the statute, "electricity"
8 means energy for excess generation.

9 A second reason why the Commission's
10 decision is correct is the Commission's own past
11 precedent establishing the hospital net metering
12 compensation.

13 In 2008, the Commission determined that
14 for hospital net metering, the market value of the
15 electricity means the locational marginal price of
16 energy. If it means energy only for hospitals, it
17 cannot mean something other than energy only for
18 nonhospitals. Based on this Commission precedent,
19 "electricity" means energy.

20 A third reason the Commission is correct
21 is because excess generation simply does not provide
22 any capacity value to the Companies or to their
23 non-net metering customers. Customer A's excess
24 generation is not sold to Customer B and does not
25 reduce anyone else's capacity obligation. If

1 anything, capacity costs are reallocated, raising the
2 cost to non-net metering customers.

3 The statute allows cost shifting for
4 kilowatt-hour-based charges that already burden
5 non-net metering customers that full retail rate
6 offset that I spoke of earlier. Further compensating
7 for a capacity component would make them pay
8 something for nothing. For the customers paying
9 these subsidies, "electricity" means energy.

10 The energy-only compensation for excess
11 generation is thus consistent with the Court and
12 Commission precedent interpreting the law and avoids
13 further burdening non-net metering customers.

14 On the 120 percent oversizing. Much of
15 the record deals with the statutory limitation to
16 offset part or all of the customer's requirements.
17 Deliberate, planned excess generation is not
18 permitted by the statute. Others look for wiggle
19 room in the word "primarily."

20 I won't repeat the Companies' many
21 arguments throughout this proceeding, except to say
22 that just because 100 percent is on the way up to
23 120 percent, does not satisfy the "part or all"
24 limitation. All the words must be read together.

25 Addressing some of the arguments.

1 Variable consumption and intermittent generation are
2 already accommodated in the sizing process by
3 evaluating up to 36 months of consumption history and
4 by using reliable generation estimators like PVWatts.

5 Possible future growth is also easily
6 dealt with. Many times anticipated growth never
7 occurs. And for actual growth there is a simple
8 remedy: Add more equipment. The statute does not
9 contemplate the exception swallowing the rule to
10 permit excess generation by everyone, to accommodate
11 the few who might increase their consumption. The
12 initial sizing threshold should remain up to
13 100 percent of the customer's annual consumption and
14 annual requirements.

15 In conclusion, other parties' efforts to
16 loosen the eligibility requirements through
17 regulations, which go beyond the statutory limits,
18 are misplaced. The General Assembly has not amended
19 the eligibility requirements for net metering.
20 "Electricity" still means energy, and "all or part"
21 still means no more than 100 percent.

22 The Companies respectfully request that
23 the Commission grant the Companies' Application for
24 Rehearing and deny the other parties' Applications
25 for Rehearing.

1 Thank you for this opportunity and I'm --
2 and I'm pleased to answer any questions you may have.

3 CHAIRMAN HAQUE: Thank you, Mr. Endris.

4 So the first thing is can you give us
5 sort of a similar snapshot that Mr. Schuler did with
6 Dayton Power and Light. And tell us, you know, how
7 many net metering customers you have in the FE
8 footprint. Whether or not you provide a capacity
9 payment as well.

10 MR. ENDRIS: Yes, Mr. Chairman. The
11 companies have approximately 1,000 customers on
12 the -- on their net metering tariffs. And I would
13 say the breakdown is roughly similar, although I
14 haven't looked at that recently, between residential
15 and nonresidential. And the Companies do not provide
16 a capacity-component credit for excess generation in
17 keeping with the 2002 Supreme Court decision.

18 CHAIRMAN HAQUE: Okay. Very good. So
19 I'll ask you a similar question that I asked
20 Mr. Schuler about the capacity payment which is: If
21 it's the policy of the State -- so let's leave the
22 legal argument aside for a second and put our policy
23 hats on. If it's the policy position of the State to
24 advance net metering in the state, wouldn't it make
25 sense to allow for net metering customers to receive

1 a capacity payment for their excess generation?

2 MR. ENDRIS: I would answer that,
3 Mr. Chairman, saying that there are other ways to
4 encourage and promote net metering besides increasing
5 the subsidy. It's true that typically the more you
6 pay someone, the more you'll get of that. But then,
7 as I mentioned earlier, paying something for nothing
8 isn't -- isn't really the policy in the state.

9 CHAIRMAN HAQUE: And what happens in the
10 FE footprint to the excess generation that's put back
11 on the system, what happens to it?

12 MR. ENDRIS: That is settled in PJM as a
13 an unaccounted-for energy. Unaccounted-for energy is
14 distributed to all load-serving entities, so all the
15 suppliers and CRES providers, on a load-ratio shared
16 basis. So it's going back to the suppliers.

17 CHAIRMAN HAQUE: Okay. And I'm sorry if
18 you already mentioned this, but does FirstEnergy have
19 a position on the premises issue?

20 MR. ENDRIS: Yes, your Honor. The
21 Companies -- I would first note that a definition of
22 "premises" is new in this proceeding. The statute
23 does not include it and the previous rules did not
24 include it. The Companies have always had the
25 position that an adjacent lot is acceptable, but a

1 lot separated by roadways or unowned property would
2 not be.

3 CHAIRMAN HAQUE: Okay. Thank you.

4 Others?

5 Commissioner Conway.

6 COMMISSIONER CONWAY: So just to follow
7 up on the last question from Chairman Haque. Is it
8 your position that under the current rule as it's
9 written, lots that are not adjacent are also not
10 contiguous? Or are you -- do you read the rules as
11 allowing for inclusion within the contiguous category
12 lots that are separated by a public way or other, you
13 know, an easement or a railroad right-of-way? So, in
14 other words, is that just -- are those lots, are
15 those parcels just not part of the contiguous
16 category in your view?

17 MR. ENDRIS: We would interpret it that
18 way. The term "contiguous" in property law, real
19 estate law, doesn't -- isn't consistent or always
20 clear as to whether that includes properties that are
21 across a roadway.

22 Here, we are doing this pursuant to
23 definition and that part of the -- that language in
24 the earlier proposed rule isn't present in the rules
25 as they are written today, the irrespective of the

1 easements or public thoroughfares.

2 COMMISSIONER CONWAY: And if a -- if
3 the -- if One Energy was operating in one of your
4 companies' service areas or is, I'm sure it is, and
5 they have a prospect that has its own customer
6 facilities on one parcel, and then adjacent to it and
7 also contiguous but adjacent to it is another parcel
8 where they erect a wind turbine, is it your
9 understanding that your role under the, under the
10 portion of the rule that authorizes, requires you to
11 evaluate whether the, you know, the proposed net
12 metering system is going to be safe and nonhazardous,
13 does it allow you to evaluate safety and hazardous
14 impacts on that adjacent, that are solely affecting
15 that adjacent lot, or does it only give you the
16 authority to evaluate safety and nonhazardousness
17 from the perspective of impacts on your side of the
18 interconnection?

19 MR. ENDRIS: Well, our engineers do
20 always evaluate the safety aspects of any
21 interconnection to the Companies' system. For
22 properties that are adjacent or even if you
23 considered them to be on the single lot, we look at
24 the designs, but would not otherwise go into the
25 customer's premises. So it's -- it's the act of

1 going off premises, crossing unknown property
2 boundaries, that we would evaluate as not appropriate
3 for interconnection.

4 COMMISSIONER CONWAY: "Crossing
5 boundaries," you mean in the instances where there's
6 a public way or an easement or a railroad
7 right-of-way that divides the two?

8 MR. ENDRIS: Yes, your Honor.

9 COMMISSIONER CONWAY: But those wouldn't
10 be contiguous in your view of that term, so you
11 wouldn't approve it anyway, would you, regardless.
12 Once you have a circumstance where there's a proposal
13 that would involve a line passing, you know, going
14 across a public way or going across a railroad
15 right-of-way, you would -- your first reaction or
16 assessment of that would be, the first step would be
17 to say it's not contiguous, so it's not eligible,
18 right?

19 MR. ENDRIS: That's correct, your Honor.
20 And that would be the same standard that we apply for
21 service to premises as opposed to just
22 interconnection of generation.

23 COMMISSIONER CONWAY: But you also think
24 it's just not safe, it's just automatically not a
25 safe application, so you'd reject it under your

1 authority under the safety and hazardousness, the
2 hazardous evaluation, you'd reject it on that basis,
3 too, then, right?

4 MR. ENDRIS: We would.

5 COMMISSIONER CONWAY: Yeah. So --

6 MR. ENDRIS: And to be clear, we would
7 prefer not to be in that "ongoing evaluation of
8 safety" role in a situation like that when problems
9 occur down the road.

10 COMMISSIONER CONWAY: All right. Okay.

11 CHAIRMAN HAQUE: Okay. Very good.

12 Questions from the bench?

13 Commissioner Johnson.

14 COMMISSIONER JOHNSON: Just -- just a
15 little bit of a clarifying question. I mean, when
16 you gave the numbers of around 1,000 and such, are we
17 talking about anything other than solar in that
18 thousand?

19 MR. ENDRIS: Yes, there are some. We
20 have some wind resources as well as some biogas
21 resources. I'm not as familiar with the number of
22 microturbine installations, but there are some.

23 COMMISSIONER JOHNSON: Thank you.

24 CHAIRMAN HAQUE: Commissioner Trombold.

25 COMMISSIONER TROMBOLD: Also in those

1 thousand customers, do you know whether or not
2 there's a lot of them that are over their 100 percent
3 on a regular basis, or there's just some outliers
4 there, or is it just a handful? Can you give us any
5 sense of that?

6 MR. ENDRIS: It would be a relatively low
7 number, if any, and I would attribute that to our
8 successful implementation of the "part or all"
9 standard upfront in the sizing decision.

10 COMMISSIONER TROMBOLD: Okay. Thank you.

11 CHAIRMAN HAQUE: Okay. Thank you very
12 much.

13 MR. ENDRIS: Thank you.

14 CHAIRMAN HAQUE: We will next hear from
15 the Ohio Consumers' Counsel.

16 MR. HEALEY: Good afternoon, Chairman
17 Haque, Commissioners, Attorney Examiners, Staff. I'm
18 Christopher Healey, representing the Ohio Consumers'
19 Counsel. Thank you for the opportunity to speak on
20 behalf of the residential utility consumers regarding
21 net metering rules.

22 The Consumers' Counsel supports the
23 PUCO's effort to provide more comprehensive rules
24 regarding net metering to ensure consistency across
25 the State of Ohio for consumers. These rules,

1 however, shall remain flexible enough to adapt to
2 changing technologies and to incorporate what the
3 PUCO learns through future initiatives.

4 The Consumers' Counsel's goal is for net
5 metering customers to receive fair compensation; no
6 more, no less. In other words, net metering
7 customers should neither subsidize nor be subsidized
8 by other customers.

9 I'm going to focus on two recommendations
10 today. OCC's other positions are in our filings in
11 this case.

12 First, the PUCO should protect consumers
13 by conducting a comprehensive, statewide evaluation
14 of net metering based on the most-recently available
15 information. There are already two pending forums
16 for this: First, the PUCO's PowerForward initiative
17 and, second, the PUCO's upcoming rules review which
18 is already open.

19 Second, the PUCO should not permit
20 utilities to own distributed generation in Ohio.

21 As you know, the Consumers' Counsel's
22 primary recommendation in this case is for the
23 Commission to defer making overarching decisions
24 regarding compensation for net metering until it
25 conducts a comprehensive statewide investigation.

1 This investigation will help the Commission and
2 parties understand the value that distributed
3 generation provides to all customers and the grid.

4 It's important for the Commission to make
5 decisions based on the most-recently available
6 information. The PUCO should take advantage of two
7 upcoming opportunities to develop further knowledge
8 on net metering. The first opportunity is
9 PowerForward where Phase 3 is just two months away.
10 The second opportunity is the recently-opened docket
11 to review net metering rules under the standard
12 five-year JCARR review process. In each of these
13 forums the PUCO can solicit more up-to-date comments
14 and evidence to decide how best to craft its net
15 metering rules.

16 In the meantime, the Consumers' Counsel
17 recommends that the Commission modify its proposed
18 rule to retain capacity credits for
19 customer-generators who generate more than they use.
20 This would -- this would be consistent with the
21 PUCO's current rule, enacted in 2009, which allows
22 customers to receive credit for excess generation.
23 Then, the Commission can refine its analysis to more
24 precisely value the contributions that
25 customer-generators provide to the grid.

1 Turning now to my second topic. In this
2 case, Duke Energy has asked the Commission to
3 conclude that an electric distribution utility can be
4 considered a customer-generator if it owns and
5 operates distributed generation on a customer's
6 premises.

7 In its Order, the Commission made no
8 findings on this issue, but it did invite electric
9 utilities to file an application if the utility
10 intends to offer net metering in a manner that is not
11 contemplated by Revised Code 4928 or the net metering
12 rules.

13 On rehearing, the Consumers' Counsel asks
14 the Commission to clarify that it is not making any
15 finding that a utility can own customer-funded
16 distributed generation in Ohio.

17 Under the 1999 Energy Law, electric
18 distribution utilities in Ohio should not own any
19 generation, and the law does not permit a utility to
20 provide competitive services on the customer side of
21 the meter with captive customer funds.

22 And as the Consumers' Counsel has
23 emphasized here and in other forums, subsidized
24 generation distorts market prices and is
25 anticompetitive, which leads to higher costs for

1 customers.

2 In conclusion, we look forward to gaining
3 a better understanding of the value that
4 customer-generators provide to all consumers, and we
5 support policies that allow for behind-the-meter
6 services to develop in a vibrant and competitive
7 market that results in technological innovation and
8 lower prices for consumers.

9 Thank you. And I'm happy to take any
10 questions.

11 CHAIRMAN HAQUE: Thank you, Mr. Healey.

12 So the -- the potential state -- the
13 statewide review, what do you hope that the
14 Commission gains from the statewide review?

15 MR. HEALEY: I think we're looking to
16 answer the primary question that we're all discussing
17 today which is what is the actual value that
18 customer-generators provide. We know there's some
19 value, right? We know, at the very least, they're
20 providing energy. We know -- I believe that they
21 provide some capacity value for the various reasons
22 that Ms. Fleisher explained, but we don't know
23 exactly what that value is and I don't think anybody
24 here thinks we do.

25 So I think our goal, through a

1 more-comprehensive evaluation, I don't know if it's
2 exactly a Valuation of Solar study or something like
3 that or something different would be to get to a
4 point where we do have a better understanding, and
5 maybe don't get it down to the last penny, but get
6 closer than we are now before we enact a rule, like
7 the Commission's current one, which largely
8 forecloses any value for capacity for the vast
9 majority of customers other than maybe a small number
10 that have the right meter at this moment.

11 CHAIRMAN HAQUE: Why, in the interim,
12 allow for the capacity payment? So the OCC would
13 prefer that we conduct a statewide review to try and
14 identify what the actual monetary capacity benefit
15 would be from distributed generation in the state.
16 But why, in the meantime, allow for the capacity
17 payment?

18 I -- I thought you would go the other way
19 because this is, arguably if it's -- if it's -- if
20 it's going to be unaccounted for, I think that's
21 going to be socialized across the footprint of each
22 utility, I could be wrong about that but I think
23 that's how it goes, the excess payment, so why that
24 position?

25 MR. HEALEY: I think the simple answer is

1 we do believe there is some value. We believe that
2 that is consistent with the state policy of
3 encouraging distributed generation.

4 I think in addition to that -- my
5 apologies.

6 I think the other issue is that
7 historically that option has been available to
8 customers. At least within Duke's territory they do
9 currently receive a capacity benefit. And based on
10 the Commission's prior Orders in this case, fairly
11 strongly supported that view in detail. And the
12 most-recent Order seems to be a fairly significant
13 reversal without a lot of explanation. And we're
14 trying to understand what the Commission's, you know,
15 change of heart has been based on, and I think that
16 further review would give us more insight into what
17 the Commission is thinking and why they are headed in
18 the direction that they're headed.

19 CHAIRMAN HAQUE: Thank you.

20 Other questions?

21 Commissioner Johnson.

22 COMMISSIONER JOHNSON: I think you
23 answered this, but I just want to make it clear. So
24 -- and you talked about getting more information.
25 Are you suggesting that we just throw this case out

1 and not pass anything or what is OCC's position?

2 MR. HEALEY: I think our position on that
3 issue is largely focused on the capacity credit.
4 Certainly we're not suggesting throwing out the rest
5 of the case. There are various other issues we
6 addressed; others that we don't take any issue with.

7 I think the focus of the new statewide
8 initiative would be on the valuation issue. And I
9 think our view, as we stated in our briefs, would be
10 for the time being to retain a capacity credit
11 consistent with what the Commission is doing now,
12 largely a status quo, rather than shifting gears,
13 getting to a new statewide evaluation, getting new
14 information and then shifting gears again. It makes
15 more sense to just take a little bit more time before
16 we get to a more-definitive policy like the one that
17 the Commission has ordered in November.

18 COMMISSIONER JOHNSON: Thank you.

19 CHAIRMAN HAQUE: Other questions?

20 Mr. Price.

21 EXAMINER PRICE: What's OCC's position on
22 whether the net metering tariff should be available
23 for shopping customers?

24 MR. HEALEY: I don't think that OCC has
25 taken a position in this case on that issue.

1 EXAMINER PRICE: In your own personal
2 perspective.

3 (Laughter all around.)

4 MR. HEALEY: I honestly can't speak to
5 that issue.

6 CHAIRMAN HAQUE: Smart, Young Litigator.
7 Well done.

8 (Laughter all around.)

9 MR. HEALEY: That's why we need the
10 statewide evaluation.

11 CHAIRMAN HAQUE: Okay. Ms. Schabo,
12 anything? No?

13 Okay. Mr. Healey, thank you very much.

14 CHAIRMAN HAQUE: Wonderful segue,
15 Mr. Price, into IGS.

16 Mr. Oliker.

17 MR. OLIKER: Thank you, Mr. Chairman,
18 Commissioners. Good afternoon. My name is Joe
19 Oliker, and I am Senior Regulatory Counsel for IGS
20 Energy.

21 The IGS family of companies offer a
22 diverse range of projects from retail electric
23 service to distributed generation solutions. We
24 serve over one million retail electric and natural
25 gas customers and we have developed over 70 megawatts

1 of solar assets throughout the United States.

2 As a result of our diverse business
3 portfolio, we have a unique perspective regarding
4 both distributed generation and net metering rules.

5 In this proceeding, we filed an
6 Application for Rehearing regarding the November 8th
7 Finding and Order because we believe it undervalues
8 compensation for distributed generation resources and
9 we think it also potentially discriminates against
10 shopping customers.

11 Put simply, we don't think that
12 individuals desiring to develop distributed
13 generation should have to choose between shopping and
14 building a distributed generation resource.

15 Without going into specific details that
16 we may address further in our Application for
17 Rehearing, we would like to emphasize a few areas
18 that we believe the Commission should focus on in an
19 Entry on Rehearing regarding these rules.

20 Under the current rules there is little
21 opportunity for a shopping customer to receive net
22 metering compensation from a supplier for any
23 generation that is placed back onto the electric
24 grid. And this is due to the fact that in large
25 part, as you've heard earlier, there is not a great

1 deal of advanced metering in Ohio. And even when you
2 have an advanced meter, that always is not enough, as
3 we've seen, for example, with Duke Energy Ohio where
4 they have 100 percent smart meter rollout, they're
5 not reconciling the PJM settlement statements to the
6 actual customer usage. And if they're not actually
7 reconciling the settlement statements to actual
8 usage, that means that we can't get a negative load
9 on our settlement statement. And without a negative
10 load, we can't give any value to the customer for
11 that energy. So the problem is particularly
12 difficult for smaller customers and smaller
13 commercial customers.

14 And even to the extent that you have a
15 utility that does reconcile its settlement statements
16 to actual usage, it's operationally difficult for us
17 to give a credit to a customer because LMP prices go
18 up and down, and you effectively need a crystal ball
19 for a 25-year period to be able to quantify the value
20 of the excess energy that may be going onto the grid.

21 So, from a practical standpoint, what
22 this all means is we may be forced to ask a customer
23 to go back to default service if we want to put solar
24 panels in their house, and that's an untenable
25 position to be in when you're also one of the leading

1 electric suppliers in Ohio.

2 So, for these various reasons, we have
3 three suggestions that we would like to make to the
4 Commission to simplify the process and to allow
5 distributed generation to have some penetration in
6 Ohio.

7 And the first recommendation we would
8 make is whether or not a customer is an SSO customer
9 or a shopping customer, they should have access to a
10 net metering tariff offered by a utility. And that
11 net metering tariff should allow for compensation up
12 to the point when their compensation -- their
13 production exceeds usage for it to be based upon the
14 full SSO rate. So that would be a 100-percent
15 instead of a 120-percent solution.

16 And the other important distinction that
17 we think this Entry on Rehearing should make is the
18 currently-proposed rules require for there to be a
19 monthly netting, and with a monthly netting process
20 it creates a lot of uncertainty and difficulty. We
21 would transfer that to either a semiannual netting or
22 an annual netting. In that scenario, a customer
23 would be able to actually size their generation
24 facility to offset 100 percent of their usage
25 requirements. We think it's difficult to do that

100

1 now.

2 But regardless of what the Commission
3 does, we think, at a minimum, the Commission should
4 at least implement what was contained in the
5 November 8th Order which is to require us to receive
6 a negative load on our PJM settlement statement for
7 energy and capacity; and in instances where there is
8 no advanced metering, the utility should be required
9 to do that based upon a profile, and that will ensure
10 that we at least have some form of compensation that
11 we can pass along to a customer.

12 That aside, we are recommending a
13 straightforward process merely to simplify things.
14 And I just want to share an example or two.

15 Currently, as we're looking at situations
16 with the customer, we can only size a net metering
17 facility to offset 15 to 25 percent of their usage
18 requirements. That's because we don't see any value
19 under the currently-authorized net metering rules,
20 and we have to size the facility, so they don't
21 actually put any electrons back onto the grid. And
22 we would hopefully rectify that process through this
23 proceeding on rehearing.

24 With any remaining time, I'd be happy to
25 answer any questions.

1 CHAIRMAN HAQUE: Thank you, Mr. Oliker.
2 So describe IGS's long-term vision
3 operating in the DG space. And then, based upon
4 where we are now, what is specifically needed for IGS
5 to obtain that vision?

6 MR. OLIKER: I think long term, your
7 Honor, we see that as an area of extreme growth. We
8 have, you know, dedicated a portion of the IGS family
9 of companies to specifically develop distributed
10 generation. You know, in the past three years alone
11 we've developed over 70 megawatts, and we're on pace
12 to more than triple that I think in the next few
13 years. Whether or not that is in Ohio is not clear.
14 Part of that will depend on how this proceeding
15 evolves.

16 But through, number one, providing
17 certainty to what the net metering credit will be.
18 It doesn't necessarily have to be certainty up to
19 100 percent, 120 percent. I've heard all the
20 conversations; is the number 100 percent, is it 120
21 percent.

22 You know, in our mind, as a developer,
23 the 120 percent number is fictitious and it doesn't
24 matter because we're not going to construct a
25 facility that's that big.

102

1 I gave you the example earlier of 15 to
2 25 percent. It's -- we're building resources or
3 we're trying to build resources more as a
4 peak-shaving facility because of the uncertainty when
5 you are actually putting electricity back onto the
6 grid.

7 By having additional certainty for what
8 the net metering credit is, even if it is only up to
9 the point where the production of the facility is up
10 to 100 percent of usage, that would help the
11 situation. Having the annual reconciliation of the
12 net grid in credits, that would also help the
13 situation.

14 I say that because if you look at months
15 like today in January, a solar facility's not likely,
16 even if it's sized to produce 110, 120 percent of
17 annual usage, it probably will not offset all of your
18 usage in the month just because it's January and
19 solar doesn't produce as much. But if you look at
20 April, you might produce more than 30 percent of your
21 actual usage.

22 So that creates that uncertainty with
23 those months and it's difficult to carry over your
24 credits because of the monetary cash-out. If you
25 move to an annual basis, with a flat rate, then you

1 can model the solar construction so you actually are
2 doing as the statute says, which is intending to
3 offset all of your usage requirements. Whereas now,
4 under the current rules, I don't think you can even
5 get close. But that's just our perspective as a
6 developer.

7 CHAIRMAN HAQUE: Based upon -- based upon
8 where we're currently situated in this state, what is
9 the selling point for a retailer to -- how do you
10 sell DG to potential customers as -- as a -- as a
11 supplier in this state?

12 MR. OLICKER: One of the ways you can do
13 it of course, your Honor, is by telling customers
14 you're going to save them money, which is what we can
15 do in other states with full retail rate net
16 metering. And if you have the ability to carry over
17 the net metering credits on an annual basis, then you
18 can tell them you are not going to pay the utility
19 very much for electric service.

20 Whereas now there's the uncertainty of,
21 well, you're going to be paying the utility for
22 electrons in January, and then in April you're going
23 to be producing more but your cash-out is going to be
24 at the energy value within that month. Then you've
25 got all that uncertainty that you have to model and

104

1 explain to the customer. By making things simple and
2 explainable to a customer in something that we can
3 bake into say a PPA, which is typically how the
4 industry constructs these contracts, you say this is
5 a PPA, you will pay us for 25 years --

6 CHAIRMAN HAQUE: You're not allowed to
7 say PPA. No, I'm just messing with you.

8 (Laughter all around.)

9 MR. OLIKER: So yes, this is a good type
10 of PPA, your Honor. But it's usually a 25-year PPA
11 and customers want certainty over what that PPA will
12 be. The more of the externalities you can take out
13 of that PPA, the better for explaining to a customer
14 and showing value to them.

15 CHAIRMAN HAQUE: Okay. But -- so as a
16 supplier, even in an ideal world, you have to be able
17 to -- to -- you have to be able to effectively -- let
18 me -- let me phrase it differently.

19 So if you are on -- if you're on the --
20 if you're on the net metering tariff for -- for AEP
21 Ohio, okay? You know, you have some certainty about
22 what will happen on a month-to-month basis. If you
23 produce power, your -- your -- you will -- you will
24 receive the equivalent offset. And then the excess
25 piece is sort of what we're talking about here today

1 associated with, you know, how are we going to
2 quantify the excess, okay?

3 But as a competitive retailer, you
4 don't -- you -- you are -- how are you -- how do you
5 essentially monetize this entire, this entire space
6 as a retailer? I mean, I understand what your asks
7 are, you know, you need meters, you need to be able
8 to settle appropriately with PJM. But really for the
9 retail supplier community, I mean how do you monetize
10 this world and make it -- make it something that's
11 worthwhile to a customer?

12 MR. OLIKER: And first can I clarify,
13 your Honor, are you speaking as IGS Energy, the
14 electric supplier, or IGS Solar, the distributed
15 generation developer?

16 CHAIRMAN HAQUE: Well, that's a fair
17 question. We'll talk about -- we'll -- we'll ask you
18 from the supplier, from purely the supplier
19 perspective.

20 MR. OLIKER: From the supplier
21 perspective -- and the reason why I asked the
22 question is because net metering often pits two sides
23 of our business against each other because the
24 interests may be different and we're trying to find a
25 solution that makes both of them happy.

106

1 At least from a retail electric side,
2 having the credit on our PJM settlement statement for
3 energy and capacity, it's a step in the right
4 direction for sure. It can create difficulties to
5 the extent there's no transparency on what the credit
6 may be. If we don't know down to a specific meter
7 what the capacity tag is for that customer or we
8 don't know the exact hours that we're getting a
9 negative load for that customer on our settlement
10 statement, it's very -- it's impossible to monetize
11 it.

12 Just like, as we've heard earlier, it's
13 currently allocated to unaccounted-for energy. If
14 it's in unaccounted-for energy, it's benefiting all
15 load-serving entities within the zone, including the
16 SSO suppliers, and it's not directly allocated to
17 IGS. So in that scenario there is -- the ability to
18 monetize is, it's fractionated by, you know, a factor
19 of 50 of what we get for what's actually being
20 produced.

21 So being able to isolate it down to the
22 settlement statement per customer is definitely a
23 step in the right direction, but it is still a
24 complicated process that is difficult to do on a
25 customer-by-customer basis, especially for

1 residential customers where the cost of doing those
2 calculations may exceed the value.

3 CHAIRMAN HAQUE: Okay. In one of the EDU
4 briefs they cite that you should be able to monetize
5 this through appropriate modeling. Agree? Disagree?

6 MR. OLICKER: It is a difficult process to
7 do due to the uncertainty. I mean, I haven't seen
8 many good models that go out 25 years in my
9 experience. Typically, the shorter the duration of
10 the model, the more accurate it is. But solar is a
11 20- to 25-year investment. So there are ways to
12 monetize it, but it requires a developer to bear a
13 lot of risk, and either that or put that risk on the
14 customer which makes the transaction difficult to
15 explain or to, you know, justify in the long term
16 potentially.

17 CHAIRMAN HAQUE: For your three
18 suggestions can you -- are they in the -- are they in
19 the order in which you would prioritize? Or is there
20 one that's -- that's -- that is paramount to you?

21 MR. OLICKER: Depending on which company
22 I'm speaking for here, I would say if we were trying
23 to solely develop solar assets, I would say the
24 annual reconciliation would be the largest and overt
25 for solar development. It would take out a lot of

1 uncertainty.

2 But from the retail electric supplier
3 side if -- and again, if the credit is coming from
4 the utility itself, that becomes less of an issue for
5 the retail supplier. If the credit is coming from
6 the retail supplier, the PJM settlement issue becomes
7 the biggest issue.

8 CHAIRMAN HAQUE: Okay. Other questions?

9 Mr. Price.

10 EXAMINER PRICE: I just have two
11 questions. First, in the Order we did implement
12 continuous rollover of the credits. Does that work
13 for you in terms of substituting for the annual
14 reconciliation or do you still need something else?

15 MR. OLICKER: The difficulty you run into
16 with the rollover of the credits, it goes back to
17 that example of January versus April. In January, a
18 customer is probably going to be taking from the grid
19 and they'll be paying that distribution rate and a
20 generation rate to the utility. Whereas, in April,
21 if they're producing more than they use, then they're
22 going to be cashed out at the energy-only price. So
23 those two prices are not going to necessarily be the
24 same and they're still going to have a significant
25 bill to the utility.

1 EXAMINER PRICE: Okay. And I guess my
2 second question is do you see -- you've proposed that
3 shopping customers be allowed to use the utilities'
4 net metering tariff. Do you see that in perpetuity
5 or do you see a point in the future at which point
6 IGS will say, okay, we're done now, this should now
7 just be solely left to the marketers.

8 MR. OLIKER: I don't want to ever say
9 never, but I think for the next five years it would
10 be at least a good solution and we could revisit it
11 at that point on what the appropriate path forward
12 is. But, as I understand it now, we're a long way
13 away to having full smart meter rollout and to having
14 actual PJM settlements reconcile up to actual usage.
15 So at least for the next five years.

16 CHAIRMAN HAQUE: Mr. Conway.

17 COMMISSIONER CONWAY: Thank you.

18 Mr. Oliker, if we were to adopt the
19 annual reconciliation request or proposal and we
20 were, at the same time, to shift to straight fixed
21 variable pricing for distribution service for the
22 EDUs, how would that affect -- how would that affect
23 your model, your business plan? I guess what I'm
24 trying to get at is to what extent does your business
25 plan depend upon being able to offset wires charges,

110

1 variable, currently variable-priced wires charges?

2 MR. OLIKER: Your Honor, I have not run
3 that calculation, but we do have some manner of
4 straight fixed variable now that are customer charges
5 and some with the utilities. Of course, as you
6 increase the customer charges, that will -- it will
7 change the economics for sure.

8 I would -- I would hope at least if there
9 was some form of movement to straight fixed variable,
10 there would be some valuation of the distribution
11 component of solar. I mean we see that in other
12 states. Whether there are avoided future
13 distribution costs or a reduction of voltage on a
14 circuit in a certain area that that would at least be
15 considered in that. But I mean it's just a practical
16 consequence, it would impact the economics.

17 CHAIRMAN HAQUE: Okay. Any other
18 questions for Mr. Oliker?

19 Okay. Thank you very much.

20 MR. OLIKER: Thank you.

21 CHAIRMAN HAQUE: Okay. AEP Ohio.

22 Mr. Nourse, how are you, sir?

23 MR. NOURSE: Thank you, your Honor.

24 Honorable Chairman and Commissioners,
25 Attorney Examiners and Staff, I get to bat cleanup,

111

1 so I'll try to be non-duplicative and address a few
2 issues important to AEP.

3 First of all, I agree with Mr. Endris and
4 Mr. Schuler that the Commission did do a commendable
5 job in its November 2017 Order, balancing a lot of
6 complicated interests, implementing the statute in a
7 legal -- legally-defensible fashion.

8 The 2014 version of the rules, you know,
9 were challenged by FirstEnergy and AEP, and we still
10 have appeals pending at the Supreme Court on that.
11 You know, we'd like to see these rules finalized and
12 be able to withdraw those appeals and move forward.

13 And really the two -- the main difference
14 between the 2014 version of the rules that we did
15 challenge and the current version under the November
16 Order that, you know, we, at least AEP is accepting,
17 are the two things that are now being put back on the
18 table through rehearing that are most important to
19 us. Number one is the shopping customer issue and
20 number two is the capacity credit issue. So I'd like
21 to address those mainly. Also, I can briefly address
22 the contiguous issue and give our perspective on that
23 if you have questions.

24 So first, firstly, you know, I think it
25 was a matter determined by the General Assembly, not

1 the Commission, that net metering, the obligation in
2 the statute, 4928.67, is incumbent on the utilities
3 and it really relates to nonshopping customers.

4 And, you know, we briefed this before, I
5 won't go into great detail, but certainly the main
6 provision in 67(B)(3)(b) makes it clear that we're
7 talking about netting electricity supplied by the
8 electric utility where it exceeds the generation from
9 the customer-generator. So that's a nonshopping
10 customer pretty clearly and that's the scope of that
11 statute.

12 Further, in the definition of net
13 metering in 4928.01(A)(30), net metering is the
14 difference between the electricity supplied and the
15 electricity generated. And again, for a shopping
16 customer, under today's regulatory regime, the
17 utility, AEP Ohio, is not supplying electricity,
18 generation service, to a shopping customer.

19 Further, I would flip the argument that
20 Ms. Fleisher made about 67(A)(1) about no identical
21 tariff. She's using it for the capacity credit,
22 which I can address, but with respect to shopping or
23 nonshopping customers there is no identical rate
24 structure in rate components in monthly charges for a
25 shopping versus a nonshopping customer. The shopping

1 customers get out of all the generation-related
2 bypassable charges. And so, again, that's further
3 evidence that the General Assembly only contemplated
4 nonshopping.

5 And finally, on the statutory arguments
6 here for this issue. In 02(H), 4928.02(H) prohibits
7 the subsidy of generation service with distribution
8 charges.

9 Now, as I'll get into in a minute,
10 there's a certain clear subsidy that's already
11 occurring that's really by operation of the net
12 metering statute. But, you know, and -- and that
13 gets into the capacity issue. But here, you know,
14 trying to add shopping customers back in or add them
15 in would -- would violate that statute, in addition
16 to being an unnecessary subsidy that would be created
17 by going beyond the net metering statute.

18 So that's -- that's the shopping versus
19 nonshopping. I don't know if you want to ask
20 questions about that now or I can go ahead and hit
21 the capacity --

22 CHAIRMAN HAQUE: Please just go ahead,
23 yeah.

24 MR. NOURSE: On the capacity energy-only
25 debate, you know, I think the -- as Mr. Endris said,

1 the FirstEnergy case really requires the credit only
2 occur for energy. And I want to talk a little bit
3 about this idea that the Environmental Advocates and
4 to an extent OCC is saying that this net metering
5 customer, for the excess piece, it should be
6 considered a capacity resource. And -- and there's a
7 clear distinction between, you know, offsetting part
8 or all of your own load. That's really the intention
9 of net metering. I think Commissioner Conway quoted
10 the definition of 01(A)(31)(d) earlier; intended to
11 offset part or all of the generator's requirements.
12 So that, that is the policy, that's part of the
13 definitional structure.

14 So to set up a compensation system that
15 incorporates capacity -- sorry -- are you telling me
16 to stop?

17 EXAMINER SCHABO: Yeah. Just wind it up.

18 MR. NOURSE: Okay. To set up that
19 capacity payment for something that's supposed to be
20 relating just to the excess, that goes way beyond the
21 purpose of net metering and it's not considered a
22 capacity resource by PJM for the 5 hours of
23 coincident peak per year, it's not part of the
24 capacity performance regime, it's not dispatchable in
25 any way, so that's -- that's -- that's inappropriate.

1 Questions?

2 CHAIRMAN HAQUE: Okay. So sans a
3 statutory interpretation associated with IGS or any
4 other supplier being able to utilize the net metering
5 tariff, functionally -- functionally, can AEP Ohio do
6 it?

7 MR. NOURSE: Well, if you're asking,
8 yeah, I mean, we can -- we can -- for the -- for the
9 customers that have interval metering or AMI
10 metering, which is increasing, but currently it's
11 about 10 percent, 13 percent of our customers. After
12 we get done deploying AMI, it will be closer to
13 75 percent. So for those customers and probably with
14 some back-office tweaks, you know, I think we
15 could -- we could bill the two, the bidirectional, I
16 guess, you know, the customer's generation on the one
17 hand and the customer's load on the other hand and be
18 able to bill that through -- through to the CRES and
19 settle on that basis.

20 CHAIRMAN HAQUE: Okay. And then the --
21 the annual reconciliation piece, any comments about
22 Mr. Oliker's suggestion or that request?

23 MR. NOURSE: Well, I mean, again, it just
24 underlines my point about not only can we not rely on
25 these -- these -- on this excess energy as a capacity

1 resource on an hourly or daily basis or even a
2 billing period, they want to go to the full year and
3 try to get credit for it, you know, so I think that
4 goes beyond the -- the facts.

5 And I guess I would just say like to the
6 Environmental Advocates or IGS that argues for
7 exploring this further, OCC even made comments about
8 this. Sure, explore it further. If there's a basis
9 in the future to attribute some capacity value and to
10 the extent, you know, frankly, I think the statute
11 would need to be changed, but, you know, if --
12 there's nothing that precludes further action in the
13 future based on further facts or information that's
14 developed in the future.

15 But the point is today there's no basis
16 to assume, there's no evidence, no information that
17 suggests that this excess energy piece is -- is, you
18 know, is a capacity resource.

19 I'd really like to get, I know it's late
20 in the day, but I think there was -- a lot of parties
21 were given a lot of latitude here. I wanted to use
22 an actual example to show, because I think there's
23 some confusion about how the billing works, if I
24 could, to try to --

25 CHAIRMAN HAQUE: Please.

1 MR. NOURSE: -- illustrate these points.

2 CHAIRMAN HAQUE: Yeah, go ahead.

3 MR. NOURSE: But, you know, an ideal, I
4 guess an ideal net metering customer would be one
5 that offsets their load with their -- with their
6 generation behind the meter, and that's kind of, I
7 think, the -- the definition.

8 So if you have a thousand kWh customer
9 who uses a thousand kWh and produces a thousand kWh
10 during a billing period. Now, their bill wouldn't go
11 to zero, it would go -- because we do have a customer
12 charge and we do have some percentage of base D. But
13 for AEP Ohio, that's \$125 for a thousand kWh
14 customer. If they offset by producing a thousand
15 under the net metering regime here, their bill would
16 go down to \$12. It's \$113 savings. Most of that,
17 over \$100, relates to two categories: Generation and
18 then T&D.

19 So the generation makes sense and they're
20 offsetting generation.

21 The -- the T&D charges, I mean let's be
22 clear about that. That -- that is absorbed by all
23 the other customers. This customer is still using,
24 they're pushing a thousand out, they're pulling a
25 thousand in. They're using the grid or else they

118

1 would be off-grid if they could totally produce their
2 energy when they need it. So they're using the grid,
3 and that's paid for, that's picked up by all the
4 other customers. They're already getting a complete
5 capacity credit for all the generation they offset
6 their load with.

7 So in this example, a thousand kwh, they
8 get \$15 from AEP for offsetting the capacity charges
9 reflected in rates. So they're getting 100 percent
10 capacity payment for that generation up to they're
11 offsetting, you know, their full -- their full load
12 requirements. So that's another reason why this
13 energy credit thing is, you know, it's just I think
14 "cherry on top" is the correct way to look at it.

15 The net metering customers, by virtue of
16 the way the General Assembly set it up, are already
17 getting a very generous payment stream, and they're
18 already getting subsidized by the other customers
19 that T&D, which is about 40-plus dollars for AEP
20 Ohio, is going to be picked up by all the other
21 customers.

22 So, you know, those are -- those are how
23 the dollars move, you know, and that's -- that's a
24 real example just based on AEP's rates and simple
25 math. So I just wanted to make sure that is clear.

1 CHAIRMAN HAQUE: Mr. Nourse, can you
2 just, for consistency's sake, can you describe the
3 net metering landscape in AEP Ohio? Roughly how many
4 customers, if you know, --

5 MR. NOURSE: Yeah.

6 CHAIRMAN HAQUE: -- residential,
7 industrial, whether or not you offer a capacity
8 payment currently for excess generation.

9 MR. NOURSE: Yup. I pinged -- I pinged
10 someone when I heard those questions earlier.

11 So for residential we have about 1,063
12 customers currently. 1,010 of those are solar, 53
13 are wind.

14 And then on the nonresidential side, we
15 have 307 total net metering customers. 279 are
16 solar, 23 are wind, and 5 are other.

17 And obviously those numbers don't reflect
18 the load value. Just because there's more
19 residential customers doesn't mean there's not a lot
20 more load on the non-res side, but those are the
21 numbers I think you were asking about.

22 CHAIRMAN HAQUE: And then, no, you don't
23 allow for a capacity payment for the excess. It's
24 energy-only right now?

25 MR. NOURSE: Well, you know, to clarify

120

1 that, I think we -- we currently have a Gen C and Gen
2 E rates, meaning there's an energy and a capacity
3 unbundling that has occurred more recently in the
4 last few years. These rules that we're really
5 applying today predate the 2014 Order because you
6 were changing the rules in 2014 and then you pulled
7 them back and now. So -- so, you know, I think
8 basically they do get the SSO rate today which --
9 which is really now unbundled into Gen C, Gen E for
10 us, and then an Alternative Energy Rider for the
11 renewable portion of the supply.

12 CHAIRMAN HAQUE: Other questions for
13 Mr. Nourse?

14 Mr. Conway.

15 COMMISSIONER CONWAY: Just to also kind
16 of to complete the circuit with the EDUs, Mr. Nourse,
17 with regard to how you're going to implement, your
18 client is going to implement the authority to review
19 and approve or disapprove net metering applications
20 based on what your conclusions are about the hazard
21 and safety --

22 MR. NOURSE: Yeah.

23 COMMISSIONER CONWAY: -- impacts that
24 they will produce. And in a related matter with
25 regard to the contiguous question, is it your -- your

121

1 client's view that, as is apparently the case with
2 FirstEnergy, I'm not sure quite about Dayton Power
3 and Light where they come out on this, but you will
4 interpret the contiguous criterion as excluding from
5 the contiguous category properties that are separated
6 by a public way or a railroad right-of-way or another
7 -- or an easement like a utility easement, or are
8 you --

9 MR. NOURSE: Yeah.

10 COMMISSIONER CONWAY: -- or do you regard
11 them as properties that are separate in that fashion,
12 still contiguous, but then subject to this safety and
13 hazard review and if it -- and then --

14 MR. NOURSE: Yeah.

15 COMMISSIONER CONWAY: Okay.

16 MR. NOURSE: Yes. So let me -- there's
17 two parts there. So on the, on the contiguous piece,
18 I mean I think if they're separated then they
19 wouldn't be contiguous. But if they're just -- if
20 it's just a utility right-of-way at the edge of the
21 two properties that are contiguous, you know, I think
22 I would still consider that contiguous. If it is
23 separated by a separate parcel, whether it's a
24 highway or a -- or a railroad or something, I think
25 that's probably noncontiguous.

1 But I would also emphasize, maybe that
2 gets maybe lost in One Energy's argument, I mean the
3 key under the statute, and this is statutory, the
4 contiguous language comes from the statute, that it's
5 supposed to be the customer's premises. So, I mean,
6 it can't be a solar developer that has a contiguous
7 property or is providing two parcels away or
8 whatever. That's community solar and that is not
9 permitted under the Ohio rules.

10 But if it's under the customer's control
11 and if it is contiguous, not separated, I think
12 that's -- that's how we would interpret it.

13 As for the safety issue, I think we
14 probably are similar again to the way Mr. Endris
15 described it. Our engineers look at, they're trying
16 to facilitate interconnection, they look at the
17 safety issues.

18 And I'll say that "behind the meter" is
19 not always the same as, you know, the "point of
20 interconnection," meaning we do look behind the meter
21 or behind the point of interconnection for some
22 things. For example, there's got to be switching in
23 place where if the -- if the circuit gets turned off
24 for work on the circuit, that customer, if they have
25 their behind-the-meter generation running, won't

123

1 electrocute our workers that are up on the pole. So
2 that's one example. It's all part of the plan that's
3 submitted. So there are safety issues that can be
4 behind the meter at the point of interconnection.

5 But as to if you're on the back property
6 that crosses, you know, and it doesn't have these
7 other contiguous problems, I don't think we look at
8 that, you know, subject to my earlier explanation of
9 contiguous.

10 COMMISSIONER CONWAY: Okay. Thank you.

11 MR. NOURSE: Okay.

12 CHAIRMAN HAQUE: Other questions?

13 Okay. Thank you.

14 MR. NOURSE: Thank you.

15 CHAIRMAN HAQUE: Okay. We are going to
16 move to rebuttal.

17 EXAMINER PRICE: Lightening round.

18 CHAIRMAN HAQUE: What's that?

19 EXAMINER PRICE: Lightening round.

20 CHAIRMAN HAQUE: Lightening round. So
21 rebuttal is supposed to be 1 minute and there are
22 seven parties, so this should take roughly 7 minutes.

23 Ms. Johnson, you are up first.

24 MS. TREADWAY: Thank you, Commissioners.

25 It is absolutely necessary that we ensure

124

1 the safety and reliability of the distribution grid,
2 and that is accomplished under the current
3 interconnection rules and their requirement that we
4 adhere to IEEE 1547, UL 1741, and the National
5 Electric Code.

6 It is absolutely necessary that the
7 crossing of easements is safely done. And again,
8 that is comprehensively regulated by the Board of
9 Building Standards, building inspectors, local,
10 county, township zoning authorities.

11 It is regulated the same way. Every
12 single building and every single stadium in the State
13 of Ohio is regulated to ensure that it is safe and
14 the electric systems of those facilities are safe.

15 Giving the utilities the discretion over
16 this, based on no clear standard, is unnecessary and
17 it can, quite frankly, strike dead commercial and
18 industrial net metering in the State of Ohio.

19 If this is going to be addressed, it
20 should be done holistically and in the
21 interconnection rules, not here, and that's why it's
22 important that the Commission adopt its 2015 Order's
23 definition of the term "premises." Thank you.

24 CHAIRMAN HAQUE: Thank you.

25 Dayton Power and Light.

125

1 MR. SCHULER: Thank you, Mr. Chairman and
2 Commissioners.

3 I've spent my last hour or two trying to
4 think of how we might be able to bridge the gap
5 between One Energy and the EDUs. And I think it
6 might boil down, I don't know if this completely
7 bridges the gap, but I think it addresses a number of
8 concerns and perhaps clarifies where DP&L is at on
9 this issue.

10 I think it really is two alternative
11 routes for the Commission on this. If there's a
12 clarification of the term "contiguous" to not include
13 easements and right-of-ways, because obviously we do
14 not see that as contiguous, I think that would abate
15 most of our concerns. Otherwise, then, if easements
16 and right-of-ways are permitted, then that's where we
17 really do need that safety analysis because -- thank
18 you -- because those right-of-ways could be our own
19 lines. Commissioner Conway, we talked about that
20 before, that is one of our primary concerns is it
21 being our own lines, so.

22 With those two alternate possibilities
23 for us, I think that could bridge part of this gap
24 here and hopefully find the common ground that you
25 were looking for.

126

1 CHAIRMAN HAQUE: What was the second one
2 again? I'm so sorry.

3 MR. SCHULER: Well, essentially leaving
4 the rule the way it is and allowing us to conduct a
5 safety analysis, as the rule allows us, to look at
6 whether it's an unsafe or hazardous condition.

7 CHAIRMAN HAQUE: Okay. Thank you.

8 MS. FLEISHER: Your Honors, there's been
9 a lot of assertions about the capacity value of
10 excess generation. And we've presented, in our
11 briefings and here, some facts to back up our
12 assertions that there is capacity value: Valuation
13 of Solar studies done in other jurisdictions; an
14 explanation of the mechanism, the existing mechanisms
15 by which distributed generation provides capacity
16 value.

17 On the other side you have, "Oh, this is
18 a subsidy," from FirstEnergy, a utility that had no
19 excess generation on its system in 2016, which we
20 mentioned in our Memo Contra.

21 This is exactly why Ohio has a statute
22 that protects net metering customers against being
23 targeted through rate design decisions that have no
24 factual basis and why this should all be put on hold.
25 If you want to do a Valuation of Solar study, you

127

1 can; but meanwhile, there is value here, it should be
2 compensated, they are providing electricity. Thank
3 you.

4 CHAIRMAN HAQUE: Thank you.

5 Mr. Endris.

6 MR. ENDRIS: Thank you, Mr. Chairman.

7 I would like to address the questions
8 that were asked by Commissioner Conway, particularly
9 about the -- whether these should be treated as any
10 other resource, any other capacity resource. And the
11 answer is no, they are not the same as other capacity
12 resources, particularly in their dispatchability or,
13 for example, in the case of demand response under the
14 Companies' programs, they are callable during a
15 curtailment event and there are penalties for
16 nonperformance.

17 Net metering, on the other hand, customer
18 generation, is a plug-and-play without those kinds of
19 constraints. And the amount of subsidy for spinning
20 back to the zero is constrained only by -- is
21 constrained by the statutory limitations that we've
22 discussed today. Thank you.

23 CHAIRMAN HAQUE: Thank you.

24 Mr. Healey.

25 MR. HEALEY: Thank you, Mr. Chairman.

128

1 I would note that the Commission asked a
2 lot of questions today, primarily of the utilities,
3 asking for data, how many customers, how many
4 megawatts. I think this highlights the need for
5 additional information-gathering.

6 What we have through this proceeding so
7 far is a lot of comments from a lot of parties and
8 those have been really, really valuable. But what we
9 don't have is an Ohio-specific study analyzing what
10 the actual value is coming from Ohio, coming from
11 Ohio customers who are generating their own
12 electricity.

13 And that's why we're asking for further
14 review which will benefit both the Commission,
15 benefit OCC in understanding the value of distributed
16 generation to the customers that we represent which
17 includes both distributed generation net metering
18 customers and those that aren't.

19 So that's why we really want an
20 understanding of what is the true value here, how can
21 we compensate customers for that true value, no more,
22 no less, to avoid having the subsidies that various
23 parties have talked about today. Thank you.

24 CHAIRMAN HAQUE: Thank you.

25 Mr. Oliker.

1 And I joked with Angela here that by
2 "rebuttal" we meant closing arguments. Sorry.

3 (Laughter all around.)

4 MR. OLIKER: Thank you, your Honor.

5 Just three quick points to follow up on
6 Mr. Healey's comments.

7 I think we heard today there is probably
8 less than 5,000 net metering customers in the entire
9 state, maybe less than one-tenth of 1 percent of all
10 customers. I mean we're not talking about any
11 penetration of any sort.

12 And to respond to AEP about the
13 availability of net metering tariffs. We do not
14 believe it would be beyond the Commission's
15 jurisdiction to extend that right to shopping
16 customers. Interpreting the net metering rules in
17 that way would be permissible under the statute.

18 Additionally, one more response to AEP.
19 There was discussion of a customer that produces and
20 consumes 1,000 kilowatt-hours and that that's an
21 ideal customer. We agree, but we don't know of any
22 of those customers that exist. So, as a result of
23 that, the rules need to work within the confines of
24 the market and the actual production curves and usage
25 curves of actual customers, and the annual

130

1 reconciliation would address that issue. Thank you,
2 your Honor.

3 CHAIRMAN HAQUE: Thank you.

4 And Mr. Nourse.

5 MR. NOURSE: Thank you.

6 You know, I don't know why there's so
7 much debate about the excess energy issue if there
8 aren't -- if it isn't the intention to try to get
9 that additional compensation.

10 All I would say is I think -- this is a
11 2012 docket and I think the Commission needs to act.
12 I think the Commission can reevaluate the rules and
13 maybe the five-year time is already beginning now
14 based on this whole docket, but I think the
15 Commission has an obligation to update these rules,
16 move forward based on the best information it had,
17 and the law and, you know, that's what we would ask
18 without further delay. Thank you.

19 CHAIRMAN HAQUE: Okay. Thank you very
20 much.

21 Look, from my lens, this is
22 extraordinarily helpful. Net metering is a
23 policy-rich discussion, policy-rich debate.

24 Obviously, we are -- we have read your
25 briefs, are pretty well attuned to all the legal

1 arguments in the briefs, but being able to dialogue
2 with all of you about especially the policy of the
3 State as it pertains to net metering is
4 extraordinarily helpful.

5 Thank you very much to all of the
6 litigants and those who supported all of you today.
7 You did your entities that you represented a lot of
8 justice.

9 And I would be happy to -- to turn the
10 mic over to the Commissioners if you have anything
11 else you'd like to add?

12 COMMISSIONER CONWAY: I -- I found it
13 very helpful also, Mr. Chairman. And I also
14 appreciate, very much, well-prepared presenters which
15 all of you were, from all sides, very helpful, and
16 thank you very much for your effort. We really
17 appreciate it.

18 CHAIRMAN HAQUE: I would be remiss if I
19 didn't give a shout out to Bryce McKenney who is in
20 the room, former Attorney Examiner. Were these your
21 rules, Bryce?

22 MR. MCKENNEY: At one time.

23 CHAIRMAN HAQUE: At one time these were
24 Bryce's rules. So a shout out to now old-school
25 Bryce McKenney at the ripe age of like 33 or whatever

132

1 Bryce is.

2 Okay. Thank you very much. We are
3 adjourned today. Thank you.

4 (Thereupon, the proceedings concluded at
5 4:20 p.m.)

6 - - -

7 CERTIFICATE

8 I do hereby certify that the foregoing is a
9 true and correct transcript of the proceedings taken
10 by me in this matter on Wednesday, January 10, 2018,
11 and carefully compared with my original stenographic
12 notes.

13
14 Carolyn M Burke
15 Carolyn M. Burke, Registered
16 Professional Reporter, and
Notary Public in and for the
State of Ohio.

17
18 My commission expires July 17, 2018.

19 - - -
20
21
22
23
24
25



This foregoing document was electronically filed with the Public Utilities

Commission of Ohio Docketing Information System on

1/22/2018 12:23:09 PM

in

Case No(s). 12-2050-EL-ORD

Summary: Transcript In the Matter of the Commission's Review of Chapter 4901:1-10 of the Ohio Administrative Code, hearing held on January 10, 2018. electronically filed by Mr. Ken Spencer on behalf of Armstrong & Okey, Inc. and Burke, Carolyn