

1 BEFORE THE PUBLIC UTILITIES COMMISSION OF OHIO

2 - - -

3 In the Matter of the :
4 Application of Columbus :
5 Southern Power Company :
6 and Ohio Power Company : Case No. 11-4571-EL-UNC
7 for Administration of the : Case No. 11-4572-EL-UNC
8 Significantly Excessive :
9 Earnings Test Under :
10 Section 4928.143(F), :
11 Revised Code, and Rule :
12 4901:1-35-10, Ohio :
13 Administrative Code. :

9 - - -

10 PROCEEDINGS

11 before Ms. Greta See and Ms. Sarah J. Parrot,
12 Attorney Examiners, at the Public Utilities
13 Commission of Ohio, 180 East Broad Street, Room 11-D,
14 Columbus, Ohio, called at 9:00 a.m. on Tuesday,
15 December 6, 2011.

16 - - -

17
18
19
20
21
22 ARMSTRONG & OKEY, INC.
23 222 East Town Street, Second Floor
24 Columbus, Ohio 43215-5201
25 (614) 224-9481 - (800) 223-9481
 Fax - (614) 224-5724

- - -

1 APPEARANCES:

2 American Electric Power
3 By Mr. Steven T. Nourse
4 1 Riverside Plaza
5 Columbus, Ohio 43215-2373

6 Porter, Wright, Morris & Arthur, LLP
7 By Mr. Daniel R. Conway
8 41 South High Street
9 Columbus, Ohio 43215-6194

10 On behalf of the Applicants.

11 McNeese, Wallace & Nurick, LLC
12 By Mr. Frank P. Darr
13 Mr. Matt Pritchard
14 Fifth Third Center, Suite 1700
15 21 East State Street
16 Columbus, Ohio 43215-4288

17 On behalf of Industrial Energy Users -
18 Ohio.

19 Bruce J. Weston
20 Interim Ohio Consumers' Counsel
21 By Ms. Melissa R. Yost
22 Ms. Kyle Kern
23 Assistant Consumers' Counsel
24 10 West Broad Street, Suite 1800
25 Columbus, Ohio 43215-3485

On behalf of the Residential Ratepayers
of Columbus Southern Power Company and
Ohio Power Company.

Mike DeWine, Ohio Attorney General
By William Wright, Section Chief
Public Utilities Section
Mr. Thomas W. McNamee
Assistant Attorney General
180 East Broad Street, 6th Floor
Columbus, Ohio 43215-3793

On behalf of the staff of the Public
Utilities Commission of Ohio.

1 APPEARANCES (continued):

2 Ohio Partners for Affordable Energy
3 By Ms. Colleen L. Mooney
4 231 West Lima Street
5 Findlay, Ohio 45840

6 On behalf of Ohio Partners for
7 Affordable Energy.

8 Boehm, Kurtz & Lowry
9 Mr. Michael L. Kurtz
10 36 East Seventh Street, Suite 1510
11 Cincinnati, Ohio 45202

12 On behalf of Ohio Energy Group, Inc.

13 Bricker & Eckler, LLP
14 By Ms. Lisa Gatchell McAlister
15 100 South Third Street
16 Columbus, Ohio 43215-4291

17 On behalf of Ohio Manufacturers
18 Association.

19 - - -
20
21
22
23
24
25

INDEX

- - -

WITNESSES	PAGE
JOSEPH HAMROCK	
Direct examination by Mr. Nourse	9
Cross-examination by Mr. Darr	13
Cross-examination by Mr. Kurtz	40
Cross-examination by Ms. Yost	49
THOMAS E. MITCHELL	
Direct examination by Mr. Nourse	56
Cross-examination by Mr. Darr	58
Cross-examination by Mr. Kurtz	75
ANIL K. MAKHIJA	
Direct examination by Mr. Conway	92
Cross-examination by Mr. Darr	94
Cross-examination by Ms. Yost	95
Cross-examination by Mr. McNamee	98
LANE KOLLEN	
Direct examination by Mr. Kurtz	100
Cross-examination by Mr. Darr	101
Cross-examination by Mr. Conway	107
JOSEPH P. BUCKLEY	
Direct examination by Mr. McNamee	127
Cross-examination by Mr. Darr	129
Cross-examination by Mr. Nourse	132
Cross-examination by Mr. Kurtz	165
- - -	
COMPANY EXHIBITS	ID'D REC'D
1 - Revised Direct Testimony of Joseph Hamrock	10 55
1A - SEC Form 10-K	11 55
1B - FERC Financial Report Ohio Power Company	11 55
1C - FERC Financial Report Columbus Southern Power Company	11 55

INDEX (Continued)			
COMPANY EXHIBITS			
		ID'D	REC'D
2	- Revised Direct Testimony of Thomas E. Mitchell	57	91
3	- Direct Testimony of Dr. Anil K. Makhija	91	98
4	- SPDR Annual Report	146	--
5	- Southern Company Form 10-K	156	--
6	- Dominion Resources Form 10-K	158	--
7	- Edison International Form 10-K	159	--
8	- Entergy Corporation Form 10-K	161	--
9	- Xcel Energy Form 10-K	162	--
10	- Constellation Energy Reports	163	--
IEU EXHIBITS			
		ID'D	REC'D
1	- First Quarter 2011 Earnings Release Presentation	17	56
2	- Credit Suisse 2011 Energy Summit	22	56
3	- 2011 Fact Book 46th EEI Financial Conference	25	56
STAFF EXHIBITS			
		ID'D	REC'D
1	- Prefiled Testimony of Joseph P. Buckley	128	--
2	- Staff 2010 SEET Calculation	128	--
3	- Updated Prefiled Testimony of Joseph P. Buckley	128	--
OEG EXHIBIT			
		ID'D	REC'D
1	- Direct Testimony of Lane Kollen	101	126

1 Tuesday Morning Session,

2 December 6, 2011.

3 - - -

4 EXAMINER PARROT: Let's go on the record.

5 The Public Utilities Commission of Ohio has called
6 for hearing at this time and place Case numbers
7 11-4571-EL-UNC and 11-4572-EL-UNC, being in the
8 matter of the application of Columbus Southern Power
9 Company and Ohio Power Company for administration of
10 the significantly excessive earnings test under
11 section 4928-143(F) Revised Code, and Rule
12 4901:1-35-10, Ohio Administrative Code.

13 My name is Sarah Parrot and with me today
14 is Greta See. We are the Attorney Examiners assigned
15 by the Commission to hear these cases and at this
16 time let's get started with appearances of the
17 parties beginning with the companies.

18 MR. NOURSE: Thank you, your Honor. On
19 behalf of Columbus Southern Power Company and Ohio
20 Power Company, Steven T. Nourse and Daniel R. Conway.

21 EXAMINER PARROT: Thank you.

22 On behalf of the staff of the PUCO.

23 MR. McNAMEE: On behalf of the staff of
24 the Public Utilities Commission of Ohio, Mike DeWine,
25 Attorney General of the State of Ohio, I am Thomas W.

1 McNamee, Assistant Attorney General. The address is
2 180 East Broad Street, Columbus, Ohio.

3 EXAMINER PARROT: On behalf of OCC.

4 MS. YOST: Thank you, your Honor. On
5 behalf of OCC Melissa Yost, Kyle Kern, 10 West Broad
6 Street Columbus, Ohio 43215, thank you.

7 EXAMINER PARROT: Thank you.

8 On behalf of OEG.

9 MR. KURTZ: For the Ohio Energy Group,
10 Mike Kurtz, Boehm, Kurtz & Lowry, Cincinnati, Ohio.

11 EXAMINER PARROT: Thank you.

12 And on behalf of IEU-Ohio.

13 MR. DARR: Thank you, your Honor. On
14 behalf of IEU-Ohio, Frank Darr and Matt Pritchard, 21
15 East State Street, Columbus, Ohio.

16 EXAMINER PARROT: Thank you.

17 On behalf of OP&E.

18 MS. MOONEY: On behalf of Ohio Partners
19 for Affordable Energy, Colleen Mooney, 231 West Lima
20 Street, Findlay, Ohio.

21 EXAMINER PARROT: And finally on behalf
22 of OMA.

23 MS. McALISTER: Thank you, your Honor.
24 On behalf of OMA Energy Group, Bricker & Eckler by
25 Lisa McAlister, 100 South Third Street, Columbus,

1 Ohio 43215.

2 EXAMINER PARROT: Thank you.

3 Mr. Nourse or Mr. Conway.

4 MR. NOURSE: Yes, are you ready for the
5 first witness?

6 EXAMINER PARROT: We are ready if you
7 are.

8 MR. NOURSE: The companies call Joseph
9 Hamrock.

10 MR. DARR: One preliminary matter, your
11 Honor, just we would renew on behalf of IEU the
12 motion to dismiss that was filed last week. I
13 understand the parties obviously haven't had an
14 opportunity to respond to that but we would urge the
15 Commission to act on that. Obviously, it would be a
16 matter preliminary to taking any testimony at this
17 time.

18 EXAMINER PARROT: The rules provide for a
19 time frame and allow the parties to respond, and we
20 have that usual time frame in play here in these
21 cases and so the parties will have the opportunity to
22 respond and the Commission will take that motion
23 up --

24 MR. DARR: Thank you, your Honor.

25 EXAMINER PARROT: -- in its order.

1 MR. NOURSE: And the companies will
2 respond. Thank you, your Honor.

3 EXAMINER PARROT: Mr. Hamrock, please
4 raise your right hand.

5 (Witness sworn.)

6 EXAMINER PARROT: Thank you.

7 Please proceed.

8 - - -

9 JOSEPH HAMROCK

10 being first duly sworn, as prescribed by law, was
11 examined and testified as follows:

12 DIRECT EXAMINATION

13 By Mr. Nourse:

14 Q. Good morning, Mr. Hamrock.

15 A. Good morning, Mr. Nourse.

16 Q. By whom are you employed and in what
17 capacity?

18 A. I'm employed by American Electric Power
19 Service Corporation as President and Chief Operating
20 Officer of AEP Ohio.

21 Q. And did you prepare direct testimony to
22 be filed in these cases?

23 A. I did.

24 MR. NOURSE: Your Honor, I would like to
25 mark --

1 Q. Well, first of all, let me ask you, did
2 you also cause revised testimony to be filed in this
3 case?

4 A. I did.

5 MR. NOURSE: Okay. Your Honor, I'd like
6 to mark revised testimony, revised direct testimony
7 of Joseph Hamrock as AEP Ohio Exhibit No. 1.

8 Anyone else need a copy?

9 EXAMINER PARROT: So marked.

10 (EXHIBIT MARKED FOR IDENTIFICATION.)

11 Q. And this exhibit reflects the revisions
12 that were made. Do you have that with you?

13 A. I'm not sure I have that copy. I have
14 the original direct.

15 Thank you.

16 Q. Okay, Mr. Hamrock, do you have the
17 document that was just marked AEP Ohio Exhibit 1?

18 A. Yes, I do.

19 Q. And was this your revised testimony
20 prepared by you or under your direction?

21 A. Yes.

22 Q. Do you have any changes, additions, or
23 corrections you'd like to make this morning?

24 A. No, I do not.

25 Q. Mr. Hamrock, I note on page 3 of your

1 testimony you indicate that you're sponsoring the AEP
2 2010 Form 10-K. Do you see that?

3 A. That's correct. Yes, I do.

4 Q. And you're also sponsoring the FERC, or
5 Federal Energy Regulatory Commission, Form 1 for
6 Columbus Southern Power and Ohio Power Company for
7 2010. Do you see that?

8 A. Yes, that's correct.

9 MR. NOURSE: I shouldn't have sat down.
10 Okay. Your Honor, I'd like to mark the
11 following exhibits. Let's do the 10-K first. AEP
12 2010 Form 10-K as AEP Ohio Exhibit 1A. I've got a
13 copy for the Bench and the reporter, and I believe
14 the other parties already have this information.

15 And next is the 2010 FERC Form 1 for Ohio
16 Power Company. I'd like to mark this AEP Ohio
17 Exhibit 1B.

18 EXAMINER PARROT: So marked.

19 (EXHIBITS MARKED FOR IDENTIFICATION.)

20 MR. NOURSE: And finally the FERC Form 1
21 for Columbus Southern Power Company for 2010 as
22 AEP Ohio Exhibit 1C.

23 EXAMINER PARROT: So marked.

24 MR. NOURSE: Thank you.

25 (EXHIBIT MARKED FOR IDENTIFICATION.)

1 Q. (By Mr. Nourse) Mr. Hamrock, are you
2 familiar with the documents we just marked as 1A, B,
3 and C?

4 A. I am generally familiar with those
5 documents.

6 Q. And those documents are required by the
7 Commission's rules to be submitted in SEET cases; is
8 that your understanding?

9 A. That's my understanding.

10 Q. Okay. So you are sponsoring these while
11 you didn't directly prepare the information contained
12 in the reports; is that correct?

13 A. That is correct.

14 Q. Okay. Thank you.

15 MR. NOURSE: Your Honor, I have no
16 further direct questions and would tender the
17 admission of AEP Ohio Exhibit 1, 1A, 1B, and 1C,
18 subject to cross-examination.

19 EXAMINER PARROT: Thank you, Mr. Nourse.
20 Let's start on this end. OMA Energy
21 Group?

22 MS. McALISTER: No questions, your Honor.

23 EXAMINER PARROT: OP&E?

24 MS. MOONEY: No questions, your Honor.

25 EXAMINER PARROT: IEU-Ohio?

1 MR. DARR: Thank you, your Honor.

2 - - -

3 CROSS-EXAMINATION

4 By Mr. Darr:

5 Q. Good morning, Mr. Hamrock.

6 A. Good morning, Mr. Darr.

7 Q. Turning to page 11 of your testimony you
8 identify a number of different things that you
9 believe the Commission should consider when
10 determining whether the adjustments to -- are caused
11 by the ESP result in significantly excessive
12 earnings. And I believe that for purposes of
13 calculating the cap you rely on Mr. Mitchell's
14 testimony for that information; is that correct?

15 A. That is correct.

16 Q. Now, with regard to these changes, you
17 included an amount for the provider of last resort
18 charges that were included in the prior -- or, in the
19 ESP that was effective in 2010, correct?

20 A. That's correct. That is one of the rate
21 adjustments that produced earnings. In the current
22 ESP. I'm sorry.

23 Q. I apologize, I thought you had completed
24 your answer.

25 Is there anything else you'd like to add

1 to your answer?

2 A. No.

3 Q. The POLR charge itself was subject to a
4 hearing over the summer that resulted in a decision
5 that came out on October 3rd, 2011; is that
6 correct?

7 A. The remand case?

8 Q. Yes.

9 A. Yes, that's correct.

10 Q. And as a result of that remand case the
11 Commission determined that the company was no longer
12 authorized to collect a POLR charge; is that also
13 correct?

14 A. That was the ultimate outcome of the
15 remand case back to June 1st of 2011.

16 Q. Am I also correct that the company filed
17 alternative tariffs, one that would have recognized a
18 charge, a POLR charge based on pre-ESP rates and one
19 that removed all of the POLR charge?

20 A. Yes, that's correct.

21 Q. And --

22 A. The previously existing POLR charge was
23 in place before the current ESP.

24 Q. And am I also correct that the Commission
25 did not accept the set of tariffs that the companies

1 filed that would have allowed the continuation of the
2 pre-ESP POLR charge?

3 A. That's my recollection, yes.

4 Q. I'd like to move on to a different topic.
5 With regard to Columbus Southern, Columbus Southern
6 is engaged in a number of different lines of business
7 besides providing service under the ESP; is that
8 correct?

9 A. That's correct.

10 Q. This would include, for example, the
11 collection of revenues for wholesale transactions
12 such as off-system sales.

13 A. That's correct.

14 Q. And according to testimony that I believe
15 Mr. Mitchell is sponsoring, there are wholesale
16 transactions in addition to off-system sales that
17 also are a source of either revenues or expenses; is
18 that also correct?

19 A. That is correct.

20 Q. For example, there are Wheeling
21 transactions that CSP may be engaged in.

22 A. Wheeling as in Wheeling Power?

23 Q. Yes.

24 A. Is that what you're referring to? I
25 believe that's Ohio Power in that case, but CSP is

1 involved in other affiliate transactions that would
2 be considered wholesale transactions.

3 Q. And am I also correct, and this is going
4 to seem obvious at this point because we've been down
5 this road so many times, that these wholesale
6 transactions are not regulated by the Public
7 Utilities Commission of Ohio?

8 A. That's correct.

9 Q. These transactions are, in fact,
10 regulated by the Federal Energy Regulatory
11 Commission, or FERC.

12 A. That's our view, yes.

13 Q. There are also transactions that result
14 in power costs for CSP that are set by a FERC
15 transmission charge; is that also correct?

16 A. By the FERC OATT rate, for example?

17 Q. Yes.

18 A. Yes, that's correct.

19 Q. And there are also transactions, for
20 example, with the Lawrenceburg generating station
21 that are subject to a FERC-approved contract.

22 A. That's correct.

23 Q. Now, with regard to the OSS transactions
24 that CSP or for that matter OP may be involved in,
25 for every one of those transactions there is also a

1 transmission component; is there not?

2 A. That depends on the nature of the
3 transaction, but if you're referring to generation
4 sales, supply sales, there's generally a transmission
5 component associated with that, yes.

6 Q. AEP companies such as Ohio Power and CSP
7 are also involved in various pooling arrangements?

8 A. That's correct.

9 Q. This would include arrangements with
10 regard to emissions allowances and pooling of
11 capacity for the various affiliate companies as well,
12 correct?

13 A. Capacity and energy, yes.

14 Q. And each one of those transactions would
15 be governed by FERC-related tariffs as well, correct?

16 A. That is correct.

17 MR. DARR: With the Bench's permission
18 I'd like to have a multipage document marked as IEU
19 Exhibit No. 1, please.

20 EXAMINER PARROT: So marked.

21 (EXHIBIT MARKED FOR IDENTIFICATION.)

22 Q. Mr. Hamrock, do you have in front of you
23 what's been marked as IEU Exhibit No. 1?

24 A. Yes, I do.

25 Q. Could you identify that for us, please?

1 A. That's the first quarter 2011 earnings
2 release presentation for American Electric Power.

3 Q. And are you familiar with this type of
4 presentation as prepared by AEP?

5 A. Yes.

6 Q. And what is the purpose of these slides
7 and the slides that -- excuse me. What is the
8 purpose of the slides that are prepared that you see
9 in IEU Exhibit No. 1?

10 A. Generally to provide data for investors
11 to explain the earnings performance of the company
12 for the period, in this case the first quarter of
13 2011.

14 Q. And generally would you agree that these
15 documents are a true and fair representation of the
16 company's understanding of its current financial
17 status?

18 A. Certainly.

19 Q. Would you turn to page 14 of IEU Exhibit
20 1, please?

21 A. Yes.

22 Q. And I believe you're familiar with this
23 because it shows up in just about every presentation
24 that IEU makes to investors, correct?

25 A. That AEP makes to investors.

1 Q. Excuse me?

2 A. I think you said "IEU."

3 Q. Yes.

4 A. That may be true as well, though.

5 Q. I'm sorry?

6 A. That may be true as well.

7 Q. Darn near true. I think we probably
8 could agree with that.

9 And, for the record, could you
10 identify -- there's an item in the line under utility
11 operations that says "Gross Margin." Can you define
12 for us what "gross margin" means?

13 A. That's generally the revenues per, in
14 this case gigawatt-hour available after cost-based
15 revenues are accounted for, fuel and other variable
16 costs.

17 Q. And specifically I think in your 10-K you
18 define it as revenues less fuel including chemicals,
19 emission allowances, and purchased power. Sound
20 about right?

21 A. Yes.

22 Q. And if we look down through the various
23 categories, the first one, which is labeled line 1,
24 "East Regulated Integrated Utilities," can you define
25 for us what that means?

1 A. That would be what we refer to as the AEP
2 East companies with the exception of the Ohio
3 companies, so it would be Appalachian Power, Kentucky
4 Power, Indiana-Michigan Power, and Wheeling Power,
5 and Kingsport Power.

6 Q. And then the Ohio companies would be CSP
7 and OP, correct?

8 A. That's a combined presentation of
9 Columbus Southern Power and Ohio Power Companies.

10 Q. The West Regulated Integrated Utilities,
11 what would those be?

12 A. Public Service Oklahoma, SWEPCO,
13 AEP-Texas.

14 Q. Texas Wires?

15 A. Yes, Texas Wires. Well, Texas Wires is
16 separate from West, I'm sorry.

17 Q. What is Texas Wires?

18 A. That's the distribution companies in
19 Texas. It no longer owns generation.

20 Q. And there's a separate line item for
21 off-system sales. Do you see those as well?

22 A. I do.

23 Q. Would these be off-system sales for the
24 whole AEP system?

25 A. Yes, that's my understanding.

1 Q. The item No. 6, Transmission Revenue 3rd
2 Party, can you describe for us what that is?

3 A. My understanding is that's sale of AEP
4 transmission capacity to other entities.

5 Q. And what about Other Operating Revenue?

6 A. That might be any other number of lines
7 of business, the AEP barge line and rail facilities,
8 for example, I believe would be accounted for under
9 Other Operating Revenue.

10 Q. Now, if we move over to the item, the
11 next column basically under Performance Driver, this
12 is specifically where you calculate the gross margin
13 per megawatt-hour, correct?

14 A. Per gigawatt-hour, yes.

15 Q. Per gigawatt-hour, yes.

16 A. You're right, it's per megawatt-hour.
17 I'm sorry.

18 Q. We're both --

19 A. The rate is per megawatt-hour. The
20 volumes are expressed in gigawatt-hours on this page.

21 Q. Thanks for clearing that up.

22 And for the Ohio companies it provides
23 that the gross margin per megawatt-hour is \$56.6,
24 correct?

25 A. That's correct. That's the defined Ohio

1 Power-Columbus Southern Power gross margin number.

2 Q. And that would be for the year 2010.

3 A. That is the 2010 actuals, yes, that's
4 correct.

5 Q. And then we could go through the other
6 companies and basically you would be reporting the
7 same information for those companies as well,
8 correct?

9 A. That's correct.

10 MR. DARR: If I may, your Honor, I'd like
11 to have marked a second document as IEU Exhibit
12 No. 2.

13 (EXHIBIT MARKED FOR IDENTIFICATION.)

14 Q. Mr. Hamrock, do you have in front of you
15 what's been marked as IEU Exhibit No. 2?

16 A. Yes, I do.

17 Q. Could you identify this for us, please?

18 A. This is a presentation made at the Credit
19 Suisse 2011 Energy Summit on February 7th and
20 8th of 2011 regarding American Electric Power's
21 financial performance.

22 Q. If we turn to page 3 it lists a person,
23 Brian X. Tierney, EVP and CFO. Could you identify
24 who that is, please?

25 A. Brian is the chief financial officer of

1 American Electric Power.

2 Q. And would this indicate to you that he
3 was the presenter that day?

4 A. Yes.

5 Q. And would he have been acting on behalf
6 of the company, specifically AEP, in making this
7 presentation?

8 A. Yes.

9 Q. Would you turn again to page 14 of this
10 document, and I direct your attention to the diagram
11 on the left-hand side of the page which is captioned
12 "2010 On-Going Earnings Contribution." Do you see
13 that?

14 A. I do.

15 Q. And could you explain the import of this
16 particular graph?

17 A. This graph simply shows the percentage of
18 ongoing earnings that are attributable to each of the
19 operating companies.

20 Q. And specifically Ohio Power, there's a
21 24 percent contribution; is that correct?

22 A. That's correct.

23 Q. And for Columbus Southern Power it's a
24 17 percent contribution?

25 A. That is correct.

1 Q. At the bottom of the page there's a box
2 that says "Region" and "Number of Customers." Do you
3 see that?

4 A. I do.

5 Q. And could you, for the record, explain
6 what this box is meant to represent.

7 A. It simply shows one dimension of the size
8 of each of the operating companies, that being the
9 number of retail customers served.

10 Q. In the fourth item in that box it lists
11 Ohio and Wheeling. Do you see that?

12 A. I do.

13 Q. I assume, and correct me if I'm wrong,
14 that this would be all the Ohio Power customers, all
15 of the Columbus Southern Power customers, and those
16 associated with the Wheeling company; is that
17 correct?

18 A. That's correct.

19 Q. For the record, do you know how many
20 customers are associated with the Wheeling company?

21 A. It's in the neighborhood of 40- to 45,000
22 customers.

23 Q. So if we wanted to roughly estimate the
24 Ohio portion of this, we'd simply subtract out that
25 40- or 45,000, correct?

1 A. That's correct.

2 MR. DARR: I'd like to have marked as IEU
3 Exhibit No. 3 another multipage document.

4 EXAMINER PARROT: So marked.

5 (EXHIBIT MARKED FOR IDENTIFICATION.)

6 Q. Mr. Hamrock, do you have in front of you
7 what's been marked as IEU Exhibit No. 3?

8 A. I do.

9 Q. And could you describe this for us,
10 please?

11 A. It's -- appears to be an excerpt from the
12 2011 Fact Book from the EEI Financial Conference in
13 Orlando, Florida. It includes pages 13, without
14 looking at each page it appears to be pages 13
15 through 28 from that document.

16 Q. And could you describe for the record
17 what the Fact Book is, please.

18 A. It's a reference dataset for investors
19 that includes comprehensive data regarding AEP and
20 all of its subsidiaries.

21 Q. And this is available on the website of
22 the company?

23 A. I believe it is, yes.

24 Q. And from the company's point of view does
25 this fairly and accurately represent the financial

1 information that's presented herein?

2 A. Yes.

3 Q. Now, the pages that have been excerpted
4 are for the AEP-East companies; is that correct?

5 A. That does appear to be correct, yes.

6 Q. And if we turn to page 17, the page
7 marked page 17, we have here a picture of you and
8 also a description of the Columbus Southern Power
9 Company, correct?

10 A. That's correct.

11 Q. And if we turn to the next page, the page
12 marked 18, we find in the box at the bottom a
13 calculation of the average cost per kilowatt-hour
14 residential of 11.32 cents, correct?

15 A. That's correct. That's what it
16 represents.

17 Q. And if we turn to page 20, we have
18 another picture of you and a description of the Ohio
19 Power Company, correct?

20 A. Correct.

21 Q. And if we turn to the next page on this
22 one, in a similar box that we saw on the prior page
23 related to CSP we find another calculation of the
24 average cost per kilowatt-hour of residential service
25 of 9.7 cents, correct?

1 A. That's correct.

2 Q. Now, we can do this for each one of the
3 AEP -- boy, I almost did it again -- AEP-East
4 companies and, subject to check, page 24 we could see
5 that Indiana and Michigan's residential rate is 8.2
6 cents per kilowatt-hour, correct?

7 A. It was during that period, that's
8 correct.

9 Q. Very good. That correction's important,
10 isn't it, because it changes from year to year?

11 A. Yes.

12 Q. And if we looked at Kentucky Power on
13 page 27, we would see that the residential per
14 kilowatt-hour rate was 8.64 cents for 2010, correct?

15 A. That's correct.

16 Q. And if we went back to page 15, we would
17 see for Appalachian Power a rate of 9.31 cents per
18 kilowatt-hour for 2010.

19 A. I'm sorry, what page was that?

20 Q. Page 15.

21 A. 15? Yes, that's correct.

22 Q. And the Appalachian, that would be a
23 merged rate for the West Virginia and Virginia
24 companies?

25 A. I'm not sure, but I suspect that would be

1 the case.

2 Q. Before we move off of that exhibit, if
3 you would, turn to page 22, what's been marked as
4 page 22 on the handout.

5 A. Yes. Ohio Power data?

6 Q. Yes. And if we take a look at the box in
7 the upper right quadrant, and it's labeled "Typical
8 Bill Comparison," could you describe for us what that
9 is, please?

10 A. This is the typical bill for a
11 residential customer as of January 1st, 2011, and
12 it shows each of the electric distribution utilities
13 in the state of Ohio being investor-owned electric
14 distribution utilities and a typical bill for a
15 thousand kilowatt-hours as of January 1st, 2011.

16 Q. So, for example, a customer with that
17 description, residential customer with that
18 description, would have paid Ohio Power \$100.96.

19 A. That's correct. That's the lowest of all
20 of those listed.

21 Q. And a similar customer on the Dayton
22 Power & Light system would be paying \$123.43.

23 A. That's correct.

24 Q. In your testimony starting at around page
25 12 you list a number of factors that you believe are

1 important for the Commission to consider with regard
2 to the risk and a number of other factors that AEP
3 faces under its current ESP.

4 And you also point at page 12 through 14
5 of the leadership that you believe AEP has provided.
6 One of the items that you point to is its leadership
7 in transmission; is that correct?

8 A. Yes. Just to clarify, though, the
9 version I'm looking at that's on page 13. Yes, that
10 question -- that section begins on page 13, yes. But
11 that's correct, transmission leadership is one of the
12 areas I point to.

13 Q. And that area specifically is governed by
14 the FERC transmission tariffs that we talked about
15 previously, correct?

16 A. In terms of rate set, yes. Certainly
17 there's citing authority that Ohio has.

18 Q. You also point to alternative energy
19 compliance as an area of leadership, and specifically
20 with regard to your ESP that was in effect in 2010
21 you recovered your alternative energy compliance
22 costs through a specific rider or riders; is that
23 correct?

24 A. That is correct. We've implemented those
25 programs in a way that promotes the programs for most

1 investments in Ohio and it certainly does that. We
2 engage in those programs in a way that's sustainable
3 and aims to meet or exceed all of the standards.

4 Q. And it's your intention under the
5 stipulation that was filed on September 7th in the
6 proposed ESP to continue those riders either through
7 the fuel adjustment clause or through an alternative
8 energy rider, correct?

9 A. "Those riders," referring to renewables?

10 Q. Yes.

11 A. Or energy efficiency, yes, that's
12 correct.

13 Q. And you also point to gridSMART as an
14 area of leadership for the company as well, correct?

15 A. Yes.

16 Q. And you currently are collecting a rider
17 with regard to gridSMART which you also propose to
18 continue in the proposed ESP.

19 A. That's correct.

20 Q. You mentioned Turning Point at one point
21 in this as well in terms of an alternative energy
22 project, and in the stipulation that is proposed to
23 be handled prospectively through a nonbypassable
24 rider, correct?

25 A. That's correct. That's how it was always

1 envisioned.

2 Q. You also mentioned the Wyandot project
3 which I assume is the Paulding wind farm.

4 A. No. That's a solar project. That's a
5 10-megawatt solar project.

6 Q. Okay. Does the solar project as it
7 currently stands, does that come through your
8 purchased power arrangements as well?

9 A. It is a long-term purchased power
10 agreement that flows today through the FAC clause.

11 Q. At one point in your testimony you also
12 indicated that the company's not assured recovery of
13 its existing generation assets. Do you recall that
14 statement?

15 A. I do.

16 Q. That would be the case under prior
17 regulation as well, would it not, whether we're
18 talking about cost-based regulation or a SSO under
19 the former Senate Bill 3 terms?

20 A. There are certainly different forms of
21 regulatory risk under any regulatory regime. This
22 statement is merely meant to reflect under Senate
23 Bill 221 that risk is heightened.

24 Q. With regard to the environmental
25 investments that you identify as well in your

1 testimony, you were afforded under the ESP an
2 opportunity to recover the incremental investments
3 associated with the 2001 through 2008 environmental
4 adds, correct?

5 A. That's correct. And that is one of the
6 rate mechanisms that's included in the calculation of
7 the earnings cap eligible for return to customers.

8 Q. The point is, though, that you have had
9 an opportunity to earn a recovery of both on and of
10 those investments, correct?

11 A. That's your point?

12 Q. My question.

13 A. Your question. Yes. Yes.

14 Q. And with regard to investments that the
15 company has made since 2009, since the beginning of
16 2009, you have been able to recover those as well
17 under the environmental investment cost recovery
18 rider, correct?

19 A. Only the portion of the costs associated
20 with that year. These are long-lived investments,
21 major capital investments with long lives, and the
22 risk is over the life of the investment, not just
23 during that one year.

24 Q. Fairly taken. With regard to 2010,
25 though, you had a recovery mechanism in place,

1 correct?

2 A. That's correct.

3 Q. You also identify migration risk as a
4 risk the company faces. Is it fair to say that the
5 company has received some compensation for the
6 migration risk under the ESP that was in place in
7 2010?

8 A. Specifically the POLR mechanism? POLR
9 rate?

10 Q. Well, did you not -- isn't the POLR
11 designed to address -- as it was presented, wasn't
12 the POLR designed to address migration risk?

13 A. The POLR rate was designed as a
14 reflection of the risk profile related to customer
15 migration, yes.

16 Q. And at the time the Commission had
17 authorized a revenue stream of about \$152 million a
18 year for both companies to address that concern,
19 correct?

20 A. That's correct.

21 Q. And I note that Ms. Thomas and I have
22 been down this road once before, I can't remember if
23 I've asked you this question. Do you recall what the
24 company reported as the gross margin effect of
25 migration for CSP in 2010?

1 A. I don't recall, although I do believe it
2 was in one of the investor presentations.

3 Q. Do you have in front of you what
4 Mr. Nourse asked to have marked as AEP Ohio Exhibit
5 1A, the 10-K?

6 A. I do not have a copy of that with me.
7 Thank you.

8 Q. If you would, turn to page 161 of the
9 back section, the section that deals with the
10 individual affiliates. And take a look at the
11 section under Customer Choice, the paragraph under
12 "Customer Choice."

13 A. I see that.

14 Q. And I believe the company represented
15 that it lost about 16 million in 2010, \$16 million in
16 generation-related gross margin in 2010; is that
17 correct?

18 A. That's correct.

19 Q. And that's specific to Columbus Southern,
20 correct?

21 A. Yeah, this is the Columbus Southern
22 section of the 10-K.

23 Q. And you anticipated for 2011 \$53 million
24 changes in gross margin.

25 A. That's correct.

1 Q. Does it not also indicate that some of
2 this loss of gross margin would be made up by
3 off-system sales?

4 A. Yes.

5 Q. Now, there's nothing in this section that
6 talks about Ohio Power, but if we turn back to page
7 22 of the front section and we take a look at the
8 first paragraph under "Competition"; do you see that?

9 A. I do.

10 Q. Am I correct that the 10-K reports that
11 OPCo's customer losses have been insignificant?

12 A. There is a statement in that paragraph
13 that says "To date, Ohio Power Company's customer
14 losses have been insignificant." Meaning customer
15 switching.

16 Q. Now, as part of the concern about
17 migration risk, is part of your testimony directed at
18 what the company expects to happen going forward?

19 A. Again, providing generation service is a
20 capital intensive business and those capital
21 investments have long lives and certainly a
22 forward-looking risk in that context.

23 Q. So it's fair to say that the effect of
24 the stipulation is important in terms of the
25 recovery, the stipulation that was entered into and

1 filed on September 7th, 2011, is important to how
2 we look at this capital contribution; is that fair?

3 A. It's certainly fair relative to future
4 investments. I don't believe it's fair to consider
5 that in terms of how we ran the business in 2010; we
6 did not anticipate that stipulation.

7 Q. But you are asking the Commission to look
8 at that forward set of issues when it assesses
9 whether or not you're significantly earning, correct,
10 or significantly excessively earning?

11 A. In the overall consideration of the 2010
12 earnings I believe it's important for the Commission
13 to consider the risk profile of the business as well
14 as the company's continuing significant capital
15 investments.

16 Q. And part of that risk profile going
17 forward is going to be the ability of customers to
18 leave the system.

19 A. Sure.

20 Q. And in a way the stipulation -- one of
21 the ways that the stipulation that was filed on
22 September 7th, 2011, addresses that concern is by
23 the way it handles capacity pricing; is it not?

24 A. That's correct, yes.

25 Q. And under the capacity pricing proposal

1 in the stipulation CRES providers will be able to
2 secure RPM-priced capacity at -- for a certain amount
3 of the customer base with the remaining customer base
4 being eligible for capacity priced at \$255 per
5 megawatt-hour, correct?

6 A. That is how the stipulation is
7 structured, yes.

8 Q. And if we look at the effects of that,
9 according to the company's statements made on
10 September 7th, 2011, would it be fair to say that
11 you expected that to have -- that capacity pricing
12 approach to have some mitigating or, well, let's use
13 the word "mitigating" effect on migration from AEP to
14 a competitive provider?

15 A. Well, again, I believe as we talk about
16 the 2010 significantly excessive earnings test
17 anything related to the stipulation was unknown at
18 that point in time. And as the Commission considers
19 our investments made during that time and the risk we
20 faced, I think it's not as relevant.

21 To answer your question, though, whether
22 it mitigates or not is really a function of the
23 competitive supplier's business model and certainly
24 the cost of capacity is a factor that would affect
25 that. Whether or not it affects the level of

1 shopping is more a function of the competitor's --
2 or, the competitive retail electric supplier's
3 business model.

4 Q. Well, am I correct that at least one
5 representative of AEP, Mr. Munczinski, on a call to
6 investors on September 7th, 2011, made the
7 following statement: "So basically we should see no
8 more shopping from the 20 percent, 30 percent, or
9 40 percent levels that are included in the
10 stipulation"?

11 MR. NOURSE: I object to the selective
12 quotation of an out-of-context statement.

13 MR. DARR: You certainly have an
14 opportunity to redirect in his redirect to add
15 anything else that he wants to add to that.

16 Relevance has been established by the
17 fact that Mr. Hamrock has indicated that going
18 forward part of the capital -- going forward capital
19 decisions are relevant to this proceeding, so it
20 appears relevant to this -- to inquiry.

21 EXAMINER PARROT: The objection is
22 overruled.

23 MR. DARR: Thank you, your Honor.

24 Q. (By Mr. Darr) Can you answer the
25 question, sir?

1 A. I am aware that Mr. Munczinski made that
2 statement. The overall context of that statement and
3 what he meant by that I cannot attest to.

4 Q. Mr. Hamrock, is it also correct that you
5 have identified deferrals as a regulatory risk that
6 the company faces and which the Commission should
7 consider in assessing whether or not the companies
8 have earned significantly excessive earnings?

9 A. That's correct.

10 Q. And am I correct that the company's
11 proposing to recover those deferrals through a
12 phase-in recovery rider and a distribution asset,
13 deferred asset rider as well?

14 A. The fuel phase-ins had previously been
15 approved for recovery through a phase-in recovery
16 rider beginning in 2012. The distribution regulatory
17 assets I believe you're also referring to are
18 scheduled for recovery through another rider that
19 recovers those assets and the return on those assets
20 as well, that's correct.

21 MR. DARR: Thank you, Mr. Hamrock.

22 THE WITNESS: Thank you.

23 EXAMINER PARROT: Mr. Kurtz?

24 MR. KURTZ: Thank you, your Honor.

25 - - -

CROSS-EXAMINATION

By Mr. Kurtz:

Q. Good morning, Mr. Hamrock.

A. Good morning, Mr. Kurtz.

Q. Turn to page 6 of your testimony, please.

Do you have that?

A. I do.

Q. If I ask -- just back up one second.

Dr. Makhija determined that the mean ROE for the comparable group of companies as stated on page 5 of your testimony was 11.48 percent; is that correct?

A. That's correct.

Q. Okay. Then on page 6, line 12 through 14 you make a calculation as to what the threshold ROE would be for SEET purposes if you add 60 percent to Dr. Makhija's mean ROE; is that correct?

A. I don't see that line reference, but I do make that calculation, yes.

Q. I guess I'm seeing lines 12 through 14.

A. Yeah, in my version that's on line 20 through 22, page 6.

Q. Okay. I must have a different version. But you multiply the 11.48 percent mean ROE from Dr. Makhija by 1.6 to get approximately 18.4 percent as the threshold for SEET purposes?

1 A. That's correct.

2 Q. And 1.6 is the, I'll call it the gross-up
3 factor the Commission applied in the prior SEET
4 order.

5 A. That was established in the order related
6 to the 2009 SEET case.

7 Q. Do you remember in the 2009 case there
8 was discussion that the gross-up factor should be 1.5
9 but for various other reasons the Commission used
10 1.6?

11 A. I do remember that, and I believe those
12 reasons still existed in 2010.

13 Q. If we do the math and multiply
14 Dr. Makhija's mean average ROE of the comparable
15 companies by 1.5, would you accept, subject to check,
16 we would get 17.22 percent?

17 A. Yes.

18 Q. Okay. And the difference between -- so
19 the difference between using a 50 percent gross-up
20 factor versus 60 percent is approximately 1.1 percent
21 ROE?

22 A. Right, 110 basis points or so.

23 Q. 110 basis points. Now, that translates
24 into a revenue requirement effect for Columbus &
25 Southern of approximately \$20 million; is that

1 correct?

2 A. I'll accept that subject to check.

3 Q. Let me ask you to turn to page 8 of your
4 testimony. Well, this is my page 8. Maybe you can
5 find it. You are asked the question, it begins on
6 the section "Adjustments to the SEET," "How are
7 off-system sales net margins treated in the 2010
8 SEET?" Do you see that question?

9 A. I do.

10 Q. You begin your answer "Consistent with
11 the Commission's order," you excluded off-system
12 sales from the analysis.

13 A. That's correct.

14 Q. Okay. Do you have a copy of the
15 Commission's 2009 SEET order?

16 A. Not with me on the -- not here.

17 Q. Let me read you a passage on page 29 of
18 the Commission's order in Case No. 10-1261 regarding
19 the off-system sales. It says "Where it can be shown
20 that the electric utility received the return on its
21 OSS, which, if included in the calculation, could
22 unduly increase its ROE for purposes of SEET
23 comparisons, OSS margins and the related equity and
24 generation facilities should be excluded from the
25 SEET calculation."

1 I read that. Would you like to see a
2 copy of it?

3 A. It might be helpful.

4 Q. Okay.

5 MR. KURTZ: May I approach, your Honor?

6 EXAMINER PARROT: You may.

7 Q. My only question is would you agree that
8 the Commission in its prior SEET order did not make a
9 blanket determination that off-system sales should
10 always be excluded but should be excluded where
11 including the off-system sales could unduly increase
12 the ROE of the utility?

13 MR. NOURSE: I object to the form. He's
14 not asking for his opinion or understanding. He's
15 asking a legal conclusion.

16 Q. I'm just asking for your opinion. When
17 you said "Consistent with the Commission's order" in
18 your testimony, how would you interpret this language
19 where the Commission says off-system sales should be
20 excluded where it could unduly increase the ROE of
21 the utility?

22 A. I'm not qualified to offer a legal
23 interpretation of the order. I think those words
24 speak for themselves. Although as I view it the order
25 was clear in that off-system sales should be excluded

1 from the earnings before applying the SEET test.

2 Q. Absolutely for 2009, but do you think, in
3 your opinion, the Commission made a conclusion that
4 that should always be the case or, based upon this
5 language, is it more of a case-by-case analysis?

6 A. It's difficult for me to interpret
7 unduly, the phrase "unduly influence the earnings,"
8 but it seems that off-system sales clearly influences
9 the earnings of the company and always influences the
10 earnings of the company. So I can't envision a case
11 where that wouldn't be relevant.

12 Q. Well, let me give you an example. It
13 depends on the relative profitability of off-system
14 sales versus your native load sales, doesn't it?

15 For example, suppose Columbus & Southern
16 sold 1 billion kilowatt-hours off-system and made
17 \$10. Basically no margin at all. In that case,
18 excluding off-system sales when you take the
19 numerator and the denominator would actually increase
20 the utility's ROE. Because you're taking out a
21 sector of the business provided no profit.

22 A. Seems to be an extreme scenario, but in
23 general if it contributed to earnings, it's a
24 separate part of the business that should not be
25 considered under SEET.

1 Q. Well, under that hypothetical it would
2 actually increase the utility's ROE if you took out a
3 big part of the business that didn't provide any
4 profit. When you do the numerator-denominator, the
5 revenue and the capitalization adjustment, wouldn't
6 you agree just hypothetically?

7 A. The capitalization based on the
8 megawatt-hours ratio?

9 Q. Yes.

10 A. It could, yes.

11 Q. Okay. So you really do need to look at
12 each individual situation to see the relative
13 profitability of the off-system sales and how it
14 would influence the utility's ROE, don't you?

15 A. I suppose the Commission has that
16 discretion, although I believe it was clear, the
17 intent was clear to exclude off-system sales.

18 Q. One last very little bit. On page 12 of
19 the testimony I'm looking at under the heading
20 "Capital Investments and Other Considerations" you're
21 asked the question "What are some additional factors,
22 besides the earned ROE calculations discussed above,
23 that the Commission indicated it would consider in
24 evaluating what is significantly excessive?" Do you
25 see that question?

1 A. I do.

2 Q. Okay. Then you summarize the six
3 different areas that you elaborate on in your
4 testimony.

5 A. Yes.

6 Q. For 2010 can you identify which of these
7 six areas that AEP did not receive compensation for
8 performing those functions?

9 A. I believe that's probably a mixed bag
10 that would require a pretty thorough analysis of the
11 rates and the underlying investments, but clearly
12 some question as to whether or not compensation was
13 adequate for the significant capital investment.

14 We had riders in place for that, but as I
15 had previously mentioned, these are long-lived assets
16 and the returns over the life of those investments
17 are clearly at risk.

18 When we make the decision to make those
19 investments, or made the decision in 2010, it's not
20 clear that there's a direct relationship between
21 revenue and item 4, the performance and benchmark
22 indicators such as reliability performance. Clearly
23 no direct relationship between advancing state policy
24 and revenue mechanisms or rate mechanisms.

25 Q. Let me ask you to reference very quickly,

1 Mr. Hamrock, IEU Exhibit 2, page 20. Do you still
2 have that in front of you?

3 A. What's the title page of Exhibit 2?

4 Q. It is the Credit Suisse.

5 A. Credit Suisse, okay, I have that. Page
6 20?

7 Q. Yes. These are the authorized ROEs for
8 the various jurisdictions that AEP operates in. Do
9 you see that in the third column?

10 A. Yes, I do.

11 Q. It looks like the authorized ROE for the
12 sister utilities of Columbus & Southern are in the 10
13 to 10-1/2 percent range. Do you agree with that?

14 A. Yes.

15 Q. And what was the company's calculation of
16 the actual earned ROE of Columbus & Southern in 2010?
17 Do you recall what Mr. Mitchell calculated?

18 A. Yeah, that was in Mr. Mitchell's
19 testimony. I don't want to do that from memory.

20 Q. Would you accept, let me see if I
21 remember, 17.4 percent?

22 A. Yes. 17.5.

23 Q. Okay. And you understand that Mr. Kollen
24 and Mr. Duann determined that in their opinion the
25 actual ROE was higher, approximately 19.4 percent?

1 A. I am aware of that, yes.

2 Q. Okay. In any event, whether the
3 Commission accepts Mr. Mitchell, Mr. Duann --
4 Dr. Duann, or Mr. Kollen, the earned ROE of Columbus
5 & Southern were certainly higher than the authorized
6 ROE for the affiliated sister utilities.

7 A. That's true, although this is a -- this
8 page you're referring to is rate base and approved
9 ROE and you're comparing it to CSP's earned ROE which
10 is not necessarily related to a rate-based
11 calculation nor directly related entirely to retail
12 revenues.

13 Q. Okay. Thank you, Mr. Hamrock.

14 MR. KURTZ: No further questions, your
15 Honor.

16 EXAMINER PARROT: OCC?

17 MS. YOST: Your Honors, may we go off the
18 record for just a minute?

19 EXAMINER PARROT: Sure.

20 (Discussion off the record.)

21 EXAMINER PARROT: Let's go back on the
22 record.

23 - - -

24

25

CROSS-EXAMINATION

By Ms. Yost:

Q. Good morning, Mr. Hamrock.

A. Good morning.

Q. If I could have you turn to page 13 of your testimony.

A. 13?

Q. Yes, please. Under the heading "Capital Investments and Other Considerations."

A. Yes, I see that.

Q. Starting with line 13 you have a list of some other considerations in your testimony that the Commission has indicated are factors in which they may consider. One is the EDU's most recently authorized return on equity. Do you see that at lines 13 and 14?

A. I do.

Q. And you are aware that in the last SEET proceeding in the Commission's order that the Commission found that the -- that CSP's most recently authorized ROE was 12.46. Are you aware of that?

A. I recall that, although I also recall some discussion of the relevance of that authorized ROE.

Q. But you do recall that the Commission

1 noted the 12.46 as the most recently authorized
2 return on equity?

3 A. Yes.

4 Q. Thank you.

5 And under section 2, line 15, one of the
6 factors is whether the ESP includes a fuel and
7 power -- purchased power adjustment. And CSP has
8 that type of adjustment, that type of mechanism,
9 correct? It has a FAC is what they call it?

10 A. Certainly did in 2010, yes.

11 Q. Yes. And in regards to number 3, the
12 capital commitments and future capital requirements,
13 if I could have you -- which is listed on lines 17
14 and 18, and you speak more directly about it on page
15 21 of your testimony.

16 A. Yes.

17 Q. And you reference the projections and
18 actual expenditures are illustrated on Exhibit JH-1
19 which is --

20 A. Yes.

21 Q. -- attached to your testimony.

22 A. Yes.

23 Q. Or will be attached.

24 A. Yes. I'm sorry to interrupt you. Yes.

25 Q. If I could have you take a look at that,

1 please.

2 A. Yes.

3 Q. And my questions are going to be in
4 regards to CSP only. In terms of the actual what is
5 termed as the capital -- or, excuse me, the
6 construction expenditures, the actual amount spent in
7 2009 total for CSP, what is that amount indicated on
8 your Exhibit JH-1?

9 A. It appears to be 280,107,000. It's a
10 little hard to read with the dark background. I
11 think that's the number.

12 Q. And those are actual expenditures for
13 2009, correct?

14 A. That's correct.

15 Q. And then what are the actual expenditures
16 for 2010?

17 A. For CSP the total actual expenditures
18 were \$194,870,000.

19 Q. So roughly \$65 million less was spent in
20 2010 than 2009, is that correct, roughly?

21 A. I think it's 85 million. If I'm reading
22 that 2009 number correctly.

23 Q. You're right. 85 million.

24 So 85 million was spent less in 2010 than
25 in 2009 for CSP's capital expenditures, correct?

1 A. That's correct. And two notable
2 contributors, the differences are the gridSMART
3 spending which reflects in 2010 a credit from the
4 Department of Energy grant funding so there was
5 actually underlying spending by the company that was
6 offset by the federal government funding.

7 And then the generation category, because
8 of a difference in the environmental category in
9 particular but also in the other generation.

10 Q. And do you recall testifying in the
11 proceeding last year regarding 2009 earnings
12 regarding the forecasted expenditures for 2010? Do
13 you recall what that number was?

14 A. I don't recall the number specifically
15 but I do recall that it was higher than what's
16 reflected here as the actuals.

17 MS. YOST: Your Honor, may I approach the
18 witness?

19 EXAMINER PARROT: You may.

20 Q. Mr. Hamrock, if you could please take a
21 minute to look at what I'm handing you. Do you
22 recognize that as an attachment to your testimony
23 that was filed in Case No. 10-1261 filed on
24 September 1st, 2010?

25 A. I do, yes.

1 Q. And does that document indicate what was
2 forecasted to be the capital expenditures for 2010
3 for CSP, the total?

4 A. It does.

5 Q. And what's that amount, please?

6 A. It is \$256,100,000.

7 Q. Thank you.

8 And is it your understanding that the
9 Commission considered CSP's future capital -- future
10 committed capital investments in its SEET analysis
11 for the previous SEET case; is that your
12 understanding that they did consider that?

13 A. Yes.

14 Q. And based on the forecasted amounts that
15 were presented into evidence last year versus your
16 Exhibit JH-1 that shows the actual amounts, do you
17 know approximately what the difference is?

18 A. I don't have the number I just read into
19 the record committed to memory, but it's on the order
20 of \$50 million.

21 MS. YOST: Could you read the number,
22 please?

23 (Record read.)

24 Q. So whatever the difference is between
25 \$256,100,000 and the amount that is on your Exhibit

1 JH-1 which is \$194,000,870, correct?

2 A. It would be around \$60,000,000, from
3 memory that's largely attributable to changes in
4 capital investment relative to the forecast in the
5 generation category and in the gridSMART category.

6 And an example of one of the changes or
7 one of the reasons for changes in environmental is
8 capital investments to expand landfills of power
9 plants that are driven by the output of those plants,
10 so those things change during the year and change the
11 timing of investment, not the commitment to make
12 those investments.

13 Q. And the 2011 forecasted amounts are
14 forecasted to be even less than the actuals for 2010,
15 correct?

16 A. Yes. The 2011 forecast for CSP is
17 186,912,000.

18 MS. YOST: Thank you. I have no further
19 questions.

20 EXAMINER PARROT: Thank you.
21 Staff?

22 MR. McNAMEE: No questions, your Honor.

23 EXAMINER PARROT: Mr. Nourse?

24 MR. NOURSE: One moment, your Honor.

25 No redirect, your Honor. Thank you.

1 EXAMINER PARROT: Thank you, Mr. Nourse.

2 MR. NOURSE: I renew my motion for
3 admission of Exhibits 1, 1A, 1B, and 1C.

4 EXAMINER PARROT: Are there any
5 objections to the admission of AEP Ohio Exhibits 1,
6 1A, 1B, and 1C?

7 MR. McNAMEE: No, your Honor.

8 MR. DARR: To the extent we raised the
9 motion to dismiss it would be applicable, but
10 otherwise no, your Honor.

11 EXAMINER PARROT: Hearing none, other
12 than as noted by Mr. Darr, AEP Ohio Exhibits 1, 1A,
13 1B, and 1C are admitted into the record.

14 (EXHIBITS ADMITTED INTO EVIDENCE.)

15 EXAMINER PARROT: Mr. Darr, do you care
16 to move your exhibits?

17 MR. DARR: Yes, your Honor. IEU would
18 move IEU Exhibits 1, 2, and 3 at this time, your
19 Honor.

20 EXAMINER PARROT: Are there any
21 objections to the admission of IEU-Ohio Exhibits 1,
22 2, or 3?

23 MR. NOURSE: No, your Honor.

24 MR. McNAMEE: No, your Honor.

25 EXAMINER PARROT: Hearing none, IEU-Ohio

1 Exhibits 1, 2, and 3 are admitted.

2 (EXHIBITS ADMITTED INTO EVIDENCE.)

3 EXAMINER PARROT: Thank you, Mr. Hamrock.

4 THE WITNESS: Thank you, your Honor.

5 EXAMINER PARROT: Mr. Nourse?

6 MR. NOURSE: Thank you, your Honor. The
7 companies would call Thomas Mitchell.

8 (Witness sworn.)

9 EXAMINER PARROT: Please be seated.

10 THE WITNESS: Thank you.

11 - - -

12 THOMAS E. MITCHELL

13 being first duly sworn, as prescribed by law, was
14 examined and testified as follows:

15 DIRECT EXAMINATION

16 By Mr. Nourse:

17 Q. Mr. Mitchell, by whom are you employed
18 and in what capacity?

19 A. American Electric Power Service
20 Corporation, and I'm manager of regulatory accounting
21 services.

22 Q. Okay. And did you file testimony in this
23 case or cause to be filed?

24 A. Yes, sir.

25 Q. And you also filed revised testimony?

1 A. Yes, sir.

2 Q. Okay.

3 MR. NOURSE: Your Honor, I'd like to mark
4 Exhibit AEP Ohio No. 2, revised testimony of Thomas
5 E. Mitchell.

6 EXAMINER PARROT: So marked.

7 (EXHIBIT MARKED FOR IDENTIFICATION.)

8 MR. NOURSE: I've got extra copies, in
9 case anyone else needs it.

10 Q. (By Mr. Nourse) Okay, Mr. Mitchell, was
11 this, the exhibit that was just marked AEP Ohio
12 Exhibit No. 2, your revised testimony prepared by you
13 or under your direction?

14 A. Yes, sir.

15 Q. Do you have changes, additions, or
16 corrections you'd like to make at this time?

17 A. No.

18 Q. Okay. If I ask you these questions
19 today, your answers would be the same; is that
20 correct?

21 A. Yes, sir.

22 MR. NOURSE: Your Honor, I'd move for
23 admission of AEP Ohio Exhibit No. 2 subject to
24 cross-examination.

25 EXAMINER PARROT: Thank you, Mr. Nourse.

1 Ms. McAlister?

2 MS. McALISTER: No questions, your Honor.

3 EXAMINER PARROT: Ms. Mooney?

4 MS. MOONEY: No questions.

5 EXAMINER PARROT: Mr. Darr?

6 MR. DARR: Thank you, your Honor.

7 - - -

8 CROSS-EXAMINATION

9 By Mr. Darr:

10 Q. Good morning, Mr. Mitchell.

11 A. Good morning, sir.

12 Q. Do you have in front of you what's been
13 previously marked as AEP Ohio 1C which is the FERC
14 Form 1 of Columbus Southern?

15 A. No.

16 MR. DARR: Do you want to give him a copy
17 or do you want me to?

18 MR. NOURSE: Columbus Southern?

19 MR. DARR: Yeah, I don't need both.

20 MR. NOURSE: I've got Columbus Southern.
21 I ran out of Ohio Power's. I'm sorry. I take that
22 in reverse. I may have both.

23 THE WITNESS: He's got it.

24 Q. (By Mr. Darr) If you would, sir, turn to
25 page 123.4 of the exhibit previously marked as

1 AEP Ohio Exhibit 1C.

2 A. Which one is that? Is that Ohio?

3 Q. This would be CSP.

4 A. Thank you. 123.4 okay.

5 Q. Now, 123.4 is the beginning of a section
6 described as Organization and Summary of Significant
7 Accounting Policies in the document referred to as a
8 FERC Form 1; is that correct?

9 A. My page 123.4 for CSP has the footnotes
10 on it for including business segments.

11 MR. DARR: May I approach?

12 A. Am I on the wrong page?

13 EXAMINER PARROT: .4 rather than .40.

14 THE WITNESS: .4. That's what I have.

15 Q. There you go.

16 A. Thank you, sir. We're there now.

17 EXAMINER PARROT: Good.

18 Q. The first section starting on page 123.4
19 is labeled "Organization." Do you see that?

20 A. Yes.

21 Q. And am I correct that CSP has reported in
22 this form that it engages in generation and purchase
23 of electric power and subsequent sale, transmission,
24 and distribution of that power to 749,000 retail
25 customers? Correct?

1 A. Yes.

2 Q. This document also reports that CSP is
3 engaged in pool operations; is that correct?

4 A. Sure.

5 Q. And it also reports on the sales for
6 resale that CSP is engaged in as well.

7 A. Yes.

8 Q. Now, sales for resale includes more than
9 off-system sales; does it not?

10 A. Yes.

11 Q. What other sorts of transactions are
12 reported as sales for resale, if you recall?

13 A. Included in that category would be
14 transactions to the affiliates in the pool, FERC
15 transactions, some transmission and revenues would be
16 in there as well.

17 Q. And if we look at page 123.5, we also
18 learn in the second full paragraph that CSP company,
19 CSPCo, shares in the revenues and expenses associated
20 with risk management activities as described in the
21 preceding paragraph. These risk management
22 activities, could you describe those for us, please?

23 A. Basically trying to maximize the earnings
24 from various power positions.

25 Q. And these revenues and expenses, how are

1 those reported?

2 A. They're in the sales for resale category.

3 Q. And is that independent of off-system
4 sales?

5 A. No.

6 Q. Okay. So that would be part of or is
7 it --

8 A. It would be part of.

9 Q. -- does it overlap?

10 A. It would be part of in general.

11 Q. Now, if you would, please, turn to page
12 300.

13 A. Okay.

14 Q. Would you describe what is the
15 information contained on page 300 of Exhibit 1 --
16 AEP Ohio Exhibit 1C?

17 A. It's showing the various 400 accounts
18 prescribed by the FERC U.S. of A for revenues.

19 Q. And there we would find several
20 categories of revenues, correct?

21 A. Yes.

22 Q. Some of the revenues are related
23 specifically to retail operations, correct?

24 A. Yes.

25 Q. Some are related to the sales for resale

1 that we were just discussing, correct?

2 A. Yes.

3 Q. And there's a third category called
4 "Other," correct?

5 A. Yeah, there's miscellaneous ones down
6 here and "Other" as well as there's a "456" and
7 there's some other accounts as well would be in
8 Other.

9 Q. And is it fair to say that these other
10 categories include income that is not generated by
11 the electric service plan? Or, excuse me, the
12 electric security plan.

13 A. Yes. Some would be distribution as an
14 example.

15 Q. I have a couple listed as Rent, correct?

16 A. Yes, sir.

17 Q. And as I understand it correctly, rent
18 under the FERC accounts includes things like income
19 derived from renting property to third parties for
20 such things as maintaining wildlife centers.

21 A. Yeah, with the rental revenue would be
22 pertinent to whatever the function is that's being
23 rented, so it could be generation, transmission, or
24 distribution.

25 Q. Or something completely unrelated to the

1 electric business, correct?

2 A. It would be below the line, then. It
3 wouldn't be on this particular page.

4 Q. So what you're saying is, is that the
5 revenues reflected in the FERC Form 1 would be
6 above-the-line revenues.

7 A. No, they're just on a different page.
8 These are the operating revenues here. There's
9 another page in the Form 1 that would have some
10 nonoperating revenues.

11 Q. Specifically, though, these would be
12 revenues that would not necessarily be a part of the
13 revenues generated by your current ESP plan; is that
14 fair?

15 A. Yes.

16 Q. And in the case of CSP in 2010, these
17 other revenues amounted to about \$42 million; is that
18 correct?

19 A. Yes.

20 Q. Now, if we take the total operating
21 revenue found on line 27 of page 300, that is what is
22 reported as the operating revenues for calculation of
23 net income on page 114; is that correct?

24 A. The operating revenues certainly
25 contribute to the net income.

1 Q. Well, specifically if we look at page
2 114, line 2, it is the total revenues found on page
3 300.

4 A. Yes. We're both correct.

5 Q. And this was a starting point or the
6 information that you used to calculate the CSP net
7 income, correct?

8 A. I used the net income of CSP.

9 Q. Off of the FERC Form 1, correct?

10 A. I used the 10-K CSP net income.

11 Q. Are those different?

12 A. No.

13 Q. So we can fairly say that the FERC Form 1
14 information --

15 A. Yes.

16 Q. -- would be the same as the --

17 A. Right. The numbers tie.

18 Q. Now, with regard to the average total
19 common shareholders' equity that you calculated, if
20 we looked at page 112 of Exhibit 1C, AEP Ohio
21 Exhibit 1C, we would be able to calculate an average
22 total common shareholders' equity, correct? And
23 we're looking at page 112, line 16.

24 A. Yes.

25 Q. And what you did here was that you took

1 the average of the beginning and end-year amounts; is
2 that correct?

3 A. I did take the average of the beginning
4 and end.

5 Q. Now, for purposes of calculating the net
6 income, I can go from the net income listed on line
7 78, page 170 -- or, excuse me, 117, adjust that for
8 capital stock expense, page 118, line 10, and that
9 should get me the net income for 2010, correct?

10 A. I haven't, as I indicated, used these
11 particular pages. I used the 10-K so I would have to
12 refresh back to my filed testimony to see if your
13 calculations are similar.

14 Q. Would that, subject to check, would you
15 agree with me?

16 A. I think you're headed in the right
17 direction.

18 Q. I'll take that as a yes?

19 A. I haven't made your calculation.

20 Q. I understand that. But subject to check,
21 if we take the net income listed on page 117 and
22 subtract out the capital stock expense listed on page
23 118, 10, would that fairly represent the way you went
24 about your calculation?

25 A. Yes.

1 Q. Thank you.

2 Do you have in front of you what's been
3 marked as AEP Ohio Exhibit 1B which is the FERC Form
4 1 for 2010 of Ohio Power Company?

5 A. Yes, sir.

6 Q. Not surprisingly I have several questions
7 that are very similar to what I just asked you
8 concerning CSP. Again, could you turn to page 123.4.

9 A. Okay.

10 Q. And is it fair to say that this section
11 of the FERC Form 1 similarly describes the various
12 activities that Ohio Power's involved in that result
13 in the generation of -- that result in revenue for
14 the company?

15 A. Yes.

16 Q. And, again, Ohio Power, like CSP, is
17 engaged in both wholesale and retail transactions,
18 correct?

19 A. Yes.

20 Q. Ohio Power is a member of the AEP pool or
21 pools also.

22 A. Yes.

23 Q. And AEP engages in transactions with
24 neighboring utilities, power marketers, and is
25 engaged in trading activities, correct?

1 A. Yes.

2 Q. And out of those trading activities it
3 shares in the revenues and expenses under the various
4 pool agreements.

5 A. Yes.

6 Q. And those various pool agreements that
7 Ohio Power's involved in are also regulated by the
8 FERC as they are with CSP, correct?

9 A. Yes.

10 Q. Now, if we went through the same process
11 with regard to Ohio Power that we went through with
12 CSP, we would find on page 300 revenues that are
13 reported to the FERC that are generated by the
14 electric operations of Ohio Power, correct?

15 A. Yes.

16 Q. And we would find there as well that
17 there are retail sales for resale and other revenues
18 produced by the electric operations, correct?

19 A. Yes.

20 Q. And going through the same process, the
21 total revenues listed on page 300 would be the
22 revenues that are used for the purpose of calculating
23 net income of the company that we would find on page
24 117 of the FERC Form 1.

25 A. Yes.

1 Q. And for purposes of your determination of
2 net income for Ohio Power, you made some adjustments
3 to the net income number to subtract out preferred
4 dividends; is that correct?

5 A. Absolutely.

6 Q. That's about as definitive a response I
7 have ever gotten from an AEP witness. And I've been
8 doing this a while.

9 And with regard to the average common
10 equity -- total common equity you used the total
11 equity position and made two adjustments, if I
12 understand it correctly; is that correct?

13 A. Now, are you referring to the exclusion
14 of the nonrecurring items --

15 Q. No, sir.

16 A. -- and things of that nature?

17 Q. What I'm looking at is the calculation of
18 the average common equity that's used for your
19 calculation of the return on earnings.

20 A. Again, I used --

21 Q. Return on equity, excuse me.

22 A. I used the values out of the 10-K.

23 Q. And specifically you made adjustments to
24 remove the preferred stock from total equity and also
25 made an adjustment for the effects of the merger of

1 Ohio Power and JMG Funding; is that correct?

2 A. I wouldn't refer to it as adjustments.
3 Preferred stock is not a part of common equity.
4 We're dealing with common equity here, so I wouldn't
5 say that I made an adjustment, I just simply used the
6 common equity.

7 And the JMG transaction was recorded as a
8 part of equity, so I just simply picked up the equity
9 on the books. So I wouldn't agree with your
10 characterization of I made an adjustment.

11 Q. If we looked at the FERC Form 1, page
12 112, and now I'm specifically referring to AEP Ohio
13 Exhibit 1B -- have you found that, Mr. Mitchell?

14 A. Yes, page 112.

15 Q. And if we look at line 16, there's an
16 item listed as "Total Proprietary Capital." Do you
17 see that?

18 A. Yes.

19 Q. And that total proprietary capital would
20 be a combination of common stock and preferred stock
21 as well as a number of other adjustments, correct?

22 A. These are not really adjustments. These
23 are balances in the FERC format.

24 Q. And to correctly state under -- to
25 correctly state the average common equity, if we were

1 using the FERC Form 1 materials, you would have us
2 remove or adjust out the preferred stock, correct?

3 A. My response would be I would not include
4 preferred stock in the determination of common
5 equity.

6 Q. So if the number on line 16 on page 112
7 of AEP Ohio Exhibit 1B includes the preferred, we
8 would have to remove that, correct?

9 A. Yeah, if you follow this format, which is
10 not what I did.

11 Q. I understand that. But if we were using
12 this, we would remove that, correct?

13 A. Yes.

14 Q. And there would also need to be an
15 adjustment, if I understand it, for the effect of the
16 merger between OP and JMG Funding.

17 A. I am not familiar with that on this page.

18 Q. If that were included on that line, line
19 16 on page 112, or not included, we would need to
20 make an adjustment, correct, to account for the
21 funding -- to account for the merger of OP JMG
22 Funding?

23 A. Again, I'm not prepared to go to your
24 point. What I did was used the 10-K.

25 Q. Did you calculate a separate return on

1 equity for the wholesale operations of Ohio Power?

2 A. No.

3 Q. Did you do a separate calculation of the
4 return on equity for the wholesale operations of
5 Columbus Southern?

6 A. No.

7 Q. I'd like to turn briefly to your
8 calculation of the adjustment to equity to remove the
9 effects of off-system sales. And if you would, turn
10 to page 4 of TEM-1 which is attached to your
11 testimony.

12 A. Yes, sir.

13 Q. In making the adjustment you made a
14 calculation of the total production and other plant
15 to calculate the denominator, correct?

16 A. Yes.

17 Q. And that denominator includes intangible
18 plant, production plant, transmission plant,
19 distribution plant, and general plant, correct?

20 A. You're speaking of the net plant total?

21 Q. Yes, sir.

22 A. Yes.

23 Q. In calculating -- I'm sorry?

24 A. Just total plant on the books.

25 Q. And did you use the 10-K or the FERC Form

1 1 for this?

2 A. I used the detail ledgers.

3 Q. So something that's not currently in
4 evidence here but we would be able to tie that back
5 to the FERC Form 1?

6 A. Probably.

7 Q. Well, that was less definitive.

8 For calculating the allocation that
9 results in the 52.43 percent for 2010, average
10 generation to total plant, am I correct that you took
11 the totals, the average totals, for generation and
12 total plant and divided total into average
13 generation?

14 A. We, let me recharacterize an answer there
15 for you. We simply took the total of the generation
16 or production plant and divided by the total plant
17 consistent with page 30 of the order in the previous
18 case which was the methodology put forth by the
19 staff, and we simply replicated that methodology to
20 calculate this life-to-date calculation.

21 Q. Well, not to quibble or anything, but you
22 took average gen and divided it by average total,
23 correct?

24 A. Yes.

25 Q. There is no transmission plant included

1 in the numerator of your calculation, correct?

2 A. That could possibly be as a step-up
3 transformer in there, but I would say in general,
4 absolutely not.

5 Q. There is no assignment of any general
6 plant in that calculation either, is there?

7 A. No. It's a fairly small number.

8 Q. Whatever it is, it's not in there.

9 A. Right.

10 Q. And it would be fair to say that if you
11 had included any general plant or any transmission
12 plant, the allocation would have been higher than
13 52.43 percent for CSP, correct?

14 A. Yeah, I wouldn't necessarily agree with
15 that, though. That would include them in there but,
16 if someone did include them in there, which I
17 wouldn't necessarily agree with, you would get a
18 higher number.

19 Q. Mathematically that would be the result.

20 A. Yes.

21 Q. And that would be true, everything that
22 we've just talked about with regard to Columbus
23 Southern and the calculation that you made with
24 regard to Columbus Southern, that would apply equally
25 with the calculation that you made for Ohio Power,

1 correct?

2 A. Yes.

3 Q. You did make some modifications to the
4 methodology used by the Commission in the last case
5 to the calculation that results in the OSS removal,
6 correct?

7 A. A very minor modification.

8 Q. So your reference previously to the
9 replication of the Commission's approach in the prior
10 order also includes some minor modifications that you
11 indicated just a second ago.

12 A. Yeah. The only modification I made was a
13 modification that was not advantageous to CSP. The
14 calculation, had I done it identical to what the
15 staff had done last time, would have produced
16 approximately 17.48 percent for an ROE and the one I
17 did was 17.54.

18 So it was actually to our disadvantage
19 and simply took the relationship in megawatts that
20 were sold divided by the total that were sold,
21 megawatts-involved systems divided by the total
22 instead of these other items that counsel has asked
23 about that includes things other than off-system
24 sales. So a little more granular and was to our
25 disadvantage.

1 MR. DARR: Nothing further, your Honor.

2 EXAMINER PARROT: Thank you, Mr. Darr.

3 Mr. Kurtz.

4 - - -

5 CROSS-EXAMINATION

6 By Mr. Kurtz:

7 Q. Good morning, Mr. Mitchell.

8 A. Good morning, Mr. Kurtz.

9 Q. If you would turn to page 5 of your
10 testimony, please. I want to ask you about your
11 interpretation of the Commission's prior SEET order
12 similar to the discussion I had with Mr. Hamrock.

13 Page 5, line 14. I hope I have the right
14 version. It says "In accordance with the PUCO order
15 in Case No. 10-1261," you made adjustments to remove
16 off-system sales net margins.

17 A. Yes, sir.

18 Q. Okay. Were you in the room when I read
19 to Mr. Hamrock the part of the Commission's order
20 where it says that off-system sales should be removed
21 if they would unduly increase the ROE for SEET
22 purposes?

23 A. Yes, I was here.

24 Q. So based upon your understanding of the
25 order, not as an attorney but just as you're

1 interpreting the order here, do you interpret this as
2 a blanket statement that off-system sales should
3 always be excluded or only in the case where
4 including them would unduly increase the ROE for
5 SEET?

6 A. Could I see that order?

7 Q. Yeah.

8 MR. KURTZ: May I approach, your Honor?

9 EXAMINER PARROT: You may.

10 A. Yes. And so your question is again?

11 Q. Based upon your understanding of the
12 order did the Commission in its prior ruling make a
13 blanket determination that SEET -- that off-system
14 sales should always be excluded or only under
15 circumstances where including off-system sales
16 margins would unduly increase the ROE?

17 A. I think in general they made a blanket
18 statement because in terms of a utility such as CSP
19 it's reasonable that they have a fairly substantial
20 level of off-system sales. So I think year in and
21 year out there would be a fairly significant number
22 and so it's in that regard I would say yes, it's a
23 blanket.

24 Q. Let me give you some hypotheticals.
25 Assume, like I did with Mr. Hamrock, that CSP had

1 1 billion kilowatt-hours of off-system sales and
2 there were no profits. Zero margin.

3 Under your methodology would taking -- so
4 under your methodology there would be no impact on
5 the numerator, the net income, but there would be a
6 reduction in the common equity in the denominator and
7 so removing off-system sales in that circumstance
8 would increase the ROE; would it not?

9 A. I haven't made that calculation.

10 Q. Can't you tell just by your understanding
11 of your methodology in this testimony, if you had no
12 profit but lots of volume, it would necessarily
13 increase the ROE of the utility, mathematically;
14 would it not?

15 A. You're saying that the base would be
16 smaller.

17 Q. I'm saying that the capital -- the equity
18 capital would be smaller but the net income would be
19 the same. So you would have a higher return on
20 equity.

21 A. I would just say that your theoretical
22 doesn't make sense because conceptually we wouldn't
23 be selling off-system sales for zero profit.

24 Q. I'm using --

25 A. We wouldn't generate it.

1 Q. You made \$10. You made a very small
2 margin. Mathematically it's the relative
3 profitability, isn't it, of retail sales to
4 off-system sales that determines whether including or
5 excluding off-system sales would increase or decrease
6 the ROE of the utility?

7 A. I'm sorry, I don't agree with that.

8 Q. Under your methodology if there is a
9 large reduction to the equity capital in the
10 denominator, because there's a large volume, but only
11 a very small reduction in the net income, in the
12 numerator, it could have the effect of increasing the
13 ROE of the utility.

14 A. My response is anything can happen. What
15 we're dealing with is reality and we had an increase
16 in off-system sales in 2010 compared with '9. So I
17 don't believe in theoretical constructs like that.

18 Q. Let's talk about reality. Do you have
19 your exhibit, Exhibit 1, page 3, in front of you? Do
20 you have that, Mr. Mitchell?

21 A. Yes, sir.

22 Q. Okay. This is the pretax and the
23 after-tax margin on off-system sales for both
24 utilities for 2010, correct?

25 A. Yes, sir.

1 Q. Let's focus on CSP, the pretax margin was
2 73.532 million and the after tax, 47.224 million,
3 correct?

4 A. Yes.

5 Q. Okay. Now, we would not be able to find
6 those numbers specifically on the Form 1 or in the
7 10-K; isn't that correct?

8 A. Yes.

9 Q. These off-system sales margins are the
10 amount that CSP was allocated pursuant to the
11 interconnection agreement, correct?

12 A. Yes.

13 Q. Okay. The interconnection agreement, or
14 the pooling agreement, determines how off-system
15 sales profits will be reallocated among the AEP-East
16 affiliates, correct?

17 A. Yes.

18 Q. And the interconnection agreement or the
19 pooling agreement allocates total profits from
20 off-system sales to each of the affiliates based upon
21 their member load ratio, correct?

22 A. Right.

23 Q. Okay. And it's the member load ratio --
24 let me back up.

25 Under the interconnection agreement the

1 generation from CSP or Appalachian or any of the
2 affiliates is first allocated to native load. They
3 have first call on their own generation for native
4 load, correct?

5 A. The cheapest goes to native load.

6 Q. Second tier is the affiliates have a call
7 on that energy at cost if it's cheaper than their own
8 generation, correct?

9 A. Yes.

10 Q. And the third tier, whatever's left over
11 in the AEP pool is sold off system, correct?

12 A. Correct.

13 Q. Okay. And the profit or the margin from
14 those off-system sales are allocated to each of the
15 affiliates based upon their member load ratio,
16 correct?

17 A. Right. That's for the initial East pool,
18 that's right.

19 Q. And it's allocated based upon member load
20 ratio regardless of whose power plants the off-system
21 sales actually came out of.

22 A. Absolutely true.

23 Q. Okay. Now, this pretax gross margin on
24 off-system sales you have on Exhibit 3 is the member
25 load ratio of Columbus & Southern of the total pool

1 profits from off-system sales, correct?

2 A. Yes.

3 Q. When you determine gross margins, how are
4 those -- how was that calculated?

5 A. They're the incremental revenues and the
6 incremental out-of-pocket production cost of fuel
7 and, as defined as you -- I think Counselor Darr
8 talked about earlier, consumables.

9 Q. Fuel, variables, O&M, emission allowances
10 would be the primary --

11 A. Yes. Yes. The out-of-pocket incremental
12 costs though that occurred because you made the
13 decision to make that transaction.

14 Q. Okay. Now, how about fixed costs? What
15 fixed costs are included in your gross margins?

16 A. None.

17 Q. So the costs of the power plant itself
18 was, none of that cost of the power plants that made
19 the sales was allocated to off-system sales.

20 A. Right. It shouldn't be.

21 Q. Okay. None of the transmission that
22 carried the power to make the off-system sales was
23 allocated to the off-system sales, correct?

24 A. Right. Shouldn't be.

25 Q. Okay. What you did is you said that for

1 purposes of your calculation I'm going to assign all
2 the power plant costs and the transmission costs to
3 the native load ratepayers of Columbus & Southern and
4 assign none of those power plant costs to off-system
5 sales.

6 A. We're not assigning any cost. We're
7 simply calculating the incremental out-of-pocket
8 profit from a marginal transaction with and without
9 the transaction. The fixed costs are irrelevant.
10 We're talking about marginal cost.

11 Q. Well, you are. Did the Commission define
12 off-system sales in any of its -- is off-system sales
13 defined in the statute?

14 A. I would say off-system sales calculations
15 were accepted in the same format in the previous
16 order.

17 Q. If you would have -- so you have made the
18 assumption that these fixed costs should all be
19 assigned native load but none of the power plant
20 costs or the transmission costs should be assigned to
21 off-system sales. That's what you've done, correct?

22 A. No.

23 Q. What fixed costs have you assigned to
24 off-system sales?

25 A. There's no assignment that's necessary.

1 We're only looking at the incremental profit here.

2 Q. Well, so the answer is you've assigned
3 none of the power plant costs and none of the
4 transmission costs to off-system sales.

5 MR. NOURSE: Object. Asked and answered.
6 Argumentative.

7 EXAMINER PARROT: Sustained.

8 Q. If you had -- if you had assumed that
9 some fixed costs, power plants and transmission,
10 should be assigned to off-system sales, then the
11 profit on those sales would be reduced; would it not?

12 A. I wouldn't have made that assumption.

13 Q. If you had, wouldn't it reduce the profit
14 margin?

15 A. I think you sponsor a witness that
16 recommends that. I wouldn't agree with that.

17 Q. You would agree that you need a power
18 plant to make a power sale, wouldn't you?

19 A. A physical sale?

20 Q. Yes.

21 A. Because you can make nonphysical sales.
22 But if you're making a physical sale, you have to
23 have a power plant.

24 Q. And you would agree to make a power sale
25 you need transmission to carry the power to the

1 buyer; isn't that true?

2 A. Yes.

3 Q. Now, I'd like to ask you some questions
4 about the denominator in your calculation. Would you
5 turn to page 5 of 5 of Exhibit 1. This is where you
6 determined that off-system sales was, for Columbus &
7 Southern, was 15.28 or 26 percent of the production
8 and that was used in your equity allocation
9 methodology on page 4 of 5.

10 A. Right.

11 Q. Now, for Columbus & Southern this is --
12 you've included Lawrenceburg 1 and 2 in your
13 calculation; is that correct?

14 A. Yes.

15 Q. Lawrenceburg is not a power plant that's
16 owned by Columbus & Southern; isn't that true?

17 A. It's not owned, but they get credit for
18 it through the pool.

19 Q. It's a purchased power transaction,
20 correct?

21 A. Right.

22 Q. So that would not appear -- so they
23 purchased that through FERC account 555?

24 A. I'm not exactly sure of what account. It
25 may be 555, but for purposes of the pool it's as if

1 they have that capacity.

2 Q. So for the numerator you took Columbus &
3 Southern's member load ratio share of the total AEP
4 profits, we've established that, correct?

5 A. Yeah, I subtracted that from the earnings
6 per books.

7 Q. And for the denominator, for the removal
8 of the equity you took the actual off-system sales
9 made by CSP; is that what I understand this exhibit
10 to be?

11 A. Yeah. The calculation is actually on
12 page 4 where we're simply taking the 52 percent
13 generation portion of equity times the 15 percent
14 portion of that equity that related to off-system
15 sales and that's how we came up with 114 which is the
16 staff method in the prior case.

17 Q. Well, I understand all that. My question
18 and my point is this: You used member load ratio for
19 the numerator, for the net income, or gross
20 margins --

21 A. Right.

22 Q. -- and you used the off-system sales
23 actually made from CSP's units for your denominator
24 calculation. Those are different methodologies,
25 aren't they?

1 A. We're looking at the units that generated
2 and we're saying of those units how many of them were
3 involved in off-system sales. So it's a physical
4 construct.

5 Q. Physical construct for your denominator,
6 but the numerator is the member load ratio pool
7 allocation.

8 A. Right. As I had indicated, if we had
9 done it under the prior method, it would have been to
10 our disadvantage.

11 Q. Now, I've calculated the gross margins
12 from CSP's off-system sales under your methodology
13 just simply taking the megawatt-hours on Exhibit 5
14 divided by the gross margins on Exhibit 3 and get a
15 \$34.21 margin on off-system sales for Columbus &
16 Southern.

17 A. Again, as you indicated, these are the
18 physical, physical megawatts that came out of an Ohio
19 and CSP plant. So it's not necessarily what they got
20 credit for in the pool.

21 Q. That's why when you do the same
22 calculation for Ohio Power, you get a much different
23 margin on off-system sales, correct?

24 A. Right.

25 Q. Do you think that for Ohio Power I get

1 \$18.82 per megawatt-hour as a gross margin versus
2 \$34.21 for CSP? Do you want to do that calculation
3 or will you accept those subject to check?

4 A. I'll accept those.

5 Q. Why are Columbus & Southern's off-system
6 sales almost twice as profitable as Ohio Power's
7 off-system sales?

8 A. Again, I think we're somehow adrift here.
9 These megawatt-hours are the physical megawatt-hours
10 that came out of the plants to create off-system
11 sales. We're using that as a surrogate for the
12 previous staff method, it's to our disadvantage, but
13 if you take these and divide them by the dollars on
14 the other side, you're going to get a little bit of a
15 different number and that's what's caused the
16 problem; it's an apple and an orange.

17 Q. Well, it's more than a little bit
18 different. It's \$18 per megawatt-hour gross margin
19 on Ohio Power's off-system sales and \$34 per
20 megawatt-hour for Columbus & Southern.

21 I'll ask it again, see if you can answer
22 it: Why are Columbus & Southern's off-system sales
23 almost twice as profitable as Ohio Power's?

24 A. I guess I didn't make those calculations
25 so I don't think I have a need to answer those

1 calculations.

2 Q. Well, I used your numbers. If you take
3 your megawatt-hours of off-system sales from Exhibit
4 5 divided by the gross margins on Exhibit -- page 3
5 of Exhibit 1, you get those dollars per megawatt-hour
6 that I just cited.

7 A. Right. But we just agreed, I thought,
8 that these megawatt-hours over here are a physical.
9 They're not necessarily the ones they got credit for
10 on the margins. It's just a method to allocate the
11 denominator.

12 If we used the previous staff method, it
13 would have been to our disadvantage, so it really
14 doesn't matter.

15 Q. Does it indicate to you that there may be
16 a problem with your methodology --

17 A. No.

18 Q. -- when the off-system sales for Columbus
19 & Southern are almost twice as profitable as the
20 off-system sales per megawatt-hour for Ohio Power?

21 A. The margin, if you look on page 3, CSP
22 had a margin of 73, Ohio has a margin of 81, the MLRs
23 are about the same. It looks right to me.

24 Q. If you look on page 5, you've got Ohio
25 Power making 4.319 million megawatt-hours of

1 off-system sales and Columbus & Southern making
2 2.149.

3 A. Yeah, these are the dispatch. These are
4 the dispatched.

5 Q. These are the numbers --

6 A. And Ohio Power has cheaper units per se
7 than does CSP. These are just dispatched.

8 Q. These are the numbers you used in your
9 calculation for determining the equity adjustment;
10 isn't that correct?

11 A. It is.

12 Q. So let me ask you again, these are your
13 numbers, why inherently, intuitively should Ohio
14 Power have off-system sales that are about half as
15 profitable as Columbus & Southern? Doesn't that
16 indicate to you there may be something wrong with
17 your methodology?

18 A. No. Again, this is a physical. This is
19 not the number of megawatt-hours they got credit for
20 through the pool. It's just a physical flow of power
21 on this page.

22 Q. Had you used the member load ratio for
23 the denominator like you did for the numerator, then
24 the off-system sales profits for each of the two
25 utilities would have been exactly the same, wouldn't

1 it?

2 A. Can you repeat that question?

3 Q. If you had to use member load ratio in
4 the denominator for megawatt-hours, the volume, like
5 you did in the numerator for gross margins, then the
6 profit margin per megawatt-hour for each of the two
7 utilities would be exactly the same.

8 A. I'm not sure.

9 MR. KURTZ: Thank you, your Honor. Those
10 are all my questions.

11 EXAMINER PARROT: Thank you, Mr. Kurtz.

12 OCC?

13 MS. YOST: No questions, your Honor,
14 thank you.

15 MR. McNAMEE: No questions, your Honor.

16 EXAMINER PARROT: Redirect, Mr. Nourse?

17 MR. NOURSE: Can we take a brief recess,
18 your Honor?

19 EXAMINER PARROT: Let's take a
20 five-minute break.

21 MR. NOURSE: Thank you.

22 (Recess taken.)

23 EXAMINER PARROT: Let's go back on the
24 record.

25 Any redirect, Mr. Nourse?

1 MR. NOURSE: No, your Honor.

2 EXAMINER PARROT: All right. Thank you
3 very much.

4 MR. NOURSE: Renew my motion for
5 admission of AEP Exhibit No. 2.

6 EXAMINER PARROT: Are there any
7 objections to the admission of AEP Ohio Exhibit 2?

8 MR. McNAMEE: No.

9 MR. DARR: Same objection, your Honor.

10 EXAMINER PARROT: Thank you, Mr. Darr.
11 Any others?

12 With that AEP Ohio Exhibit 2 is admitted.

13 (EXHIBIT ADMITTED INTO EVIDENCE.)

14 MR. NOURSE: Thank you.

15 EXAMINER PARROT: Thank you,
16 Mr. Mitchell.

17 Mr. Conway.

18 MR. CONWAY: Thank you, your Honor. At
19 this time the companies call Dr. Anil Makhija. While
20 Dr. Makhija is taking the stand I would like to mark
21 as AEP Ohio Exhibit No. 3 Dr. Makhija's prefiled
22 direct testimony.

23 EXAMINER PARROT: So marked.

24 (EXHIBIT MARKED FOR IDENTIFICATION.)

25 EXAMINER PARROT: Dr. Makhija, please

1 raise your right hand.

2 (Witness sworn.)

3 EXAMINER PARROT: Thank you. Please be
4 seated.

5 - - -

6 ANIL K. MAKHIJA

7 being first duly sworn, as prescribed by law, was
8 examined and testified as follows:

9 DIRECT EXAMINATION

10 By Mr. Conway:

11 Q. Dr. Makhija, could you provide your full
12 name for the record.

13 A. My full name is Anil Kumar Makhija.

14 Q. And by whom are you employed?

15 A. I'm employed by the Fisher College of
16 Business at The Ohio State University.

17 Q. And what is your position at The Ohio
18 State University?

19 A. I am a professor of finance and I hold
20 distinguished professorship.

21 Q. Thank you, Dr. Makhija.

22 And, Dr. Makhija, did you prepare on
23 behalf of AEP Ohio, Columbus Southern Power and Ohio
24 Power Company, prefiled direct testimony which, if
25 you heard, we've now marked as AEP Ohio Exhibit

1 No. 3?

2 A. Yes, I did.

3 Q. And, Dr. Makhija, do you have any
4 additions or corrections to make to your prefiled
5 direct testimony, AEP Ohio Exhibit No. 3, at this
6 time?

7 A. No, I do not.

8 Q. And if I were to ask you the questions in
9 your prefiled direct testimony, AEP Ohio Exhibit
10 No. 3, would your answers be the same as they appear
11 in that document?

12 A. Yes, they would.

13 Q. And is that testimony true and correct to
14 the best of your knowledge and belief?

15 A. Yes, it is.

16 MR. CONWAY: Your Honor, at this time
17 Dr. Makhija is available for cross-examination and I
18 would move for the admission of AEP Ohio Exhibit
19 No. 3 into the record.

20 EXAMINER PARROT: Thank you, Mr. Conway.
21 Ms. McAlister?

22 MS. McALISTER: No questions, your Honor.

23 EXAMINER PARROT: Ms. Mooney?

24 MS. MOONEY: No questions, your Honor.

25 EXAMINER PARROT: Mr. Darr?

1 MR. DARR: Just briefly, your Honor.

2 - - -

3 CROSS-EXAMINATION

4 By Mr. Darr:

5 Q. Dr. Makhija, with regard to your
6 testimony you indicate that you have not attempted to
7 isolate the individual -- the effects of individual
8 provisions of the ESP as they effect ROE; is that
9 correct?

10 A. That's correct.

11 Q. If you were to do so, are you proposing
12 any particular way as to how the Commission could
13 attempt to do that?

14 A. In my testimony I have only addressed the
15 question of the threshold ROE based on comparables.
16 I have not examined what the ROE is for CSP or for
17 Ohio Power, and I'm not prepared to get into the
18 issues of adjustments related to the ROEs.

19 MR. DARR: Very good. Thank you.

20 I have nothing further.

21 EXAMINER PARROT: Thank you, Mr. Darr.

22 Mr. Kurtz?

23 MR. KURTZ: No questions, your Honor.

24 EXAMINER PARROT: OCC.

25 MS. YOST: Yes, your Honor.

1 - - -

2 CROSS-EXAMINATION

3 By Ms. Yost:

4 Q. Hello, Dr. Makhija.

5 A. Hello.

6 Q. On page 6 of your testimony you indicate
7 that the procedure that's illustrated in your
8 testimony today is the same procedure that's used in
9 the 2009 SEET proceeding; is that correct?

10 A. Yes, I do.

11 Q. And were you aware that that procedure
12 was found to be unrealistic and resulted in an
13 indefensible result by the Commission in the 2009
14 opinion and order? Were you aware of that?

15 MR. NOURSE: I object.

16 EXAMINER PARROT: Grounds?

17 MR. NOURSE: I don't think that
18 accurately reflects the decision.

19 Q. Are you aware that they did not adopt
20 your approach that you advocated in the 2009 SEET
21 proceeding? Are you aware of that?

22 A. Respectfully, I disagree with that for
23 the following reasons: In 2009 I proposed a
24 comparable --

25 MS. YOST: Your Honor, he's not answering

1 the question asked. I just asked him if he was aware
2 they did not adopt his procedure. It's a "yes" or a
3 "no."

4 MR. CONWAY: I think she asked him
5 whether he agreed with her proposition that they did
6 not accept his recommendations, and he is explaining
7 that he doesn't agree with the proposition and I
8 think he's entitled to explain his response.

9 MS. YOST: If you could read back the
10 last question, please.

11 (Record read.)

12 EXAMINER PARROT: Could you read the
13 first part of the answer?

14 (Record read.)

15 EXAMINER PARROT: All right. Objection's
16 overruled.

17 Please continue, Dr. Makhija.

18 A. In 2009 I proposed a comparable group --

19 MS. YOST: Your Honor. You overruled the
20 objection? Could you instruct him to answer the
21 question. He's going back to -- it's a "yes" or
22 "no," are you aware.

23 EXAMINER PARROT: And I'm allowing him to
24 complete his answer.

25 So please continue, Dr. Makhija.

1 THE WITNESS: Thank you.

2 In 2009 I proposed a comparable group
3 with a mean ROE of 11.04 percent. The Commission, in
4 fact, used an 11 percent which is virtually the
5 recommendation I had made.

6 The Commission also noted in its opinion
7 and order that I had appropriately used the
8 methodology that uses the business risk and financial
9 risk.

10 The only differential between my
11 methodology and the methodology that provided in the
12 opinion and order was the question of the adder. I
13 have always proposed an adder within 95 percent
14 confidence interval whereas the Commission chose a
15 different adder.

16 If you cumulatively take all of that
17 together, I would find it hard to characterize that
18 the Commission walked away from a methodology in a
19 serious way.

20 MS. YOST: No further questions, your
21 Honor.

22 EXAMINER PARROT: Thank you, Ms. Yost.
23 Staff?

24 - - -

25

CROSS-EXAMINATION

By Mr. McNamee:

Q. Morning.

A. Hi.

Q. It's good to see you again, Mr. Makhija.

A. Pleasure.

Q. Just to be clear here, the methodology that you're advocating here in your testimony is the same methodology that you testified to last year with inputs updated for the change in the period, correct?

A. Yes.

MR. McNAMEE: That's all I need. Thank you.

EXAMINER PARROT: Thank you.

Any redirect, Mr. Conway?

MR. CONWAY: No, your Honor.

EXAMINER PARROT: Thank you.

Are there any objections to the admission of AEP Ohio Exhibit 3?

MR. DARR: Same objection as I previously indicated, your Honor.

EXAMINER PARROT: Thank you, Mr. Darr.

With that, AEP Ohio Exhibit 3 is admitted into the record.

(EXHIBIT ADMITTED INTO EVIDENCE.)

1 EXAMINER PARROT: And thank you very
2 much, Dr. Makhija.

3 THE WITNESS: Thank you.

4 EXAMINER PARROT: Let's go off the
5 record.

6 (Discussion off the record.)

7 EXAMINER PARROT: Let's go back on the
8 record.

9 OEG has our next witness.

10 MR. DARR: Your Honor, at this point does
11 the company formally rest its case?

12 MR. NOURSE: Yes.

13 MR. DARR: I would renew our motion,
14 then, on the basis that the company has failed to
15 provide a case that comports with the statutory
16 requirements. It's an extension of what we argued
17 before but, as we demonstrated on the record this
18 morning, the company relied on essentially the same
19 total company information that we identified in the
20 motion to dismiss, I believe that that does not
21 comport with the statute.

22 MR. NOURSE: And, your Honor, we of
23 course disagree with that. We did use the same
24 approach as last year, in the 2009 proceeding, which
25 was in that respect accepted by the Commission, and

1 that's currently being defended by the Commission on
2 appeal at the Supreme Court. I agree it's tied into
3 their motion to dismiss which we'll be responding to
4 soon as well.

5 EXAMINER PARROT: And as I mentioned in
6 reference to the motion to dismiss that was filed
7 earlier, the Commission will take the motion under
8 advisement in its order.

9 Mr. Kollen, would you please raise your
10 right hand.

11 (Witness sworn.)

12 EXAMINER PARROT: Thank you. Please be
13 seated.

14 - - -

15 LANE KOLLEN
16 being first duly sworn, as prescribed by law, was
17 examined and testified as follows:

18 DIRECT EXAMINATION

19 By Mr. Kurtz:

20 Q. Mr. Kollen, do you have in front of you a
21 document entitled "Direct Testimony and Exhibits of
22 Lane Kollen"?

23 A. Yes.

24 Q. Was this prepared by you or under your
25 direct supervision?

1 A. Yes.

2 Q. If I were to ask you the same questions
3 as those contained herein, would your answers be the
4 same?

5 A. Yes.

6 MR. KURTZ: Your Honor, I ask that
7 Mr. Kollen's direct testimony be marked as OEG
8 Exhibit 1 and tender the witness for
9 cross-examination.

10 EXAMINER PARROT: So marked.

11 (EXHIBIT MARKED FOR IDENTIFICATION.)

12 EXAMINER PARROT: Mr. Darr.

13 MR. DARR: Thank you, ma'am.

14 - - -

15 CROSS-EXAMINATION

16 By Mr. Darr:

17 Q. Mr. Kollen, is it fair to say that you
18 testified in the original ESP case that if the
19 Commission adopted the application as proposed, that
20 it would have the effect of resulting in
21 excessively -- or, significantly excessive earnings
22 for CSP?

23 A. I believe I did.

24 Q. And at that time you anticipated that the
25 numbers could be as high as 20 percent earnings for

1 CSP, correct?

2 MR. CONWAY: Objection.

3 EXAMINER PARROT: Grounds?

4 MR. CONWAY: It's friendly cross. It's
5 not adverse at all. So I object to it. It's not
6 proper cross-examination.

7 MR. DARR: The basis for the direction
8 that I'm going here will be obvious here in a second,
9 your Honor.

10 EXAMINER PARROT: Okay. Please proceed.

11 Q. (By Mr. Darr) Is that correct,
12 Mr. Kollen?

13 A. If I recall correctly, it is.

14 Q. Now, in making your calculations of the
15 20 percent last year and the numbers that you
16 calculated today, is it fair to say that you used as
17 your starting point the same total company numbers
18 that Mr. Mitchell has provided to the Commission
19 today and which he provided to the Commission last
20 year?

21 A. Are you referring to the 1261 case? If
22 so, the answer to that would be yes.

23 Q. I am referring to 1261. So your answer
24 is yes?

25 A. Yes.

1 Q. Now, in regard to the calculation of the
2 ROE that you made, you indicate that there are
3 alternative ways of performing that calculation,
4 correct?

5 A. Of performing a return on equity
6 calculation, that's correct. Total company,
7 jurisdictionalized, or, you know, some hybrid
8 approach as the company has proposed.

9 Q. And the cost of service approach that you
10 suggest in your testimony, could you describe for the
11 record what you meant by that?

12 A. Yes. Essentially what that would do is,
13 and this is in accordance with standard cost of
14 service methodology, if you're going to
15 jurisdictionalize costs, separate the retail from the
16 wholesale, then you jurisdictionalize all of the
17 costs, not just the variable costs.

18 So, for example, the fixed costs which
19 the company in its computation assumed would be
20 assigned or allocated entirely to the retail
21 jurisdiction or the native load, under a normal cost
22 of service methodology you would allocate a portion
23 of those fixed costs to the wholesale load as well.
24 So that, then, would be removed from the numerator of
25 the return on equity calculation, which is a correct

1 methodology if you do it right.

2 MR. CONWAY: Your Honor, I'm going to
3 renew my objection because it's becoming obvious,
4 even more obvious that, in fact, it is friendly cross
5 and Mr. Darr is simply providing Mr. Kollen with an
6 opportunity to reiterate his position through this
7 examination. It has nothing to do with -- it has no
8 adverse character at all and I object to it.

9 MR. DARR: Your Honor, if I may.

10 MR. CONWAY: And they chose not to
11 present a witness and now they're trying to enlist
12 Mr. Kollen to do what they chose not to do. It is
13 improper.

14 MR. DARR: If I may, your Honor. The
15 position of IEU in this case is that none of the
16 parties, including OEG, has presented evidence on
17 which the Commission can take action.

18 What I'm eliciting from Mr. Kollen at
19 this point is what steps would be necessary to
20 perform exactly the kind of calculation that we
21 believe both Mr. Kollen and the companies and any
22 other party should have provided if they were going
23 to address the statutory requirements.

24 In that regard it is, in fact, adverse.
25 He may not like the results of the examination,

1 because they expose the -- the companies may not like
2 it because it exposes the limitations on their
3 approach but it makes it no less adverse.

4 MR. CONWAY: Your Honor, I don't like it
5 because it's not adverse. It simply allows
6 Mr. Kollen opportunities to reiterate his position
7 that he's already included in his testimony and I
8 object.

9 EXAMINER PARROT: I'm going to allow you
10 to continue with the line of questions, Mr. Darr, but
11 let's make sure that we are avoiding what Mr. Conway
12 is saying and we're not just repeating the
13 testimony --

14 MR. DARR: I appreciate that, your Honor.

15 EXAMINER PARROT: -- that's in Exhibit
16 No. 1.

17 Q. (By Mr. Darr) The calculation, the
18 process of using a cost-of-service approach, would
19 that also affect the calculation of the denominator
20 in any significant way?

21 A. Yes, it would.

22 Q. And how would that affect the calculation
23 of the denominator?

24 A. Well, the numerator is net income and if
25 you're going to then jurisdictionalize or allocate

1 fixed costs, not only variable costs but fixed costs
2 as well between two different jurisdictions, the
3 native load on the one hand and the wholesale
4 jurisdiction for off-system sales on the other hand,
5 then you similarly have to make a calculation in the
6 denominator for the common equity, and that typically
7 follows a rate base approach.

8 Q. Okay. When you say "rate base," you're
9 talking about the allocation among different
10 activities used in the completion of a sale?

11 A. That would be the investment used in the
12 completion of a sale. So, for example, you have an
13 investment in power plant, you have investment in
14 transmission lines, and those are the dollars that
15 are reflected in the denominator of the return on
16 equity. And so then you would allocate that as well
17 between the native load and then the off-system
18 sales.

19 Q. And would that also include allocations
20 among the various types of plant used for different
21 kinds of sales, for example, transmission versus
22 production?

23 A. It could. Generally, those types of
24 jurisdictional allocations are done on a fairly
25 detailed basis.

1 Q. And have you performed that allocation
2 with regard to the testimony that you're providing
3 here today?

4 A. No. That was a criticism of the
5 company's methodology that it failed to do so and was
6 part of my argument that the Commission should not
7 exclude off-system sales on the basis proposed by the
8 company. Either all in or, if it's all out, meaning
9 the off-system sales are out, then do it properly by
10 allocating a portion of the fixed costs to the
11 off-system sales.

12 MR. DARR: Thank you.

13 I have nothing further.

14 EXAMINER PARROT: Thank you, Mr. Darr.

15 Ms. Mooney.

16 MS. MOONEY: No questions.

17 EXAMINER PARROT: Mr. Conway?

18 MR. CONWAY: Thank you, your Honor.

19 - - -

20 CROSS-EXAMINATION

21 By Mr. Conway:

22 Q. Mr. Kollen, I just have a few lines of
23 questions for you. Could you turn to page 16 of your
24 testimony.

25 MR. CONWAY: May I approach the witness,

1 your Honor?

2 EXAMINER PARROT: You may.

3 Q. Mr. Kollen, I'm simply going to provide
4 to you a copy of your Exhibit LK-2 so you have it
5 with you at the same time you're looking at your
6 narrative testimony.

7 MR. CONWAY: Your Honors, I don't know if
8 you'd like an extra copy of LK-2 or not.

9 Q. At lines 3 through 10 of page 16 of your
10 direct testimony, Mr. Kollen, you explain in that Q
11 and A your position on what a SEET refund should be
12 for CSP representing the 19.42 percent earned ROE
13 that you calculated compared to a SEET ROE threshold
14 of 18.37 percent; is that correct?

15 A. Yes.

16 Q. And you report in your testimony on page
17 16 that based on your position concerning the earned
18 ROE for CSP, the refund on that basis, using those
19 parameters, those ROE parameters, would be
20 \$19.478 million, and that's at line 8, correct?

21 A. Yes.

22 Q. And you explain that at lines 8 through
23 10 that each .10 percent difference the earned ROE is
24 equivalent to \$1.855 million refund on a revenue
25 requirements basis, correct?

1 A. Yes.

2 Q. All right. And then there's a reference
3 on page 10 to your Exhibit LK-2 as the basis for your
4 narrative examination that you provided on page 16,
5 right?

6 A. Yes.

7 Q. Could you turn to your Exhibit LK-2 for a
8 moment, or could you look at the LK -- Exhibit LK-2,
9 and the question I have for you is the computation to
10 which you refer at line 10 of page 16, that is the
11 computation that is displayed on your Exhibit LK-2 in
12 that next-to-last column, correct?

13 A. Yes.

14 Q. And I have a few questions about your
15 Exhibit LK-2, and if you wouldn't mind, I'll refer to
16 the columns as 1, 2, 3, 4, and 5, column 1 being the
17 description over to the far left and then the
18 Reference column being column 2, and then the middle
19 column, Corrected Calculation with OSS Margins, No.
20 3, and then fourth column being the Corrected
21 Calculation Excluding OSS Margins, and then finally
22 the As Filed by CSP column as column 5. Is that
23 convention okay with you?

24 A. Yes.

25 Q. Okay. The bottom line, literally, of

1 your computations on Exhibit LK-2 in that fourth
2 column is the \$1,855,000 per .1 percent ROE value
3 that you mention in your testimony, correct?

4 A. Yes.

5 Q. And the \$1.855 million value per
6 .10 percent of ROE is the result of grossing up for
7 taxes the 1,206,000 figure that is shown on the
8 third-to-last line of that fourth column, correct?

9 A. Yes.

10 Q. So that the calculation shown -- the
11 calculations shown in that column 4 of your Exhibit
12 LK-2, they support the position that you've described
13 in the narrative form on page 16 at lines 3 to 10
14 which we previously discussed, right?

15 A. Yes.

16 Q. Now, again, looking at your Exhibit LK-2,
17 Mr. Kollen, and again the fourth column, I see that
18 there is a 16.78 percent value that is in the middle
19 of that fourth column on the ROE that's entitled
20 "Equity Exclusion Percentage." Do you see that?

21 A. Yes.

22 Q. And that 16.78 percent is the ratio of
23 the \$47,224,000 of OSS net margin income after tax
24 divided by the 281,351,000 of net income for 2010; is
25 that how you derived that 16.78 percent?

1 A. I believe that's correct.

2 Q. Okay. And the 281,351,000 is the FERC
3 Form 1 income with the restructuring expenses added
4 back in and the SEET refunds added back in and the
5 Medicare part D added back in, right?

6 A. Yes.

7 Q. And maybe I'm repeating myself, but the
8 fraction of the 281,351,000 that is represented by
9 the \$47,224,000 of OSS earnings is the 16.78 percent,
10 correct?

11 A. Yes.

12 Q. And then in the next-to-the-last column,
13 that fourth column on your Exhibit LK-2, my
14 understanding is that you take the 16.78 percent
15 equity exclusion percentage that you've calculated in
16 the fashion we just discussed and you multiply it
17 times the \$1,448,664,000 average equity value that
18 appears in the third row of the last three -- each of
19 the last three columns of the exhibit, right?

20 A. Yes.

21 Q. And when you make that multiplication,
22 the 16.78 percent times the 1,448,664,000, the result
23 is the \$243 million, excuse me, \$243,154,000 figure
24 that appears in the equity exclusion row of your
25 fourth column, correct?

1 A. Yes.

2 Q. Okay. Now, just as a general
3 proposition, Mr. Kollen, if I were to take any
4 fraction and were to multiply the numerator of the
5 fraction by the same value as I multiply the
6 denominator of the fraction, the result will be that
7 fraction again, right?

8 A. Yes, mathematically that's a truism.

9 Q. And that is what has happened in your ROE
10 calculation on Exhibit LK-2, correct? The
11 19.42 percent. You start with 19.42 percent and then
12 as the ROE percentage in column -- in the third
13 column, you go through your corrections in column 4
14 and the ROE percentage that you're left with when
15 you're done is also 19.42 percent, right?

16 A. Yes. And I explain that in my
17 testimony --

18 Q. Okay.

19 A. -- that for this reason, because there's
20 been no demonstration that there are different
21 margins or that there should be different margins
22 between the retail and the off-system sales. And if
23 you assume that those margins are the same
24 percentage, then the numerator and the denominator
25 both should be reduced by the same percentage.

1 Q. So in this case what happened is you took
2 the, in your view, uncorrected numerator and
3 denominator and you multiplied each of them by
4 16.7 -- or, actually by the complement of
5 16.78 percent and you're left with 19.42 percent
6 again, right?

7 A. If I follow your question, yes.

8 Q. And so, Mr. Kollen, with regard to the
9 denominator, the 1.448,664 billion that you have
10 reduced by the 243,154,000, that was the original
11 number, the 1.448 billion number, that equity
12 supports all the functions of CSP, correct?
13 Generation, transmission, distribution.

14 A. Yes, that's correct.

15 Q. Okay. So, in effect, you have adjusted
16 from the equity base the denominator a portion of the
17 equity that finances distribution and transmission as
18 well as generation, right?

19 A. I would agree with that and there's a
20 very good reason for that, because what I was looking
21 at is the relative margins for the retail versus the
22 off-system sales. And there's been no demonstration
23 that in reality those margins as a percentage of the
24 return on common equity are any different. So you
25 really have to do it this way in order to do it

1 correctly.

2 Q. So you have to -- and your position is
3 you must adjust out portions of the distribution as
4 well as the transmission in order to accomplish that
5 result, right?

6 A. Yes, that's correct.

7 Q. Okay. If you could go back to your
8 testimony at pages 13 and 14, there's a Q and A that
9 starts at the bottom of page 13 and extends over to
10 cover the bulk of page 14. And I believe at this
11 point lines 21 and 22, the question on page 13 and
12 then the answer on page 14, lines 1 through 17, you
13 discuss what you believe to be one of the errors in
14 the way AEP Ohio calculated the common equity
15 included in the denominator of year-end ROE for CSP,
16 right?

17 A. Yes, one of several.

18 Q. Okay. And at lines 4 through 7 you say
19 that this error in AEP's methodology has to do with
20 the fact that common equity includes the cumulative
21 net income and the retained earnings component of
22 common equity from all prior years.

23 A. Yes, that's correct.

24 Q. So you recommend that if the Commission
25 relies upon the methodology that Mr. Mitchell and

1 AEP Ohio have advanced for determining an OSS-related
2 adjustment to the denominator of the earned ROE, it
3 should add adjustments from prior years to the
4 \$114 million adjustment that Mr. Mitchell calculated
5 in 2010, right?

6 A. I believe it was Mr. Cahaan. You're
7 right, Mr. Mitchell computed for 2010.

8 Q. 2010.

9 A. Yes.

10 Q. And you're anticipating my next
11 questions, which is Mr. Cahaan's calculation for
12 2009, and so --

13 A. I didn't really actually even answer your
14 last question, but go ahead.

15 Q. Yes. Okay, so to answer my question, is
16 that -- there should be an adjustment added for prior
17 years to the \$114 million for 2010 that Mr. Mitchell
18 calculated.

19 A. Yes, that's correct, because common
20 equity is cumulative, it has all of the cumulative
21 earnings from all of the prior years, so that to the
22 extent that there is a prior year impact of removing
23 the off-system sales, in other words you've in a
24 sense jurisdictionalized that to the retail
25 jurisdiction or to the native load, then that isn't

1 an effect that is limited only to the present year,
2 but it carries forward from all of the prior years.

3 And that was the error that is reflected
4 in Mr. Mitchell's calculation because he failed to
5 reflect that carry-forward.

6 Q. And so you would add, for example, the
7 93.381 million that Mr. Cahaan had calculated for
8 2009 to the 114 million-plus that Mr. Mitchell
9 calculated for 2010, right?

10 A. Yes. Because there is this cumulative
11 effect reflected in the per books or the accounting
12 books of common equity.

13 Q. And so that gets you to roughly
14 207 million as an adjustment if you add the 2009
15 value to the 2010 value, right?

16 A. Yes, it does.

17 Q. Okay. And then -- but your criticism is
18 not simply that Mr. Mitchell failed to or omitted
19 from including the 2009 adjustment to the 2010
20 adjustment, your criticism is that all the prior
21 years' adjustments should be accumulated, should be
22 added together, right?

23 A. I'm not sure the mutual exclusivity of
24 the "or" part of your question. Could you repeat it.

25 Q. Well, let me try again.

1 A. Okay.

2 Q. Your view is that the 93 million that
3 Mr. Cahaan calculated for 2009 should be added to the
4 114 million that Mr. Mitchell calculated for 2010.

5 A. Or whatever the correct number is for
6 2010.

7 Q. Right.

8 A. If the Commission essentially adopts
9 Mr. Mitchell's methodology --

10 Q. But your criticism is that, at lines 4 to
11 7, is the fact that the common, in your view the
12 common equity includes the cumulative net income from
13 all prior years and that this adjustment should be
14 made not just for 2009, but also for 2008, 2007, and
15 on backward, right?

16 A. No. It should only be made back for as
17 long as the Commission has determined that this is
18 the methodology. I don't think we ought to go back
19 before 2009. I mean, we could, and it would be a
20 much more significant number, but I think it's fair
21 to limit it to the period of time during which the
22 ESP was in effect and the SEET earnings test was in
23 effect.

24 Q. But your criticism is not limited to that
25 demarcation point, is it? Your criticism --

1 A. In the physical word or narrative of my
2 testimony I did not limit it to that, but as a
3 practical matter, when I further described it, I
4 limited it to only the 2009 through '10 period.

5 Now, for 2011, then we'd go back to the
6 three-year period.

7 Q. And what do you expect in 2011 that the
8 value will be? Will it be in the ballpark of what it
9 was in 2009 and 2010?

10 A. I don't know. But assuming that it's
11 positive --

12 Q. What do you think it was for 2008,
13 ballpark?

14 A. I don't know. I didn't look at it. The
15 SEET was in effect for 2009, '10, and '11.

16 Q. And if it's in the ballpark of the
17 93 million and 114 million, then what you would do is
18 you'd come back and recommend that if Mr. Mitchell's
19 approach is adopted in 2011, that the exclusion ought
20 to be somewhere in the neighborhood of \$300 million,
21 right?

22 A. Well, I think that would be a
23 mathematical fact. In other words, if we were going
24 to accumulate all of the earnings and that's what
25 common equity reflects, the accumulation of all of

1 the earnings, then if we're going to separate out
2 that accumulation of earnings between native load and
3 the off-system sales, then it also needs to be
4 cumulative.

5 Q. So let me see if I've got the criticism,
6 I understand the criticism accurately. If we were
7 here in -- if you had testified, I don't believe you
8 did testify in the 2009 proceeding, but if you had
9 and you had advanced this criticism that you are
10 advocating or that you're advancing here, then you
11 would have agreed with Mr. Cahaan's exclusion that
12 93 million is the appropriate amount, but then when
13 we get to 2010, you would say that the appropriate
14 amount is 93 million plus 114 million.

15 When we get to 2011, your testimony,
16 based on this criticism, would be that the exclusion
17 should be 93 plus 114 plus another hundred million if
18 it's in the same ballpark. Right?

19 A. Well, first of all, I did testify in the
20 1261 proceeding.

21 Q. Did you?

22 A. I'm sorry you don't recall, but I did.
23 And the answer to the other part of your question is
24 yes, it would be cumulative.

25 Q. And you don't think that it's odd that

1 your recommendation, this fallback recommendation if
2 I might characterize it as such --

3 A. Well, I wouldn't really characterize it
4 as a fallback recommendation, I would characterize it
5 as a criticism of Mr. Mitchell's methodology.

6 Q. Okay. Fair enough. Fair enough. You
7 don't regard it as an oddity of your criticism that
8 it escalates from roughly \$100 million as an
9 exclusion in year 1 of the ESP to \$300 million in
10 year 3 of the ESP.

11 A. Under the hypothetical assumptions that
12 you provided to me I do not think that that's odd at
13 all because each year that common equity will grow.
14 So, for example, in 2008 it may have been
15 1.1 billion, in 2009 1.2 billion, in 2010
16 1.4 billion. So that's because the earnings are
17 cumulative each year.

18 And if part of those earnings are
19 attributed to the off-system sales, then the
20 exclusion of the off-system sales also should be
21 cumulative.

22 Q. And so that the adjustment should go from
23 an amount in year 1 of a three-year ESP that is
24 essentially tripled by the end of the three-year ESP,
25 the third year.

1 A. Well, if those are the hypothetical
2 numbers, if you're including 2011, because we don't
3 know that that's the point.

4 Q. Do you think that it's possible -- and
5 let's also then compare it to what the adjustment is
6 taken from. In Mr. Mitchell's recommendation it's
7 about, it's roughly a \$750 million equity related
8 production plant value, right?

9 A. Under Mr. Mitchell's methodology, that's
10 correct, which I disagree with, but that's correct.

11 Q. So under Mr. Mitchell's approach here,
12 which is to what your criticism is directed, we would
13 go from a situation where there's a roughly
14 \$100 million offset to a \$750 million equity base in
15 year 1 of the ESP to a situation where there's a
16 \$300 million offset to a \$750 million equity base in
17 year 3.

18 A. Well, I think your comparison is
19 incorrect because, essentially, what you're computing
20 is a reduction in the total company common equity
21 that goes into the denominator and Mr. Mitchell's
22 methodology does not put the 750 million into it but
23 leaves the 1.4 billion in it and reduces that by the
24 114. So I think your point of comparison is
25 incorrect.

1 Q. But your criticism is to Mr. Mitchell's
2 methodology; is it not?

3 A. Yes, it is.

4 Q. And his methodology includes using the
5 \$750 million of equity related production plant only,
6 right?

7 A. Under his methodology, that's correct.

8 Q. Okay. Did you consider whether or not
9 the reconciliation of the results of your criticism
10 might be that the \$114 million value for 2010 and the
11 \$93 million value for 2009 were cumulative values
12 themselves? That is, cumulative up to 2009,
13 cumulative up to and through 2010?

14 A. They are not. I did consider that, and
15 they are not. They are year-by-year amounts.

16 Q. Now, Columbus Southern Power will pass
17 dividends up to its shareholder AEP on an annual
18 basis generally speaking, right?

19 A. Columbus Southern does pass up dividends
20 to the parent company, yes. How frequently that is
21 is -- it varies.

22 Q. Okay. And how does your method account
23 for the practice of, if not the fact of, you're not
24 willing to accept it as a fact, but the practice of
25 passing dividends up from the operating company, CSP,

1 to the parent shareholder, AEP?

2 A. My criticism, my methodology, or I should
3 say it is not my methodology, I'm criticizing
4 Mr. Mitchell's methodology and explaining why it is
5 wrong. But if we were to convert the criticism into
6 a methodology, you would have to in some manner take
7 into account the dividends passed up to the parents.

8 Q. Did your method --

9 A. It's not my method.

10 Q. Did your criticism, excuse me, I didn't
11 mean to put words into your mouth, you're very
12 careful not to let me do that.

13 A. I try.

14 Q. Does your criticism address that aspect?

15 A. I did not address it specifically. But
16 as I said, if you were to take the criticism and
17 convert it into a methodology, then you would have to
18 do something with the dividend issue.

19 Q. And you have not done that in your
20 analysis, which is your criticism.

21 A. Right. I have not done that in my
22 criticism.

23 Q. Okay. And then how does your criticism,
24 how does it handle or did you look at how it might
25 handle contributions of capital from the shareholder,

1 AEP, to the operating company, CSP?

2 A. That would be the same type of issue. In
3 other words, if you want to convert the criticism
4 into a methodology, then you would need to look at
5 all aspects of the common equity account, whether it
6 was contributions from the parent company or
7 dividends back up.

8 Q. And your criticism did not extend itself
9 to that aspect.

10 A. That's true. I was critiquing
11 Mr. Mitchell's methodology which is fundamentally
12 flawed and I was not attempting to create a
13 replacement methodology that would improve it. I was
14 simply critiquing his methodology.

15 Q. So the criticism, then, is a qualitative
16 one and not a quantitative one, correct?

17 A. It's both. The quantitative is as I have
18 indicated in my testimony, but then I would suggest
19 to you that, and I agree with you, as a qualitative
20 matter that would have manifestation and quantitative
21 effect is that you would look at the net of the
22 parent company contributions and/or the dividends up
23 to the parent company.

24 Q. Neither of which you have taken account
25 of in your criticism, right?

1 A. That's correct, because it's not
2 necessary for the criticism to be valid.

3 Q. Okay.

4 A. I was not proposing an alternative
5 methodology.

6 MR. CONWAY: Thank you, your Honor.

7 Thank you, Mr. Kollen.

8 THE WITNESS: You're most welcome.

9 MR. CONWAY: Your Honor, I'm concluded.

10 EXAMINER PARROT: OCC?

11 MS. YOST: No questions, your Honor.

12 EXAMINER PARROT: Staff?

13 MR. McNAMEE: No questions, your Honor.

14 EXAMINER PARROT: At this point we'll
15 break for lunch and we'll allow Mr. Kurtz during that
16 time to determine if he has any redirect for
17 Mr. Kollen. Let's go off the record and we'll
18 reconvene at 1:00 p.m.

19 (Luncheon recess taken.)

20 - - -

21

22

23

24

25

1 Tuesday Afternoon Session,

2 December 6, 2011.

3 - - -

4 EXAMINER PARROT: Let's go back on the
5 record.

6 Mr. Kurtz, any redirect?

7 MR. KURTZ: Your Honor, no redirect.

8 EXAMINER PARROT: Thank you very much.

9 Are there any objections to the admission
10 of OEG Exhibit 1?

11 MR. DARR: No objection, your Honor.

12 MR. CONWAY: No.

13 MR. McNAMEE: No.

14 EXAMINER PARROT: Hearing none, OEG
15 Exhibit No. 1 is admitted into the record.

16 (EXHIBIT ADMITTED INTO EVIDENCE.)

17 EXAMINER PARROT: OCC.

18 MS. YOST: We are not calling any
19 witnesses, thank you.

20 EXAMINER PARROT: All right. Very good.
21 That leaves Mr. Buckley.

22 MR. McNAMEE: Yes, at this time staff
23 would call Joseph P. Buckley.

24 EXAMINER PARROT: Please raise your right
25 hand.

1 (Witness sworn.)

2 EXAMINER PARROT: Please be seated.

3 - - -

4 JOSEPH P. BUCKLEY

5 being first duly sworn, as prescribed by law, was
6 examined and testified as follows:

7 DIRECT EXAMINATION

8 By Mr. McNamee:

9 Q. Mr. Buckley, could you state and spell
10 your name for the record, please?

11 A. Joseph P. Buckley, B-u-c-k-l-e-y.

12 Q. By whom are you employed, and in what
13 capacity?

14 A. The Public Utilities Commission of Ohio,
15 I'm a Utility Rate Specialist 3.

16 Q. What is your business address?

17 A. 180 East Broad Street, Columbus, Ohio
18 43215.

19 MR. McNAMEE: Your Honor, at this time
20 I'd ask to have marked for identification several
21 exhibits, the first of which I would ask to have
22 marked as Staff Exhibit 1 a document filed in this
23 case October 24th denominated Prefiled Testimony of
24 Joseph P. Buckley.

25 EXAMINER PARROT: So marked.

1 (EXHIBIT MARKED FOR IDENTIFICATION.)

2 MR. McNAMEE: Second, as Staff Exhibit
3 No. 2, I'd have a document filed in this docket also
4 on October 24 of this year and the cover sheet of
5 that is a letter from me. Can I have that marked?

6 EXAMINER PARROT: So marked.

7 MR. McNAMEE: So marked, thank you.

8 (EXHIBIT MARKED FOR IDENTIFICATION.)

9 MR. McNAMEE: And as Staff Exhibit 3 a
10 document filed November 8th of this year
11 denominated Updated Prefiled Testimony of Joseph P.
12 Buckley.

13 EXAMINER PARROT: So marked.

14 (EXHIBIT MARKED FOR IDENTIFICATION.)

15 Q. (By Mr. McNamee) Mr. Buckley, do you have
16 what have just been marked for identification as
17 Staff Exhibits 1, 2, and 3 in front of you?

18 A. Yes, I do.

19 Q. Can you tell me what those documents are?

20 A. It's my prefiled testimony, updated
21 exhibits, and changes to my prefiled testimony.

22 Q. Okay. Were these various documents
23 prepared by you or under your direction?

24 A. Yes, they were.

25 Q. Okay. Are the contents of them true to

1 the best of your knowledge and belief?

2 A. Yes.

3 Q. Do you have any additions or corrections
4 that you need to make at this time to any of these
5 three documents?

6 A. Not at this time.

7 Q. Okay.

8 MR. McNAMEE: The witness is available
9 for cross.

10 EXAMINER PARROT: Thank you.

11 Mr. Darr.

12 MR. DARR: Thank you, your Honor.

13 - - -

14 CROSS-EXAMINATION

15 By Mr. Darr:

16 Q. Mr. Buckley, did you make any independent
17 evaluation or determination of the amount of
18 off-system sales that should be included or excluded
19 from the calculation of the return on equity?

20 A. I adopted the company's recommendations.

21 Q. So the answer to my question is that you
22 didn't make any independent --

23 A. No.

24 Q. Would you agree that off-system sales
25 includes a component of both generation and

1 transmission?

2 A. I don't believe in my testimony that I
3 spoke to off-system sales and I'm not at all familiar
4 with them.

5 Q. Based on your review of the company's
6 calculations, would you agree with me that the
7 companies use what has been described previously as
8 total company numbers, that is revenues based on
9 total company retail and wholesale transactions?

10 A. I'm not sure what you're referring to.

11 Q. In calculating the net income would you
12 agree with me that the companies used as their
13 starting point the total revenues as stated on FERC
14 Form 1 for both CSP and Ohio Power?

15 A. Yes.

16 Q. And based on what you have reviewed and
17 what you heard this morning would you also agree that
18 this includes both retail, wholesale, and some
19 nonutility revenues?

20 A. Yes.

21 Q. Now, with regard to the methodology that
22 the companies use and which you have adopted, part of
23 that includes a calculation of the change necessary
24 for off-system sales, correct?

25 A. Correct.

1 Q. And you understand that -- you make a
2 statement in your testimony, and I believe it's at
3 page 3, lines 7 through -- at or near lines 7 through
4 15, that the calculation used by the company is in
5 conformance with that previously approved by the
6 Commission. Am I correctly summarizing that?

7 A. Correct.

8 Q. You understand that the companies
9 attempted a new way, a new method for calculating the
10 off-system sales.

11 A. From what I understood there was a minor
12 change.

13 Q. You understood that there was some
14 change.

15 A. A minor change, yes.

16 Q. Okay.

17 MR. DARR: Nothing further, your Honor.

18 EXAMINER PARROT: Ms. Mooney?

19 MS. MOONEY: I have no questions.

20 EXAMINER PARROT: Mr. Conway?

21 Mr. Nourse?

22 MR. NOURSE: Thank you, your Honor.

23 - - -

24

25

CROSS-EXAMINATION

By Mr. Nourse:

Q. Good afternoon, Mr. Buckley.

A. Hello.

Q. Your testimony on page 4, you talk about the threshold value, ROE threshold value of 15.29 percent.

A. Yes.

Q. Do you see that?

By the way, when I refer to your testimony and exhibits, I'm just referring to the revised testimony which I believe was Staff Exhibit 3? At least for your exhibits. And I don't believe -- and I'm referring to your revised testimony where you made individual changes to the numbers, et cetera. So hopefully it's the latest testimony.

Okay. So on page 4 you refer to the 15.29 there. Do you see that?

A. Correct.

Q. Now, you agree that the Commission has established several other factors that can be considered and should be considered in establishing a final threshold ROE. Do you agree with that?

A. Yes.

1 Q. Okay. And, in fact, you reference on
2 page 4 of your testimony that the Commission included
3 considerations of other factors in adjusting from
4 1.5, or a 50 percent adder, to 1.6, or a 60 percent
5 adder; is that correct?

6 A. Yes, the Commission did that.

7 Q. Okay. And in this case the staff has not
8 considered those additional factors or the other
9 factors in presenting testimony, correct?

10 A. We'll leave that up to the Commission.

11 Q. So the 15.29 percent ROE threshold is not
12 really the ROE threshold that the staff is
13 recommending for purposes of a refund, correct?

14 A. We did not take a stance on any
15 additional adder, so that's the baseline number.

16 Q. It's the baseline number, it's not the
17 final number; is that accurate?

18 A. The Commission will set the final number.

19 Q. Okay. But not only the Commission will
20 set the final number, you agree, don't you, that the
21 Commission would consider additional factors the
22 staff did not consider in your testimony prior to
23 making a decision?

24 A. I would assume the Commission can have a
25 multitude of factors that they'll look at in deciding

1 a final number.

2 Q. Okay. But is staff recommending a refund
3 based on use of the 15.9 percent ROE threshold --
4 15.29, if I misspoke?

5 A. That would be the baseline.

6 Q. And just help me understand what you mean
7 by "baseline."

8 A. The Commission could move that number
9 either up or down depending on what they feel -- how
10 the company performed in the past year. I assume
11 there's a multitude of factors they could look at in
12 adjusting that number.

13 Q. Okay. Do you have the 2009 decision
14 handy, the opinion and order in Case No. 10-1261?

15 A. Yeah, it might take me a while to get to
16 it but I have it up here.

17 Q. Okay. When you find the opinion and
18 order, if you could turn to page 25. And actually
19 let's start with page 24 when you get there.

20 A. Yes.

21 Q. Okay. And on page 24 you see a sentence
22 right in the middle of the page that says "Whether
23 any differential between the ROE of an electric
24 utility and that of comparable companies is
25 significant necessarily depends on factors related to

1 the individual electric utility under review."

2 A. Yes, I see that.

3 Q. Do you see that?

4 A. Yeah.

5 Q. Okay. And so when the Commission said
6 that the differential necessarily depends on these
7 other factors, that suggests, does it not, that the
8 Commission will consider those factors prior to
9 establishing a final ROE threshold or ordering any
10 refund?

11 MR. McNAMEE: Object.

12 MR. DARR: Objection.

13 Q. Is that your understanding of the order,
14 Mr. Buckley?

15 A. Yes.

16 MR. DARR: There's an objection pending,
17 your Honor.

18 MR. NOURSE: I'm sorry. I was
19 rephrasing, I thought -- go ahead.

20 MR. McNAMEE: His opinion about what the
21 Commission meant really is of no moment here. It is
22 irrelevant.

23 MR. NOURSE: Your Honor --

24 EXAMINER PARROT: Mr. Darr, did you wish
25 to add anything to that?

1 MR. DARR: It's also asking for a legal
2 conclusion. I'd also ask that the question and
3 answer that was asked and answered during the pending
4 objection be stricken.

5 MR. NOURSE: Your Honor, if I could
6 respond. I think I'm -- you know, I think it's
7 obvious I'm clearly trying to get Mr. Buckley's -- a
8 clarification of his testimony and his recommendation
9 relative to the, I'm trying to remember the term he
10 used, but the preliminary ROE threshold versus the
11 final, and what he meant by that in his testimony and
12 his understanding, not a legal conclusion.

13 EXAMINER PARROT: I'm going to grant the
14 motion to strike the response.

15 Mr. Nourse, you made an offer to
16 rephrase. Would you care to do that?

17 MR. NOURSE: Sure.

18 Q. (By Mr. Nourse) Mr. Buckley, is it your
19 understanding that that sentence I read to you on
20 page 24 indicates that the Commission will review
21 those other factors prior to establishing a final ROE
22 threshold to be used in a SEET proceeding?

23 MR. DARR: Same objection, your Honor, is
24 asks for a legal conclusion.

25 EXAMINER PARROT: Mr. Buckley, I'm going

1 to allow you to answer the question if you know.

2 A. Yes.

3 Q. Thank you.

4 Mr. Buckley, could you turn to page 25 of
5 the opinion and order we were just looking at, and
6 there's a short paragraph in the middle of the page,
7 the last sentence reads "On a going-forward basis the
8 Commission expects to refine the quantitative
9 analysis associated with these factors through future
10 SEET proceedings." Do you see that?

11 A. I do.

12 Q. And would your -- what would your
13 understanding of that sentence be?

14 A. I don't have a real clear understanding
15 of what they want going forward with that sentence.

16 Q. Okay. But you would agree that in your
17 testimony you did not further any quantitative
18 analysis associated with the other factors being
19 referred to; is that accurate?

20 A. That's true.

21 Q. Okay. Now, Mr. Buckley, I'd like to ask
22 you some questions about the SPDR index group that
23 you use for your comparable group in your testimony.

24 A. Yes.

25 Q. And I guess I'll refer to that as the

1 SPDR index and I think it's also referred to as the
2 XLU or the SPDR Select Sector Fund utility, and
3 you'll know what I mean when I refer to the "SPDR
4 index"?

5 A. I will.

6 Q. Okay, thank you.

7 Now, can you describe for me what you
8 believe the SPDR index captures relative to business
9 and financial risks?

10 A. It was my hope that the SPDR would take
11 out the difficult task of creating comparable groups,
12 that someone, an independent party would create this
13 comparable group and that we would just adopt that.
14 They have different goals in selecting their group
15 than we would in establishing baseline ROE, and in
16 proceedings like this it seems like a lot of talk is
17 centered around the comparable group and I wanted to
18 try to simplify that and avoid that.

19 Q. Okay. Is the SPDR group formed or
20 changed based on a comparison to business and
21 financial risks of Columbus Southern Power, for
22 example?

23 A. They don't look at Columbus Southern
24 Power in creating the companies grouped in the SPDR,
25 no.

1 Q. Now, is the SPDR index a subset of large
2 capital firms in the S&P 500? Is that accurate?

3 A. Yes.

4 Q. Is Columbus Southern Power a large
5 capital firm, a large capitalization firm?

6 A. It's not a publicly traded company like
7 AEP is. If it were a stand-alone company, I would
8 expect it to be -- I'm not sure where it would fall.

9 Q. Okay. Is it fair to say that the SPDR
10 index group predetermines characteristics of the
11 comparable group without any direct relationship to
12 the electric utility?

13 A. I guess I don't understand that question.

14 Q. The SPDR index group, the characteristics
15 of -- you're using it as a comparable group here,
16 right?

17 A. Correct.

18 Q. And the characteristics of the SPDR group
19 are not determined or formed based on any reference
20 to Columbus Southern Power or AEP Ohio --

21 A. No.

22 Q. -- correct? Okay.

23 Now, would use of the SPDR index create
24 the same comparable group for all of the Ohio
25 electric distribution utilities?

1 A. Yes.

2 Q. Okay. And this is the first case in
3 which staff has advocated use of the SPDR index,
4 correct?

5 A. I believe in the last case it was
6 mentioned it would be something that could be used
7 but it was not used in the last case.

8 The way Mr. Cahaan created his number I
9 was not comfortable using that method, I wanted to
10 use something that was more scientific and more --
11 had more transparency.

12 Q. And the way he created his number, you're
13 referring to the 2009 SEET proceeding and his
14 testimony on behalf of staff in that case?

15 A. Correct.

16 Q. And the way he developed his number was
17 based on a number of -- consideration of a number of
18 different factors I guess, multiple index groups, the
19 methods that were advocated by other parties he also
20 considered; is that correct?

21 A. I think at the end of the day he used his
22 experience and a multitude of other factors that you
23 mentioned to create that number.

24 Q. Okay. So he did not rely heavily or
25 exclusively on the SPDR index in that prior case,

1 correct?

2 A. Not exclusively, but he did look at them
3 as a test to see whether his number was, I don't know
4 the term, but, in the ballpark.

5 Q. Okay. As a reasonableness check?

6 A. Correct.

7 Q. Okay. And since you mentioned
8 Mr. Cahaan's testimony I actually wanted to ask you a
9 couple questions about that. Do you have it with
10 you?

11 A. I do, but, again, it might take me a
12 while to get there.

13 Q. Well, I've got it right here. There you
14 go.

15 A. Thanks.

16 Q. Okay, Mr. Buckley, could you turn to page
17 12. And in the middle of this page, let's start at
18 line 8, there's a statement "In the future, the Staff
19 may want to put forward a benchmark ROE based upon an
20 index or combination of indices announced well in
21 advance, so that parties could get a good idea of the
22 resulting benchmark ROE well in advance. Parties
23 would then be free to put forward any analysis they
24 choose. But they would also be expected to address
25 the specific modifications that they thought to be

1 appropriate to the announced benchmarking index. By
2 starting on a common page, the process might become
3 more productive."

4 Do you see that?

5 A. I do.

6 Q. Okay. And is this essentially the same
7 thought or recommendation that staff is sort of
8 following through on in this case?

9 A. It is.

10 Q. Okay. Now, do you agree that Mr. Cahaan
11 stated that the index would be discussed or announced
12 well in advance?

13 A. I do.

14 Q. As a related matter if we could turn back
15 to the 2009 decision, I think you still have that
16 with you.

17 A. I do.

18 Q. Could you turn to page 35, please.

19 A. Yes.

20 Q. Do you see the paragraph at the bottom,
21 "Finally"?

22 A. Yes.

23 Q. And could you read that.

24 A. "Finally, in regard to staff
25 recommendation to offer a benchmark ROE based on an

1 index or combination of indices as a starting point
2 for the annual SEET, the Commission will continue to
3 consider the proposal and address any amendment to
4 the SEET process by entry to be issued in the near
5 future."

6 Q. Okay. Are you aware of any such entry or
7 process the Commission initiated since the last
8 decision?

9 A. I am not.

10 Q. Okay. Now, you can put Mr. Cahaan's
11 testimony aside, I'll come back to that in a couple
12 minutes.

13 You also indicate in your testimony I
14 believe at pages 4 and 5 that another reason that
15 staff selected the SPDR index is based on a statement
16 made in Company Witness Hamrock's testimony?

17 A. I do.

18 Q. Regarding the fact that AEP Ohio is not
19 assured recovery of existing generation assets due to
20 changes in state regulatory views and federal
21 environmental statutes within a rapidly changing
22 market, correct?

23 A. Correct.

24 Q. Okay. Now, to be clear, is it your
25 testimony that staff did not intend to use the SPDR

1 index until after reading Mr. Hamrock's testimony?

2 A. The use of the SPDR index has been
3 discussed for a number of years -- I guess not a
4 number of years, a couple of years. It was discussed
5 last year even.

6 Again, we're just trying to add
7 transparency to all the stakeholders so the result of
8 a SEET hearing does not catch anyone off guard. It
9 can be calculated almost any time.

10 So to answer your question, it was not
11 after we read Hamrock's testimony that we thought of
12 this. It had been thought of for a while prior to
13 that.

14 Q. All right. But you cite in your
15 testimony that his statement is another reason staff
16 selected the SPDR index, correct?

17 A. That's what it says, correct.

18 Q. Okay. Now, is Mr. Hamrock's statement
19 that you referenced there made in the context of
20 selecting a comparable group?

21 A. We think his statement adds credibility
22 to selecting the SPDR.

23 Q. Can you explain that?

24 A. The electric utility industry, both
25 generation and distribution and transmission, is

1 going through a lot of changes currently, so looking
2 at outside that market for comparable groups I didn't
3 think was necessarily appropriate at this time.

4 So I was trying to find a comparable
5 group that captured a lot of those unique risks that
6 would affect electric utilities. Being that the SPDR
7 is made up of those electric utilities, that's why we
8 looked at that one.

9 Q. Okay. So the market you referred to
10 there and your intention in using SPDR is to capture
11 the electric utility's business and financial risk;
12 is that accurate?

13 A. Correct.

14 Q. Does that apply to an electric utility
15 that -- an electric distribution utility, excuse me,
16 that does not own generation assets?

17 A. The SPDR is made up of utilities that are
18 at different levels of -- that have different levels
19 of regulatory, for lack of a better word, influence,
20 so it has some companies that are more distribution
21 related, some that are more generation related. It's
22 kind of a mixture.

23 Q. Right. In fact, let me just state it
24 differently. You're saying that the SPDR index fund
25 is made up of companies other than electric

1 utilities. It's not just electric utilities,
2 correct?

3 A. It's mainly utilities and there are some,
4 I think there's some gas utilities, but mainly
5 electric utilities.

6 Q. Okay.

7 MR. NOURSE: Your Honor, I'd like to mark
8 an exhibit, AEP Ohio Exhibit 4.

9 EXAMINER PARROT: So marked.

10 (EXHIBIT MARKED FOR IDENTIFICATION.)

11 Q. Mr. Buckley, you have the exhibit we just
12 marked as Exhibit No. 4?

13 A. Yes, I do.

14 Q. And this is the annual report for 2010 of
15 the SPDR index fund, correct?

16 A. Yes, it is.

17 Q. Okay. And this is an excerpt, excuse me,
18 of the annual report, and the page that's inside the
19 cover page here indicates it's a schedule of
20 increments for the SPDR index fund, and so is it
21 accurate that the fund itself only classifies some of
22 the members as electric utilities, about half?

23 A. Yes, but most of them are involved in the
24 electric industry in some way. Except the gas
25 utilities that are pointed out in the middle.

1 Q. Okay. So Nicor, Oneok gas utilities,
2 they're not involved in the electric utility industry
3 at all, correct?

4 A. I don't know if they're not involved at
5 all, but they're classified as gas utilities. I'm
6 not as familiar with those companies as some of the
7 other ones.

8 Q. Okay. But it's fair to say their
9 dominant business is gas, correct?

10 A. I would assume that essentially they're
11 classified.

12 Q. And then we have Constellation, NRG, and
13 AES that are classified as IPP or independent power
14 producers and energy traders.

15 A. Yes.

16 Q. Okay. And what's your understanding of
17 that term?

18 A. They are more of the generation type
19 businesses.

20 Q. So wholesale, wholesale electric
21 transactions?

22 A. Yes.

23 Q. And is it your understanding that AES is
24 an international firm?

25 A. Yes.

1 Q. Okay. And the other category is
2 multi-utilities with 39 percent there. Do you see
3 that?

4 A. Yes.

5 Q. And most of these -- in other words,
6 what's your understanding of that term?

7 A. Multi-utilities would have more
8 diversification than just simply the electric
9 utilities. For example, Dominion is involved in gas
10 and other businesses, however, they're
11 predominantly -- I think if you look at their
12 revenues, they would be predominantly electric.

13 Q. Okay. All right. So can we agree that
14 assuming the multi-utilities are all predominantly
15 electric that it would be a different group if we
16 excluded the gas utilities and the IPPs and that
17 different group would be -- more accurately capture
18 electric utilities as a category?

19 A. Yes, but my -- I want to kind of clarify
20 that. When we start picking and choosing what goes
21 in and what is removed from the SPDR, then it starts
22 to become something that we can argue about and it's
23 not as independent as it was before, but I think that
24 removing the gas and IPPs would be more -- would
25 allow it to be more electric based.

1 Q. Okay. And can you help me as to -- well,
2 let me start with your understanding of the SEET
3 statute and the Commission decision in the 2009 case.
4 Is it your understanding that the comparable group
5 should reflect the business and financial risks that
6 are faced by the electric utility in question?

7 A. I think it was -- it's similar risk to
8 companies. I don't think the Commission said it had
9 to be just electric utilities.

10 Q. Okay. Well, how about the phrase
11 "publicly traded companies including utilities that
12 face comparable business and financial risk"? Would
13 that be accurate?

14 A. Yes.

15 Q. Okay. So the part about including
16 utilities, is your understanding of that phrase to
17 mean only utilities?

18 A. I think companies other than utilities
19 could be included, but, as I stated earlier, I
20 selected only utilities because of the unique market
21 that they're operating in at this time.

22 Q. Do you know, as you look at the roster of
23 the SPDR index members, whether most or all of the
24 members have retail shopping, are involved with
25 retail shopping jurisdictions?

1 A. I know that some are. I don't know the
2 percentage and I don't know if it's -- I don't know
3 how predominant it is. I know that at least a couple
4 are.

5 Q. What about government aggregation, do
6 you, as you look down the list of members, can you
7 tell us whether they face retail government
8 aggregation?

9 A. Again, I would not -- I know at least one
10 of them is. I don't know about the rest of them.

11 Q. Do you know whether some, any, or all of
12 the members of the index operate in jurisdictions
13 with renewable energy portfolio mandates?

14 A. I don't know the answer to that.

15 Q. Do you know whether any of the members in
16 the SPDR index are involved in a jurisdiction where
17 there's an excessive earnings or significantly
18 excessive earnings test?

19 A. I don't think they are. I think that's
20 unique to Ohio.

21 Q. Now, would you agree that -- well, first
22 of all, with the list of members for the SPDR index
23 do you know if any of these companies are wires-only
24 companies?

25 A. I'm not sure.

1 Q. Relative to the risk, business and
2 financial risk, would you expect a wires-only company
3 to have less risk than an integrated utility or,
4 specifically, an Ohio EDU?

5 A. I think that the guaranteed cash flow of
6 a wires-only company would reduce the risk that it
7 would face; however, all these companies, it's hard
8 to classify -- it's hard to find a comparable group
9 that would be exactly the same as any one company in
10 any industry.

11 Every company is unique in its own right
12 and has its own set of risks that it faces. The goal
13 of selecting this was it's independent, they're all
14 involved in the utility industry, and it provides a
15 lot of transparency.

16 Q. Right. Let me ask you about your -- turn
17 to your implementation of the comparable group and
18 let's talk about the data that you used to, primarily
19 I guess to develop what I thought was previously
20 referred to as Staff Exhibit 2, and I think now it
21 would be part of Staff Exhibit 3 but it's the staff
22 2010 SEET calculation where you list each of the SPDR
23 index members, you have figures for net income,
24 common equity at end of 2010 and common equity at the
25 end of 2009. Do you see that exhibit?

1 A. I do.

2 Q. And I'll refer to that as Staff Exhibit 2
3 here I guess. And that's where you developed the
4 10.19 average equity for the entire group, correct?

5 A. Correct.

6 Q. Okay. Now, where did data come from that
7 you used to pull into Exhibit 2?

8 A. Unfortunately, I took data from two
9 different sources. Value Line and Google Finance.

10 Q. Okay. And why did you do that?

11 A. I originally wanted to do it all on Value
12 Line so I could have one methodology and one place to
13 go to get all these numbers; they did not have common
14 equity numbers from last year.

15 When I pulled those in, I used Google
16 Finance, but I did not update all the previous
17 numbers from Value Line. I assumed they would all be
18 the same. They were not.

19 Q. Okay. First of all, are you saying that
20 for some of these companies the data comes from Value
21 Line and other companies the data was pulled from
22 Google Finance?

23 A. Correct.

24 Q. And is there an indication or can you
25 indicate which came from which source?

1 A. I believe the net income came from Google
2 Finance, and I can't remember on common equity where
3 I -- which one I pulled from, to be honest.

4 Q. Okay. But you --

5 A. The --

6 Q. I'm sorry, go ahead.

7 A. The '09 numbers would be from Google
8 Finance I would assume.

9 Q. And the '10 common equity numbers were
10 from Value Line?

11 A. They could be a mixture.

12 Q. Some of the companies --

13 A. Correct.

14 Q. -- for '10.

15 Okay. So in some cases the numerator
16 would be from Google and the denominator would be
17 from Value Line?

18 A. Could you repeat that?

19 Q. I'm sorry. In some -- tell me if this is
20 correct or not: In some cases, meaning for some of
21 these companies, the calculation for the numerator,
22 meaning the net income, would come from Google, and
23 the denominator or the common equity would come from
24 Value Line; is that correct?

25 A. That could have happened, yes.

1 Q. Okay. Now, what's your definition of
2 common equity that's used as your guide in pulling
3 data from those sources?

4 A. I would use total shareholder equity and
5 then minus out preferred equity.

6 Q. Okay. So it was your intention to
7 exclude preferred stock?

8 A. Correct.

9 Q. And what was your intention or your
10 design relative to the exclusion of special
11 accounting items, extraordinary accounting items, or
12 nonrecurring accounting items that produced earnings
13 in 2010?

14 A. The idea was to eliminate those. The two
15 package -- or, systems that I used handled those
16 differently, but the original intention was to
17 exclude those.

18 Q. Okay. Now, the way you've presented this
19 calculation on Exhibit 2 has the effect of basically
20 weighting the companies relative to their size in
21 coming up with the 10.19; is that accurate?

22 A. Yes.

23 Q. Is it reasonable to believe that the
24 larger capital firms in this group are a better match
25 to Columbus Southern Power's business and financial

1 risks?

2 A. No.

3 Q. Okay. I'd like to go through some
4 examples just to try to help us understand the data
5 you pulled and the numbers that are in Staff Exhibit
6 2 and I've got six examples that I would like to go
7 through here. If we could start with Southern
8 Company and I believe you already have this
9 information, correct?

10 And what I'd like to do, Mr. Buckley, is
11 just use excerpts from each company's 2010 Form 10-K,
12 okay, to go through these examples, and would you
13 agree that the Form 10-K is a good source for
14 financial results?

15 A. Yes.

16 Q. Do you have the Southern Company --

17 A. Yeah.

18 Q. -- report?

19 Now, for Southern Company for the net
20 income you have, this is 2.04 billion for the net
21 income? Am I adding enough zeros there? Let's just
22 talk about the numbers that are in here and I think
23 they're all expressed in millions so that's 2,040 for
24 the Southern Company on the net income. Do you see
25 that? And I'm referring to your exhibit first and

1 then we want to look at the 10-K second.

2 A. Okay.

3 MR. NOURSE: While Mr. Buckley's looking
4 I'll mark this first 10-K for Southern Company as AEP
5 Exhibit 5.

6 EXAMINER PARROT: So marked.

7 (EXHIBIT MARKED FOR IDENTIFICATION.)

8 A. Okay.

9 Q. Are you back to Staff Exhibit 2?

10 A. Yes.

11 Q. Is it accurate for Southern Company you
12 have a net income of 2,040?

13 A. Correct.

14 Q. Okay. And in the 10-K excerpt, if you
15 could turn your attention to page II-44, third page
16 in --

17 A. Yeah.

18 Q. -- Consolidated Statement of Income,
19 there's a consolidated net income number of 2,040.
20 Do you see that?

21 A. Yes, I do.

22 Q. And if you look at that on the next two
23 lines, does that suggest that the number excluding
24 preferred stock would be 1,975?

25 A. Yes.

1 Q. One thousand nine hundred seventy-five.

2 A. Yes.

3 Q. Now, if you could turn to the very last
4 page in the excerpt, this is marked page II-49,
5 Consolidated Statement Capitalization for 2009-2010.
6 Do you see that?

7 A. Yes.

8 Q. And in your Exhibit 2 you have a 2009
9 common equity number of 15,960.

10 A. Yes.

11 Q. And for 2010 in your exhibit it's 17,284,
12 correct?

13 A. Correct.

14 Q. Okay. Now, on this page in the 10-K
15 we've got total common stockholders equity of 14,878
16 for 2009, correct?

17 A. Correct.

18 Q. And to get to your 15,960 you'd look down
19 at the total stockholders equity, next-to-last line
20 in that column, 15,585, and then you'd add 375 to
21 that, I believe, to get 15,960, correct?

22 A. Correct.

23 Q. And if we refer back to page II-47, the
24 preferred stock there is 375 for both '9 and '10,
25 correct? At the bottom of the page.

1 A. Yes.

2 Q. Okay. So the number excluding preferred
3 stock for 2009 for Southern is 15,585, correct?

4 A. Correct.

5 Q. And the similar number for Southern in
6 2010 is 16,909?

7 A. Yes.

8 Q. Okay. Let's move to the Dominion 10-K
9 which I'll mark as AEP Ohio Exhibit 6.

10 (EXHIBIT MARKED FOR IDENTIFICATION.)

11 Q. While we're passing that out, in your
12 Exhibit 2 for Dominion you've got 2,963 for net
13 income?

14 A. Yes.

15 Q. And if we look on page marked page 55 of
16 the excerpt for Dominion's 10-K, third page in, it
17 has a net income of 2,808?

18 A. Yes.

19 Q. And the 2,963 number from Exhibit 2 is
20 actually two lines up from that and that's before
21 accounting for the loss of discontinued operations of
22 155, correct?

23 A. Correct.

24 Q. So the net income number there excluding
25 nonrecurring items should be 2,808, correct?

1 A. Yes.

2 Q. Okay. And then if you can turn back to
3 the last page of that excerpt, you'll see the total
4 common shareholders' equity for 2009 of 11,185,
5 correct? For 2009.

6 A. Yes.

7 Q. And if you, I'm sorry, if you add in or
8 consider the 257 a few lines above that, for
9 preferred stock, you conclude, would you not, that
10 the 2009 number excluding preferred stock would be
11 11,185?

12 A. Yes.

13 Q. And the same for 2010, the number
14 excluding preferred stock would be 11,997?

15 A. Yes.

16 Q. Okay. We can move to Edison next.

17 MR. NOURSE: Your Honor, I'd like to mark
18 this one as AEP Ohio Exhibit 7.

19 EXAMINER PARROT: So marked.

20 (EXHIBIT MARKED FOR IDENTIFICATION.)

21 Q. For net income for Edison International
22 you used 1,304, correct, in your exhibit?

23 A. Hang on a second.

24 Q. Sure.

25 A. Okay.

1 Q. You used 1,304 which is very similar I
2 think to the number right in the middle of the
3 page --

4 A. Yes.

5 Q. -- 1,303. And if you exclude the
6 preferred stock, you get 1,256 instead, correct?

7 A. Correct.

8 Q. Okay. And then if you look at the last
9 page of this excerpt, for Edison in 2009 you used
10 10,748 and for 2010 you used 11,490, correct?

11 A. Yes.

12 Q. And did those numbers reflect inclusion
13 of preferred stock, and if you exclude the preferred
14 stock, would you get 9,841 for 2009 and 10,583 for
15 2010?

16 A. Could you say that again, please?

17 Q. Yeah, if you look a few lines up from
18 there, before they add in the preferred stock to use
19 the number you used, there's total Edison's common
20 equity of 9,841 for 2009 and 10,583 for 2010. Do you
21 see that?

22 A. Yes.

23 Q. And so those are the numbers that exclude
24 preferred stock, correct?

25 A. Correct.

1 Q. Okay. And let's go to Entergy next,
2 there's only two more of these.

3 MR. NOURSE: Your Honor, I'd like to mark
4 this one as AEP Ohio Exhibit 8.

5 EXAMINER PARROT: So marked.

6 (EXHIBIT MARKED FOR IDENTIFICATION.)

7 Q. Mr. Buckley, for Entergy you used 1,270
8 for your net income. And if you look at page 2 of
9 that excerpt, you'll see the consolidated income
10 statements and under the 2010 header after taking out
11 preferred dividend requirements the net income is
12 1,250.

13 A. Yes.

14 Q. Okay. And let's look at the last --
15 next-to-last page in this excerpt, the Consolidated
16 Balance Sheet for '9 and '10. In Exhibit 2 you used
17 8,925 for 2009 and 8,807 for 2010, correct?

18 A. Yes.

19 Q. And this 10-K shows that the shareholder
20 equity excluding preferred is 8,613 for 2009,
21 correct?

22 While you're looking let me try to help
23 you follow the number here, Mr. Buckley. Under 2009
24 two-thirds of the way down there's preferred stock
25 without sinking fund, 217. Do you see that -- are we

1 looking on the same page?

2 A. Are you looking on page 48?

3 Q. 47, I'm sorry. I knew there was a
4 problem there. We were humming right along until
5 then. Page 48 -- I'm sorry, 47.

6 A. Okay.

7 Q. Are you there?

8 A. Yes.

9 Q. So if you take out the 217 of preferred
10 stock for 2009, you get the 8,613 for common equity.

11 A. Yes.

12 Q. And for 2010 the result is 8,496.

13 A. Correct.

14 MR. NOURSE: Okay. And the last one in
15 this series is Xcel, I guess we're up to No. 9, your
16 Honor.

17 EXAMINER PARROT: So marked.

18 (EXHIBIT MARKED FOR IDENTIFICATION.)

19 Q. In your Exhibit 2 you had 752 for net
20 income.

21 A. Yes.

22 Q. Which is accurate as reflected on page
23 marked 84, and I'd like to ask you about the last
24 page, the consolidated balance sheet, and you used
25 7,388 for 2009 common equity and 8,189 for 2010.

1 A. Correct.

2 Q. And if you look on the, for 2009 there's
3 an indication near the bottom of preferred equity
4 104, actually it's the same number for both years.

5 A. Yeah.

6 Q. And so the result without preferred is
7 7,283 for 2009, correct?

8 A. Yes.

9 Q. 8,083 for 2010.

10 A. Correct.

11 Q. Okay. Thank you.

12 Let me just cover one more area,
13 Mr. Buckley. Constellation exhibit, if I can find
14 it. Okay, are we up to No. 9?

15 MR. CONWAY: 10.

16 MR. NOURSE: 10, I'm sorry. AEP Ohio
17 Exhibit No. 10 --

18 EXAMINER PARROT: So marked.

19 (EXHIBIT MARKED FOR IDENTIFICATION.)

20 MR. NOURSE: -- is the Constellation
21 Energy, this is an earnings release from their
22 website.

23 Q. Do you have that one, Mr. Buckley?

24 A. I do.

25 Q. Okay. And I guess it's unmarked, but

1 it's about three pages in, there's in the middle of
2 the page it starts "Addendum, Amounts excluded to
3 arrive at --"

4 A. Yes.

5 Q. "-- adjusted EPS"?

6 MR. McNAMEE: Objection. On this one we
7 don't have a foundation I believe.

8 MR. NOURSE: Okay.

9 Q. Mr. Buckley, did you review this
10 information -- are you familiar with this information
11 regarding Constellation? And what I want to ask you
12 about in particular is the special item \$1.5 billion
13 for 2010. Have you heard about that or do you have
14 an understanding about that special item?

15 A. I don't know what that special item is.
16 I know what special items are.

17 Q. Right. Okay.

18 Mr. Buckley, do you think it's
19 appropriate for a comparable group to include the
20 utility itself that's in question?

21 A. I don't really have a strong opinion
22 either way.

23 Q. Okay. So it's okay to compare a utility
24 to itself? I mean, doesn't that affect the math that
25 comes out of the index?

1 A. It would have an effect, yes.

2 MR. NOURSE: One moment, your Honor, I
3 think we're almost done.

4 Thank you, your Honor, that's all the
5 questions I have.

6 EXAMINER PARROT: Mr. Kurtz?

7 MR. KURTZ: Thank you, your Honor.

8 - - -

9 CROSS-EXAMINATION

10 By Mr. Kurtz:

11 Q. Good afternoon, Mr. Buckley. All these
12 questions that Mr. Nourse was asking you about
13 preferred dividends with respect to some of your
14 comparable groups on AEP Exhibits 5 through 10, do I
15 take it that there was an error made in your
16 calculation?

17 A. I think when I went between the two
18 different programs, it caused -- it caused the groups
19 not to be exactly comparable. I guess that's a bad
20 word to use. The equity numbers aren't the same.
21 I'm not using apples and apples all the time. There
22 were some apples and oranges mixed in.

23 Q. Would the discrepancy be significant or
24 how would you describe the magnitude of the
25 discrepancy?

1 A. I didn't make that calculation. I note
2 preferred stock's not very common in the utility
3 industry anymore, it's probably more common in the
4 utility industry than other industries but it's not
5 predominant, it usually makes up a small percentage
6 of the capitalization.

7 Q. So would you characterize the
8 inconsistency as insignificant?

9 A. I wouldn't want to characterize it until
10 I saw the actual number. I would say it's definitely
11 less than 10 percent. I would imagine less than
12 5 percent.

13 MR. KURTZ: Your Honor, I would make a
14 request for a post-hearing data response if I could,
15 and the request would be that Staff Witness
16 Mr. Buckley update his comparable group number which
17 he identified as 15.29 percent to adjust for this
18 discrepancy so that the Commission would have an
19 accurate record of staff's position.

20 MR. McNAMEE: I would point out that data
21 requests don't go to the staff.

22 MR. NOURSE: And, your Honor, I think
23 this is clearly an attempt to friendly cross,
24 rehabilitative. I think the company's going to
25 request permission to do some rebuttal and we'll

1 include these calculations. It's not just the one
2 issue or the one discrepancy.

3 MR. KURTZ: Based on that representation
4 I'll withdraw the motion.

5 Q. (By Mr. Kurtz) Mr. Buckley, let me ask
6 you to turn to page 2 of your testimony. The
7 question beginning on line 14, "What is the Staff's
8 recommendation to the Commission in this proceeding?"

9 Your answer is "The Staff recommends that
10 the Commission find that CSP's earned 17.54 percent
11 ROE in 2010 and Staff's threshold ROE is 15.29
12 percent. This results in a refund of \$30,057,000.
13 See Staff Exhibit 1." Did I read that correctly?

14 A. Yes.

15 Q. On Staff Exhibit No. 1 you've calculated
16 the net income, the significantly excessive net
17 income in your opinion --

18 A. Correct.

19 Q. -- is that correct?

20 Now, for the utility to have
21 30.057 million in significantly excessive net income
22 it had to collect from ratepayers that amount plus
23 taxes; isn't that correct?

24 A. Yeah, I think to compute that amount you
25 would take 1 minus the tax rate.

1 Q. So to get the refund, the refund amount,
2 assuming the Commission were to accept your
3 recommendation, we would take the 30,057,000 and
4 multiply it by a tax gross-up factor?

5 MR. NOURSE: Your Honor, I object. This
6 is clearly friendly cross trying to get additional
7 information in the record that helps the --
8 Mr. Kurtz's client.

9 MR. KURTZ: I want to get an accurate
10 number for the record and it's not friendly cross
11 because staff has recommended a different refund than
12 we did. I just want to get the mechanics of how this
13 should work.

14 EXAMINER PARROT: I'll allow the
15 question.

16 Q. So we should gross up the net income for
17 income taxes?

18 A. Correct.

19 Q. Okay. And how did you say that should be
20 accomplished?

21 A. I would divide the 30 million,
22 approximately 30 million by 1 minus the tax rate.

23 Q. Let me ask you, on Mr. Kollen's Exhibit
24 2, page 1 of 1, he has a tax gross-up factor using a
25 35 percent federal income tax rate of 1.5385. So

1 another way to do it would to be multiply the
2 30 million by the 1.5385?

3 A. Yes.

4 Q. And if we did that math, we would get a
5 refund of approximately 46 million?

6 A. I don't have a calculator up here. I
7 assume that's correct.

8 Q. Let me ask you to turn to page 3 of your
9 testimony. The question in the middle of the page
10 you're asked "Has the Staff reviewed CSP's and OP's
11 2010 earnings calculation and concur with its
12 results?"

13 "Yes. The Staff has reviewed -- Staff
14 has reviewed CSP's and OP's calculations and
15 supporting information and finds them to be in
16 conformance with the SEET calculation methodology as
17 approved previously by the Commission and is an
18 accurate representation of its 2010 earnings."

19 Did I read that correctly?

20 A. Yes.

21 Q. So you are concurring with the
22 17.54 percent return on equity that Mr. Mitchell
23 calculated?

24 A. Yes.

25 Q. And that 17.54 percent return on equity

1 was after his exclusion of off-system sales margins,
2 correct?

3 A. I believe so, yes. I'd have to verify
4 that, but I believe that's correct.

5 Q. You were here for Mr. Mitchell's
6 cross-examination?

7 A. I was.

8 Q. Were you here when he testified that the
9 margins that he excluded from the numerator were
10 calculated by taking the sales price on off-system
11 sales minus the variable costs such as fuel, emission
12 allowances, and variable O&M expenses?

13 A. I can't verify that that's true because I
14 don't remember it in that detail. I'm sorry.

15 Q. Okay. Do you agree that in order to make
16 a power sale you need a power plant?

17 A. I assume you could never take -- or, you
18 could take ownership to power if you trade power, but
19 to make a physical sale, you have to have something
20 to generate some power, correct.

21 Q. And that's what we're talking about here,
22 the physical off-system sales margins, not any type
23 of trading profit?

24 A. Correct.

25 Q. Okay. Would you agree that to make a

1 physical off-system sale you need transmission to
2 move the power from the point of generation to the
3 point of purchase?

4 A. Yes.

5 Q. And when I say "fixed costs" with respect
6 to power plants and transmission, I mean the interest
7 on the debt that pays for the plants, depreciation,
8 and fixed O&M, like employees.

9 With that characterization of fixed costs
10 do you think it's fair that -- let me back up.

11 One last point. On Mr. Mitchell's
12 Exhibit 5, do you -- Exhibit 1, page 5 of 5, he
13 calculates that 15.28 percent of the total generation
14 was sold off-system. Do you have that?

15 A. I probably do but I don't -- it might
16 take me a while to get it.

17 Could you repeat the --

18 Q. Mitchell Exhibit 1, page 5 of 5 for
19 Columbus & Southern, in the far right-hand corner he
20 calculates the percentage of off-system sales to
21 total generation was 15.28 percent; is that correct?

22 A. Yes.

23 Q. Okay. And do you think it's reasonable
24 that the off-system sales, which comprise 15 percent
25 of total generation, when calculating the marginal

1 profit from those off-system sales that Mr. Mitchell
2 allocated none of the fixed costs of the power plants
3 or none of the fixed costs of transmission to those
4 sales?

5 Let me state it a different way: Do you
6 think it's fair to allocate all the fixed costs of
7 generation and transmission to total generation and
8 not off-system sales?

9 MR. NOURSE: I just object to that
10 question for relevance. It's not what Mr. Mitchell
11 did.

12 MR. KURTZ: Well, that's exactly what he
13 did and he testified he did it although he said it
14 wasn't correct.

15 MR. NOURSE: He said on multiple
16 occasions that he didn't allocate the cost to
17 retail -- Ohio retail customers.

18 MR. KURTZ: The record will reflect that
19 that -- may I respond, your Honor? The record will
20 reflect that in the calculation of margins from
21 off-system sales none of the fixed costs of the power
22 plants, none of the fixed costs of the transmission
23 was allocated to those sales, therefore, they were
24 all retained in the Ohio retail jurisdictional
25 calculation.

1 That is what Mr. Kollen testified to,
2 Mr. Mitchell essentially agreed with it although he
3 said that was appropriate because the fixed costs are
4 fixed and he wanted to calculate the margin just on
5 variable costs.

6 MR. NOURSE: Your Honor, I think
7 Mr. Mitchell was clear. He did allocate the fixed
8 costs to the off-system sales but that's entirely
9 different from sales. All the fixed costs were
10 allocated to the Ohio retail customers. If he wants
11 to rephrase it and ask the former, then that would be
12 consistent and relevant to what Mr. Mitchell
13 testified.

14 MR. KURTZ: Well, I'll withdraw the
15 Mr. Mitchell testimony because there's only two
16 places for those fixed costs to go, Ohio retail
17 customers or off-system sales or a mix of both, but
18 they all went to Ohio retail. That's what the record
19 reflects. And the Commission will decide whether
20 that's appropriate. I want to know from the staff
21 whether they agree.

22 MR. NOURSE: Your Honor, this is not a
23 rate case. We're not establishing rates in this
24 case. So that's incorrect.

25 EXAMINER PARROT: Mr. Buckley, you may

1 answer the question.

2 A. When I spoke with AEP about their
3 calculations, I'm trying to reread my notes, I
4 believed, when I went through the calculation I
5 believed that their calculation was correct and I was
6 comfortable with the methodology that they used. I
7 don't know if I remember it currently in that detail,
8 but at the time I was comfortable with how they made
9 that calculation.

10 Q. Let me ask you now today, knowing that
11 15 percent of the power generated was sold off
12 system, do you think it was appropriate to allocate
13 zero percent of the fixed costs of production and
14 transmission to those off-system sales?

15 A. As I've said before, I have never really
16 dealt a whole lot with off-system sales. My
17 knowledge of off-system sales is not great. When I
18 spoke to AEP about their calculation, it was -- I was
19 comfortable at the time, I had to have multiple
20 documents in front of me to try to understand that.

21 I would not want to testify now about
22 that, I'm just not comfortable talking about
23 off-system sales.

24 MR. KURTZ: Thank you, your Honor. No
25 more questions.

1 EXAMINER PARROT: OCC?

2 MS. KERN: No questions, your Honor.

3 EXAMINER PARROT: Any redirect?

4 MR. McNAMEE: Perhaps, your Honor, might
5 we take a break so I can discuss?

6 EXAMINER PARROT: Yes. Take a
7 five-minute break.

8 MR. McNAMEE: Thank you.

9 EXAMINER PARROT: Off the record.

10 (Recess taken.)

11 EXAMINER PARROT: Let's go back on the
12 record.

13 Redirect, Mr. McNamee?

14 MR. McNAMEE: Your Honors, in discussing
15 the possibility of redirect it became clear to me
16 that the best form I think that redirect could take
17 in this case or in this situation would perhaps be if
18 Mr. Buckley were permitted to produce a new
19 calculation of his -- a new version of his
20 calculation with an adjustment for removing the
21 preferred stock values, and the staff would be in a
22 position to present that in written form by the close
23 of business on Thursday, I am told, and we would
24 suggest that that be submitted as our redirect
25 examination in this case.

1 It should not delay the proceeding in
2 that my understanding is Ohio Power wanted to provide
3 rebuttal testimony in any event.

4 MR. NOURSE: Your Honor -- did you want
5 to say something?

6 MS. YOST: Yeah. Your Honor, under these
7 circumstances OCC would support the staff filing I
8 think by close of business tomorrow, again, what
9 would be written redirect so that it could be
10 corrected to the extent that Mr. Buckley did testify
11 that that was his understanding, that the preferred
12 stock was removed from the sources he removed, and
13 under the cross-examination by Mr. Nourse it's
14 apparent that, at least some of the companies, that
15 preferred stock was not removed.

16 So we would support the staff filing
17 their redirect by the close of business tomorrow and
18 there would be an opportunity, as Mr. McNamee said,
19 AEP's indicated that they would like to file
20 rebuttal, so to the extent there was any questions,
21 that could be followed up at that time. Thank you.

22 EXAMINER PARROT: Just for clarification,
23 you said end of business on Thursday, though.

24 MR. McNAMEE: Thursday.

25 EXAMINER PARROT: Rather than tomorrow.

1 MS. YOST: Oh, was it Thursday?

2 EXAMINER PARROT: Okay.

3 MR. NOURSE: Can I inquire whether the
4 revised exhibit would also reflect exclusion of
5 nonrecurring extraordinary and special items since I
6 believe Mr. Buckley stated his intention was to
7 capture that, that was his intention to --

8 MR. McNAMEE: I believe he did state that
9 was his intention. I don't know that there are any
10 to be removed.

11 MR. NOURSE: Well, the one Constellation
12 exhibit was a big one I was going to try to discuss
13 but he didn't have familiarity with it.

14 MR. McNAMEE: Go off the record for a
15 second?

16 EXAMINER PARROT: Yes. Let's go off the
17 record.

18 (Discussion off the record.)

19 EXAMINER PARROT: Let's go back on the
20 record.

21 Mr. McNamee, I think you were midstream
22 when we went off. Do you want to summarize --

23 MR. McNAMEE: I have -- I've forgotten
24 what stream I was in the middle of, unfortunately,
25 when we went off. What I would suggest, your Honors,

1 is in lieu of doing redirect examination now that the
2 staff be permitted to file basically a new analysis
3 which adjusts the calculation for the removal of
4 preferred stock values and at least one extraordinary
5 item, apparently. We would ask that Mr. Buckley be
6 permitted to file that December 20th.

7 We've had some other discussions while we
8 were off the record and it was suggested that perhaps
9 the company's rebuttal could be filed
10 January 3rd with a hearing on January 10th, and
11 that would take care of our business here.

12 EXAMINER PARROT: Do any of the other
13 parties have any objections to the proposal as
14 outlined by the staff?

15 MR. NOURSE: No. We agree. Companies
16 agree.

17 MS. YOST: One clarification in terms of
18 rebuttal. It was specific that the company's
19 rebuttal, but any rebuttal I think is fair to say
20 that would be the deadline, if there's rebuttal to be
21 filed by other parties.

22 MR. NOURSE: I don't think we talked
23 about that.

24 MS. YOST: That's what I talked about.

25 MR. NOURSE: That's when I said I

1 couldn't hear you and asked you to repeat it, but I
2 didn't hear that.

3 MS. YOST: For the record --

4 MR. NOURSE: Your Honor, I mean, the
5 companies have the burden of proof and would be the
6 party that typically would be granted the opportunity
7 for rebuttal. OCC didn't file direct testimony; I'm
8 not sure how they would being permitted to file
9 rebuttal in this case.

10 MS. YOST: My statements earlier were to
11 the extent that Mr. Buckley's exhibit and testimony
12 is updated to show the appropriate amounts that
13 reflect removal of preferred stock, as we indicated,
14 OCC wouldn't have an issue. That's the only rebuttal
15 that would be in regards to the numbers not being
16 updated in accordance with what OCC believes to be
17 correct. I do not anticipate an issue, but --

18 MR. NOURSE: Well, again, your Honor,
19 even if the staff included this revised exhibit in
20 its testimony, OCC would not have an opportunity to
21 rebut that. So I don't see why that would change at
22 this phase since we're just doing a second revision
23 after the hearing.

24 I guess what I would suggest on that is
25 that we -- if the OCC intends or wants to file

1 rebuttal, they would request permission and we could
2 respond at that time.

3 MS. YOST: Or we can just file it and if
4 they want to try to move to strike it, then they
5 could move to strike it.

6 MR. NOURSE: Your Honor -- okay.

7 MS. YOST: It's not anticipated so it is
8 a lot of argument that is premature.

9 EXAMINER PARROT: I think it's my
10 understanding that staff is filing this exhibit as
11 its redirect so the parties will still have the
12 opportunity on January 10th to have recross on that
13 exhibit at that point.

14 MR. McNAMEE: That is my intent, your
15 Honor, yes.

16 EXAMINER PARROT: Okay. So I think that
17 takes care of that issue, then.

18 MR. NOURSE: Thank you.

19 Your Honor, could I note for the record
20 that I did hand out, just to make sure everyone had
21 it, the original JH-1 exhibit that goes with
22 Mr. Hamrock's direct testimony which was AEP Ohio
23 Exhibit 1, and I earlier handed out the revised
24 composite exhibit and neglected to include this last
25 page. So I did give it to the reporter and everyone

1 to make sure they have the right exhibit.

2 EXAMINER PARROT: Thank you, Mr. Nourse.

3 MR. NOURSE: Thank you.

4 EXAMINER PARROT: Anything else to come
5 before us today?

6 (No response.)

7 EXAMINER PARROT: All right. Seeing
8 nothing, we are adjourned until January 10th at
9 10:00 a.m.

10 (Hearing adjourned at 2:51 p.m.)

11 - - -

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 CERTIFICATE

2 I do hereby certify that the foregoing is a
3 true and correct transcript of the proceedings taken
4 by me in this matter on Tuesday, December 6, 2011,
5 and carefully compared with my original stenographic
6 notes.

7
8 Maria DiPaolo Jones, Registered
9 Diplomat Reporter and CRR and
Notary Public in and for the
State of Ohio.

10 (MDJ-3937)

11 - - -
12
13
14
15
16
17
18
19
20
21
22
23
24
25

This foregoing document was electronically filed with the Public Utilities

Commission of Ohio Docketing Information System on

12/20/2011 2:09:39 PM

in

Case No(s). 11-4571-EL-UNC, 11-4572-EL-UNC

Summary: Transcript Transcript of Columbus Southern Power Company and Ohio Power Company hearing held on 12/06/11 electronically filed by Mrs. Jennifer Duffer on behalf of Armstrong & Okey, Inc. and Jones, Maria DiPaolo Mrs.