

BEFORE THE PUBLIC UTILITIES COMMISSION OF OHIO

In the Matter of the :

Commission Investigation :

Case No. 83-464-TP-COI

Relative to Establishment :

of Intrastate Access Charges:

RECEIVED

AUG 18 1983

8/18/83

CONFERENCE

DOCKETING DIVISION
PUBLIC UTILITIES COMMISSION OF OHIO

Before Commissioner Alan Schriber and Thomas Taylor,
Attorney Examiner, held in Hearing Room 2, Ohio
Departments Building, 65 South Front Street,
Columbus, Ohio, on Thursday, August 11, 1983.

VOLUME II

Thursday Morning Session

August 11, 1983, 10:00 A.M.

- - -

EXAMINER TAYLOR: Let's begin here. The overhead projector was taken back upstairs and we are trying to get it back down here as soon as we can. If you want to go ahead and start and see if anyone has any questions of Mr. Adkisson that he can answer without reference to the overhead projector.

Does anyone have anything they would like to ask the representative from Centel? The Staff?

- - -

EXAMINATION OF MR. ADKISSON

By Mr. Yutkin:

Q Does your company give any consideration to whether or not an intrastate surcharge should be charged to AT&T for a superior connection?

A Intrastate?

Q Surcharge.

A Surcharge to AT&T? Not at this point.

Our proposal is directed towards --

Q : I am sorry. I can't hear you.

A In response to your question, no, we have not. Our proposal is basically directed towards the mirror image application of traffic-sensitive

1 components.

2 Q I am sorry. You faded out on me at the end.

3 A No, we have not.

4 MR. YUTKIN: Thank you.

5 COMMISSIONER SCHRIBER: Mr. Adkisson, on
6 your color chart, it is just somewhat of a small
7 source of confusion, maybe large source of confusion.
8 You describe a single LATA and then two carriers, A
9 and B, within that LATA.

10 Would this be, for example, a LATA of BOC's
11 and then it would sort of be an island within that
12 LATA that are occupied by carriers? I am not sure
13 how this comes out.

14 MR. ADKISSON: It's unfortunate the over-
15 head isn't here right now. I do go into some
16 examples of this and describe what we are representing
17 with it.

18 Two points that my remarks were directed at
19 yesterday. One principally, as it stands today, only
20 the LATA's are defined within the State of Ohio,
21 yet there are some geographical areas within the state
22 where a LATA has no meaning. And the basis for
23 fundamentally what I am suggesting here was that
24 perhaps the Commission would give consideration to
25 evaluating the state as a whole and segregating it

1 into individually-oriented market areas, which would
2 include the LATA's.

3 Then the concept is fundamentally that the
4 access charge would be more equitably applicable to
5 all companies concerned. What the chart is
6 depicting is --

7 EXAMINER TAYLOR: We now have the overhead.
8 Would you want to set that up perhaps so you can
9 explain from the chart itself?

10 MR. ADKISSON: All right. As I was stating,
11 one of the inferred suggestions of yesterday was that
12 the Commission give consideration towards establishing
13 market areas throughout the State of Ohio, and that
14 those incorporate the LATA's as well.

15 In so doing then what we are depicting here,
16 the confines of the square represent a simplified
17 market area or LATA, whichever one you relate to.
18 In this simplified market area as a further example,
19 maybe two local exchange companies, or as we have
20 shown on the chart here, exchange carrier A and
21 exchange carrier B.

22 The yellow portion of it depicts the poten-
23 tial interconnect of an interexchange carrier which
24 would be involved in either interstate intraLATA
25 business or intrastate interLATA business, or inter-
market service area by substitution. What we were

1 depicting here basically is that these carriers have
2 the option to establish a point of presence anywhere
3 within this market area.

4 They may elect to establish a point of
5 presence with exchange carrier B or they may elect
6 to establish a point of presence with exchange carrier
7 A. If the market area was of sufficient size and
8 offered sufficient economic incentive then obviously
9 with this option the carriers could establish a point
10 of presence in both cases.

11 MCI, as an example, and I am not particularly
12 picking on MCI, but any particular market area they
13 could establish a point of presence in both cases.

14 Or another example, MCI might establish
15 a point of presence with exchange carrier A and
16 Southern Pacific establish a point of presence with
17 exchange carrier B, and the traffic that they carry
18 in that latter example would be inbound and outbound
19 traffic for that entire market area.

20 Let's draw some example here of how this
21 thing would work again in a simplified manner.

22 EXAMINER TAYLOR: I wonder if you would draw
23 an example perhaps relating it to your Ohio operations?
24 In other words, can you use specific offices you
25 have in Ohio to track this call through?

1 MR. ADKISSON: As far as the interLATA or
2 intermarket area, if I can use market area in place
3 of LATA, I think that is how my mind works, anyway.
4 I can with the exception, and for purposes of this
5 discussion, make the assumption that there is EAS
6 between ourselves and Ohio Bell in the Cleveland area,
7 which there is not today, but make that assumption
8 and I can use this example throughout our entire
9 arrangement.

10 All right. The square then would represent
11 the market area which would include Centel of Ohio
12 operation in Lorain, and for the purposes of discus-
13 sion let's say that exchange carrier A is Centel of
14 Ohio. Accordingly we would assume that exchange
15 carrier B in this example would be Ohio Bell in
16 Cleveland since Lorain is contiguous to Cleveland,
17 just west along the southern shore of Lake Erie.
18 And in truth Lorain is included within the Ohio Bell
19 LATA of Cleveland, for clarification.

20 Let's assume that the interexchange carrier
21 has established a point of presence in Ohio Bell's
22 Cleveland offices, and in fact both MCI and Southern
23 Pacific have also established line side connections
24 with Centel of Ohio in Lorain.

25 Assuming for a moment that I in my office

1 located in Des Plaines, Illinois would like to call
2 our offices in Lorain. Currently that call is
3 switched over the public network and handled by AT&T,
4 goes from the Chicago major toll center into the
5 Cleveland toll center. From there it is completed
6 via toll completing network into Lorain.

7 Effective January 1, 1984 that call would
8 come in via the interexchange carrier, in this case
9 AT&TIX into the Cleveland access tandem. At this
10 point it would be switched via the intraLATA route
11 into the Class 4 office located in Lorain.

12 It would be further switched to the Lorain
13 main end office and on into the termination within
14 our offices in Lorain.

15 In this particular situation of compensation
16 then that call coming in and terminating on the
17 access tandem routing over the intraLATA carrier
18 facility and on in -- I can best depict this by going
19 backwards since basically that is how the access
20 charge scenario will work. If that is a 10-minute
21 call then Central Telephone Company of Ohio would
22 charge the intraLATA carrier 3 cents per minute for
23 the traffic-sensitive and 1 cent per minute for the
24 non-traffic-sensitive.

25 So in summation there is 4 cents per minute,

1 and for the 10-minute call then we would bill the
2 intraLATA carrier 40 cents.

3 Accordingly, Ohio Bell on this side would
4 merely pass that 40 cent charge on to the interstate
5 carrier and include any administrative costs for
6 handling that call through their tandem switch.

7 MS. JONES: My name is Karen Jones, Network
8 Planning, Ohio Bell. I doubt that the traffic would
9 terminate in this scheme that you have described.
10 First of all, to my knowledge there are direct high
11 usage toll trunks which exist today from Chicago
12 main to the Lorain district. The first route for
13 that traffic on a call would be direct from Chicago
14 to Lorain and there is no desire to disconnect those
15 kind of trunking arrangements.

16 Secondly, 4 ESS toll switch, if there is
17 not a high-usage route into Lorain or via final path,
18 if you will, in Cleveland, it would not go from the
19 Cleveland 4 ESS which is not access tandem direct
20 to the Lorain, so it would be the existing trunking
21 configuration as is in the network today. I do not
22 envision at this stage any double switching, if
23 you will, of today's traffic pattern.

24 MR. ADKISSON: Let me say that on the first
25 traffic that is coming from Chicago directly to Lorain,

1 in that case obviously that call would be charged to
2 the interexchange carrier. In that case the 40 cents
3 would be charged directly to the interexchange carrier.

4 MS. JONES: I cannot answer how the charges
5 would go. All I can say is how it would route in the
6 network.

7 MR. ADKISSON: That is what I'm addressing.

8 MS. JONES: It would route in the network
9 directly from say 4 ESS, Chicago 6 and Chicago 8 to
10 the Lorain Class 4. From my perspective I am a
11 network planner and not a rates and tariffs person.
12 The arrangement could be direct between that inter-
13 exchange carrier and the Lorain company.

14 MR. ADKISSON: That is what I said. In that
15 case the first route from Chicago ATTIX switch directly
16 to Lorain Class 4, then the 40 cent charge for that
17 example call would be charged to ATTIX directly.

18 MS. JONES: If it did not go on the first
19 route --

20 MR. ADKISSON: Alternated to ATTIX switch
21 in Cleveland and come into Lorain toll center, still
22 is an ATTIX carrier call and 40 cent charge would
23 apply.

24 MS. JONES: No Ohio Bell involvement what-
25 soever.

1 MR. ADKISSON: Only if Ohio Bell were in
2 fact handling the final route traffic on an intraLATA
3 junction, only if they did.

4 MS. JONES: But we would more than likely
5 split that trunk, as time goes forward we will have
6 to apportion that trunk group.

7 MR. ADKISSON: It's my understanding that
8 in the long run there will be a separation of traffic
9 between the BOC's and AT&TIX.

10 MS. JONES: Required to do that by the law.

11 MR. ADKISSON: Initially that separation
12 will come about --

13 MS. JONES: We would not envision splitting
14 the trunking and go down, that is correct, but we
15 will have to apportion it as we do many other cases.

16 MR. ADKISSON: There is an administrative
17 burden involved in the interim and, as I stated
18 earlier, in this highly simplified example, then it
19 would have to be further refined for the kind of
20 detailed network contingencies that you are addressing.

21 Another example would be if a customer
22 located within Ohio Bell's serving area wished to call
23 another customer within the Lorain serving area, and
24 not being familiar with some of the Cleveland end
25 offices I couldn't put a handle on this until somebody

1 gave me a name. Is there a Cleveland end office that
2 would -- I can use here as --

3 MS. JONES: Michigan to Avon Lake.

4 MR. ADKISSON: Michigan exchange to the
5 Avon Lake exchange? Are these near contiguous
6 offices?

7 MS. JONES: Michigan I believe is in the
8 Cleveland exchange itself.

9 MR. ADKISSON: Downtown?

10 MS. JONES: Southeast.

11 MR. ADKISSON: Okay. So I could use an
12 example that in placing this call then the Michigan
13 customer would go through that Michigan end office,
14 switch up to a Class 4 office through an intraLATA
15 facility to the Lorain Class 4 and then down into
16 the Avon Lake end office to that customer.

17 Okay. In that example then we would assume
18 that Ohio Bell would be the intraLATA carrier. In
19 this case then assuming 10-minute call, then Centel
20 of Ohio would charge that intraLATA carrier the 40
21 cents, the same 40 cents since we are proposing
22 mirror image to that intraLATA carrier. Ohio Bell
23 would input similar charges on it for its portion
24 over here at 5 and 2 or 7 cents per minute times the
25 10 minutes. That 70 cents plus the 40 cents plus the

1 cost of the intraLATA facilities would be then
2 summarized to develop end user toll tariffs.

3 The next example is one which we would have
4 to make a general assumption and that is that there
5 were some form of EAS between say the Avon Lake office
6 of Centel of Ohio, which is over here, and perhaps
7 the Westlake office of Ohio Bell since they are
8 relatively near communities. In that case this EAS
9 would be established across here probably on an
10 end office to end office basis, but not necessarily
11 so. And as such then an agreement would be reached
12 between the two companies for this EAS service on
13 what we call an originating responsibility plan.

14 The traffic originated in Avon Lake and
15 terminated upon Westlake, then Centel of Ohio as
16 the originating company would pay Ohio Bell as
17 the terminating company traffic-sensitive costs for
18 the termination of that traffic.

19 Here again we propose that be mirror image
20 so be the 5 cents plus the 2 cents. Accordingly,
21 for that traffic originated in Westlake and terminated
22 on Avon Lake on the originating responsibility plan
23 Centel of Ohio would bill Ohio Bell 3 plus 1, 3 plus
24 1 or 4 cents per minute for every EAS minute of use
25 that Centel of Ohio terminated.

1 Now, how this would work in the --

2 EXAMINER TAYLOR: Go ahead.

3 MR. ADKISSON: Now, let's establish another
4 assumption that the interexchange carrier has
5 established only one point of presence and that is
6 in Cleveland. And they have the means of getting
7 to Centel of Ohio over here through the EAS network.

8 I think some of you may recognize that what
9 I am addressing here is the northwestern scheme,
10 and one thing that many of us fear. Obviously in
11 this arrangement then the interexchange carrier has
12 to notify Ohio Bell that they will be offering
13 traffic to Ohio Bell, which is intended to terminate
14 on Centel of Ohio. And Ohio Bell would then make the
15 necessary arrangements in their corresponding Class 5
16 offices for that traffic to move over the EAS.

17 Under the plan that we are proposing then
18 again with the originating responsibility Centel of
19 Ohio would charge Ohio Bell 4 cents for all EAS
20 minutes terminated irrespective of the origination
21 of those calls. Ohio Bell in turn for that EAS
22 traffic which originated from the IX carrier would
23 charge the sum of 4 cents from Centel of Ohio plus
24 their 7 cents for total of 11 cents per minute back
25 to that interexchange carrier.

1 The significance of this then is that the
2 exchange carriers become passive as far as point of
3 presence in any market area where there is EAS. Under
4 the originating responsibility plan concept the
5 traffic-sensitive and inputted for mirror image non-
6 traffic-sensitive costs throughout that EAS network,
7 whether it be a multiple exchange company network or
8 just two companies interfacing with one another, those
9 costs would be additive for that traffic and charged
10 to the IX carrier.

11 Accordingly then that IX carrier could
12 establish a point of presence either in Cleveland or
13 in Lorain and still face exactly the same charges,
14 11 cents per minute of all traffic carried via that
15 EAS network.

16 The fundamental reason for this proposal
17 should be obvious. If the minutes of use charges are
18 not summed across this EAS network and through tariff
19 charged to the IX carrier, then in this example these
20 two exchange carriers can find themselves being
21 whipsawed by an IX carrier. And when I say whipsawed,
22 I mean they will come in and say we will terminate
23 on you if you will reduce your prices to what the
24 carrier next door to you is charging.

25 EXAMINER TAYLOR: In your hypothetical if we

1 assume that the right side is Avon Lake, and we
2 assume that the left side is Westlake, and there is
3 an existing EAS path between those two points, that
4 is the assumption, and a call originates from the
5 subscriber who resides in the Avon exchange over that
6 EAS facility to a subscriber that resides in the
7 Westlake exchange, how is that customer billed?
8 What is the impact on the customer for that call?

9 MR. ADKISSON: There is no impact on the
10 customer. He is paying the existing rate.

11 EXAMINER TAYLOR: He pays only whatever
12 rate the extended area service was established at?

13 MR. ADKISSON: That's correct. That is all
14 he ever paid. What the proposal here does is replace
15 the type of compensation that currently exists between
16 the companies for this EAS network assuming that
17 there is such a compensation plan at work. If
18 there is no compensation plan then obviously somebody
19 has problems.

20 MR. YUTKIN: Is this just being used as an
21 example or is your company actually proposing market
22 service areas be created in the State of Ohio?

23 MR. ADKISSON: I think that is how I
24 started my opening remarks, but may consider
25 establishing market areas throughout the state.

1 MR. YUTKIN: What advantage would a market
2 area have to the telephone companies in the State of
3 Ohio and what effect would it have on the customers?

4 MR. ADKISSON: Those areas of the state
5 not currently incorporated into a Bell LATA or
6 inputted because of the constraints placed upon
7 General Telephone, then there will be some doubt as to
8 how this whole scheme of access charging intra or
9 inter will apply. I can't right off the top of my
10 head think of an area in the state where this would
11 apply, but I am sure there are some where if there
12 is not a defined market service area then how are
13 they going to interrelate with those various carriers
14 that terminate, whether it be Ohio Bell or General
15 Telephone or MCI or Southern Pacific? And how do
16 you relate to them an intraLATA tariff? The LATA
17 has no meaning.

18 MR. YUTKIN: Thank you.

19 EXAMINER TAYLOR: Would you go through
20 my hypothetical question or your hypothetical one more
21 time, Westlake to Avon Lake, explain to me your
22 proposal on billing for that call?

23 MR. ADKISSON: All right.

24 EXAMINER TAYLOR: Call that originates at
25 Avon Lake and terminates at Westlake.

1 MR. ADKISSON: All right. The call
2 originates by customer in Avon Lake, goes to this
3 hypothetical EAS network and is terminated on the
4 customer in Westlake. Since the call originated
5 with Centel of Ohio and under the originating
6 responsibility plan then they would be responsible
7 for paying Centel or Ohio Bell the mirror image
8 traffic-sensitive and non-traffic-sensitive costs
9 for terminating that call.

10 If it's a ten-minute call then in this case
11 Ohio Bell would bill Centel of Ohio 70 cents for that
12 call. If the inverse applies, and Centel of Ohio was
13 terminating that call, then Centel of Ohio would bill
14 Ohio Bell 40 cents for handling the call. In either
15 case the end user up here (indicating) is already
16 paying us part of their monthly recurring charges for
17 that EAS service and all this is now as a means
18 whereby the two companies involved in this network
19 will be compensated for handling that traffic and the
20 end user would not be affected initially, and not
21 to say at some future point the cost may justify a
22 further consideration of rate change. So I think that
23 should be established on an individual cost basis and
24 justified originally.

25 EXAMINER TAYLOR: Anyone have any other

1 questions?

2 (No response.)

3 EXAMINER TAYLOR: I have a couple.

4 - - -

5 EXAMINATION OF MR. ADKISSON

6 By Examiner Taylor:

7 Q Mr. Adkisson, I believe yesterday you
8 indicated in your remarks that some recognition may
9 be appropriate as to high cost companies or universal
10 service fund concept on intrastate basis, is that
11 correct?

12 A. Yes.

13 Q How would you propose such a fund or recogni-
14 tion come about?

15 A. There are a number of alternatives which
16 could be considered under this proposal, one of which
17 would be a premium access charge to Ohio Bell.
18 Another alternative would be a modified pooling
19 on the non-traffic-sensitive revenues.

20 A third one, and the one which Centel of
21 Ohio is promoting or proposing, and that is through
22 the residual treatment; that if there is an excess
23 of revenues after accounting for the intrastate
24 revenue requirement and the revenue string, then that
25 excess revenue will benefit the ratepayers of that

1 particular company. If there is a shortfall then
2 that shortfall would be made up in the form of a
3 fixed monthly charge.

4 Q Charge to what?

5 A To the end user.

6 Q Do any of your proposals require creating
7 some type of an entity to oversee that type of a
8 fund?

9 A I think that was inferred in my statements
10 of yesterday where even though Centel of Ohio is a
11 strong proponent of the companies filing individual
12 tariffs, we also recognize that there are some
13 companies which do not have the resources to accomplish
14 that task, and as a consequence they would generally
15 file with the Commission of Ohio mirror image ECA
16 tariffs. As such then it tends to input that a
17 similar association be formed within the State of Ohio
18 for the distribution and accounting of those revenues.

19 Q Do you have a proposal for the makeup of
20 such an association in Ohio.

21 A I have alternatives. One alternative, of
22 course, would be Ohio Bell to perform this function
23 much in the same way as they are administrators of
24 the separations pool as it exists today.

25 Another alternative would be an outside

1 agency established perhaps under the guidance of
2 the Ohio Telephone Association, it would be a
3 completely separate arm of the association and would
4 be independent in its functions of the participating
5 companies. Obviously the costs of this administra-
6 tive function would be the burden of those
7 participating companies.

8 Q Would you propose mandatory participation
9 in this association?

10 A No, I would not.

11 Q Mr. Adkisson, is it conceivable, is it
12 technologically possible that your company could pro-
13 vide a toll restricted service in your service
14 territory whereby your subscribers could elect to
15 place no calls over the toll network interstate or
16 intrastate?

17 A In my remarks yesterday I stated, yes,
18 that such restriction technically is feasible.
19 Whether it is economically feasible has yet to be
20 determined. It does not, however, address the issue
21 of terminating toll traffic.

22 The access charge scheme as proposed under
23 78-72 and its mirror image, as many of the companies in
24 these proceedings are proposing, is based on the
25 premise of two-way traffic, that is both originating

1 and terminating, toll traffic. Restrictions can
2 only apply to originating traffic. It cannot be
3 applied to terminating because an exchange carrier
4 has no way of differentiating local or toll traffic
5 that it is carrying.

6 As a consequence then even though a customer
7 may volunteer for restricted toll access it is a
8 one-way restriction and they are not prohibited
9 from terminating toll traffic. As a consequence,
10 they are still participating in this whole scenario.

11 Q Are you saying it's not technologically
12 possible to assign a block of numbers and program
13 these numbers so they cannot either originate or
14 terminate long-distance calls to that particular block
15 of numbers?

16 A That's correct, because we cannot differen-
17 tiate between a local terminating call or a local
18 call. That determination can only be done at the
19 originating end.

20 Q And what is the position of your company
21 as to other telephone companies concurring in a pro-
22 posed tariff?

23 A Centel of Ohio has reviewed a few of the
24 proposals as offered here. Obviously there are some
25 similarities and obviously there are some dissimilarities.

1 Those where the various companies are proposing
2 freedom of choice between filing separate tariffs
3 or joining in an ECA tariff, we concur, and we whole-
4 heartedly support such a proposal.

5 We also strongly urge the Commission's
6 consideration of mirror image structure in rate
7 application for intrastate access charges. We do have,
8 however, grave concern for the proposals of Ohio Bell.

9 Q Specifically could you tell us where your
10 proposals differ from those of Ohio Bell?

11 A Primarily our proposals include the
12 continuance of the existing toll rate structures and
13 that any changes to those toll rate structures be
14 accomplished in time and based on cost. We have grave
15 concerns about the somewhat arbitrary approach of
16 assuming a \$4 CALC and backing into its effect on
17 intrastate toll, particularly when you marry that with
18 the proposal of Ohio Bell to continue the separations
19 process on intraLATA traffic beyond January 1, 1984.

20 At this point Centel of Ohio has not seen
21 any cost data which substantiates the \$4 charge, and
22 as a consequence we have not been in a position to
23 quantify the impact that that would have on Centel of
24 Ohio and on Centel of Ohio ratepayers. The basis of
25 our concern in this proposal is that it could very well

1 cause the flat CALC for a number of companies to
2 increase substantially above cost-based prices.

3 We are also concerned that it has the poten-
4 tial of providing a form of economic protection to
5 Ohio Bell from competition at a cost to other rate-
6 payers throughout the state and those served by Ohio
7 Bell.

8 Q Mr. Adkisson, what numbers did you use in
9 arriving at your preliminary projection as to the
10 potential for a negative customer access charge?

11 A The numbers that we used were those which
12 were spilling out of our preliminary run on the
13 interstate access charge elements, and assuming mirror
14 image, their application to intrastate minutes of use,
15 treating the nonsensitive CALC then as a residual
16 and also assuming intrastate revenue requirements
17 being derived per FCC Part 67.

18 Then as a result of this residual treatment
19 the preliminary numbers tend to indicate that we
20 will end up with a negative CALC for intrastate.

21 Now, I hasten to emphasize that these
22 calculations at this point are preliminary.

23 First of all, because the numbers have not
24 been basically purified. Second of all they do not
25 include the revisions which have come about as a

1 result of the order upon reconsideration. However,
2 I would be willing to express an opinion that after
3 these changes are taken into account that we will
4 still end up with a negative CALC on intrastate,
5 perhaps not the order of magnitude that our preliminary
6 studies indicate.

7 Q What do your preliminary studies indicate
8 would be the actual CALC for interstate?

9 A Interstate we are assuming the two and
10 \$4 minimum with a maximum CALC of \$4 average. Now,
11 obviously that will change because of the two and \$6
12 revision on order of reconsideration.

13 Q One final question, Mr. Adkisson. How do
14 you or Centel propose to place your intrastate access
15 charge tariff into effect in the State of Ohio?

16 A Centel of Ohio is currently in the processes
17 of finalizing first of all a model tariff basically
18 which we have supplied to the extent possible at
19 this point to the Commission, and it is our intent
20 to file that completed tariff with the Commission
21 of Ohio no later than October 3 of this year.

22 Q With numbers included, is that correct?

23 A That's correct.

24 Q And that would be filed, if you know, pursuant
25 to what statutory mechanism in the State of Ohio?

1 A At this point in time I couldn't answer
2 that. I don't know. It's just I think we are all
3 in a new ball game and most of the companies are
4 confronted with the need to file tariffs and that
5 with the magnitude of the job to be accomplished that
6 our earliest date is October 3rd to file these
7 tariffs.

8 From that we will assume that the Commission
9 will make a judicious decision as to how it will
10 handle it, hopefully with the objective in mind that
11 these tariffs be implemented or approved for
12 implementation by January 1, 1984.

13 Q Perhaps you could consult with your counsel
14 and ask pursuant to what statute those would be
15 filed with the Commission. I assume they are not just
16 handed to the Commission pursuant to --

17 A It is our proposal that there will be a
18 generic proceeding upon which these tariffs may be
19 received.

20 EXAMINER TAYLOR: I understand the Staff has
21 a few more questions.

22 MR. YUTKIN: Yes.

23 - - -

FURTHER EXAMINATION OF MR. ADKISSON

By Mr. Yutkin:

Q. Currently how are you billing for phone calls?

A. Intrastate toll?

Q. Yes.

A. We concur in the toll rate schedules as filed by Ohio Bell and bill accordingly.

Q. If you file a new tariff would it just be as simple to establish your own rates without creating a market service area to conduct your billing?

A. Well, first of all Centel of Ohio is not a toll carrier in the sense, an intraLATA or intramarket area carrier. Therefore, it would be impracticable for us to file such tariffs. On the assumption that we were an intraLATA carrier it again would be impracticable for Centel of Ohio to not only go through this process of developing access charges, but also to develop the necessary end user charges for toll rate schedules.

I do perceive, however, that over time the individual carriers, interexchange carriers, will develop disaggregated end user schedules.

Q. What actually would a market service area

1 serve? What purpose would it serve?

2 A. Again administratively it would assist,
3 clarify for the purposes of those independent
4 companies which are not associated with a LATA. To
5 them a LATA has no meaning and when you talk about
6 inter- or intraLATA access charges, there is no such
7 thing.

8 MR. YUTKIN: Thank you.

9 EXAMINER TAYLOR: Anything else?

10 (No response.)

11 EXAMINER TAYLOR: Thank you very much, Mr.
12 Adkisson. Let's take five minutes then begin with
13 United Telephone.

14 (Recess taken.)

15 EXAMINER TAYLOR: Are we ready to proceed?

16 We have the representatives from United
17 Telephone Company waiting to put on their presenta-
18 tion. Could I ask that they identify themselves?

19 MR. BUCHMANN: Mr. Taylor, my name is Alan
20 Buchmann, counsel for United Telephone. The
21 presentation will be made by Mr. Myers, who is the
22 Manager of Toll Planning, and he will be assisted by
23 Mr. Gratz, who is the Manager of General Tariffs.

24 If I can, I would remind everyone that
25 copies of our slides are out there for anyone who

1 didn't get them yesterday.

2 EXAMINER TAYLOR: Thank you, Mr. Buchmann.

3 MR. MYERS: Certainly being fourth on the
4 agenda will certainly be a challenge for us. What
5 I would like to do in a few minutes is briefly dis-
6 cuss our format and structure then very clearly
7 illustrate what we mean by our rate development
8 methodology. First of all, our proposal is very
9 simple. We simply propose to concur in our inter-
10 state access services tariff with the exception of
11 Section 4 which is the end user tariff, and we
12 intend to file a separate tariff which mirrors or
13 looks very similar to Section 4, but with our rates
14 calculated residually.

15 We think there are several good reasons
16 why we should be allowed to concur as opposed to
17 file a separate application. First of all, the
18 tariff is very complex, it's very voluminous and
19 it involves highly sophisticated users in a highly
20 technical arena that can change very rapidly.
21 It would be extremely burdensome to administer two
22 such tariffs.

23 Also the types of offerings, the timing
24 of new offerings, the technical aspects within the
25 tariff would be identical for interstate and

1 intrastate.

2 And thirdly, as has been previously
3 mentioned, the requirement for rate parity coupled
4 with the concurrence in the interstate tariff,
5 we would have to interpret that interstate tariff
6 relative to state jurisdiction. By that I merely
7 mean every time you see interstate you interpret
8 that to say state.

9 The format and structure, we have been
10 entirely consistent with the ECA format, as I think
11 everyone that has filed a format tariff, you'll find
12 that the structure is the same. There is good
13 reasons for this.

14 The effort that it took to prepare this
15 tariff, it's a huge tariff, highly technical and
16 highly complex and the resources were enormous that
17 it took to prepare this tariff, probably beyond any
18 one company, particularly our company.

19 So what we have done is, probably one of
20 the things that would warm your heart where the
21 industry came together, was to garner their
22 resources to file a consistent tariff and the ECA put
23 this together. We have been consistent with the
24 ECA tariff.

25 Much of the language in the tariff is the

1 standard kind of tariff language. Some of the
2 questions that have come up about the language, it
3 is the similar kind of language that we have used
4 in tariffs before throughout the industry, throughout
5 the country, and as a result we have made little
6 attempts to change that language.

7 Also as we have discussed, this tariff
8 is subject to some minor changes as a result of the
9 lateness of the FCC ruling. We don't think they
10 will be major but there will be some minor changes
11 that will be necessary.

12 The actual structure of the tariff, as
13 you have seen several times before, consists of
14 14 sections. These are standard ECA sections, there
15 are 820 ratable elements, 540 of those are recurring,
16 280 of those are nonrecurring.

17 I think that Mr. Billinghamurst explained
18 several of the sections to you and went into more
19 detail. It is not my intention to go into detail
20 of individual sections, but it's a standard format.

21 Each of the sections is pretty much
22 designed, as I said with the ECA standard approach.
23 We have at the beginning the definitions, regulations
24 and rates. We have included in our tariff all of the
25 standard rate elements, even though we don't offer

1 those services, so that when we do offer these
2 services we do not have to restructure the entire
3 tariff. We have found that to make changes in the
4 tariff the work effort involved probably extended as
5 the number of changes increase because if I change
6 one I will have to change 16 other places and if I
7 change two I just increase that dramatically. So we
8 have chosen to stick with the standard rate elements.

9 Also any difference in this tariff and
10 other tariffs that we have used, probably there are
11 many more usage-sensitive elements than there are
12 in any other tariffs. Most of the elements in our
13 method of recouping the revenue are from usage-
14 sensitive billing.

15 That is basically our tariff structure and
16 format and I would like to go into a little more
17 detail in our rate development methodology and
18 going to walk down through a short example so you
19 can clearly understand what we mean by mirroring
20 of the rates and residual end user calculation.

21 Our rate development methodology is based
22 on two basic premises, concurrence in the interstate
23 carrier charge, not end user carrier charge,
24 residually calculated end user charge. Again, as
25 you have heard several times, the necessity for parity.

1 We don't have the ability to measure the difference
2 between interstate terminating traffic and other
3 types of connection. Also even if we do measure it
4 we would have a difficult time trying to bill two
5 separate rates.

6 The billing mechanism, and all of our
7 companies have some different billing mechanism, to
8 bill this access service tariff is very difficult.
9 If we had two separate rates we would have to build
10 two such mechanisms and it would be very difficult
11 to say the least.

12 On the end user calculation we feel that
13 residual calculation, that you heard before, will
14 also keep that calculation or that CALC charge to the
15 end user as low as possible during the transition
16 period.

17 What I would like to do is show you an
18 example of how we develop our rate and what we mean
19 by mirroring of the rate. For example, if we started
20 with total revenue requirement of one million, this
21 is just an example, based upon authorized rate of
22 return, first step that we have to do, we have to
23 jurisdictionalize that revenue requirement, and the
24 way we do that is using standard separations procedures,
25 division of revenue, breakout between interstate and

1 intrastate.

2 For those of you who are not familiar,
3 that is merely a proration based on usage of a
4 commonly-used asset, asset that is used for both
5 inter-intrastate, measure the usage and divide it,
6 say this 50 percent is used intrastate and that 50
7 for interstate. In this case interstate has 30,000,000,
8 intrastate has 70,000,000.

9 The next slide is a bit foreboding, so I
10 will walk you down through it more slowly. Again we
11 start with the toll revenue requirement. We have
12 broken it down using standard separations procedures
13 interstate-intrastate. With the 30,000,000, first
14 step that we have to do is to divide that revenue
15 requirement into two sections. One is interexchange.
16 You heard the definition of that. That is merely
17 those assets totally associated with the toll network
18 and not the local loop. We divide this between those
19 assets and everything is access charge. We have to
20 recoup that revenue via access charges.

21 The interexchange for the toll piece will
22 be recouped similarly to how we recoup it now, in
23 some type of a partnership with whoever those facilities
24 are connected to. We know how to do that, we have
25 been doing that for years and that doesn't cause us a

1 problem.

2 What is left over is brand new, we now
3 have 24,000,000 that we must recoup some other way.
4 The next step is to take what is left over and going
5 to get that revenue back in two basic forms.

6 First we have to divide it into traffic-
7 sensitive and non-traffic-sensitive. And again this
8 is based upon inventory such as this is based on
9 separation of assets, figure out if they are traffic-
10 sensitive and non-traffic-sensitive. Non-traffic-
11 sensitive are those investments associated with the
12 common line. That is the individual users' access
13 to the network.

14 The traffic-sensitive is everything else
15 up to the point of presence of the interexchange
16 carrier.

17 Once we have physically separated those
18 assets, or revenue requirement in this case, we say
19 12,000,000 each, 50 percent. The actual tariff has
20 about 500 traffic-sensitive or usage-sensitive rates
21 based upon features and functions, but this is the
22 methodology we use to get there, all the same, just
23 divide up into more buckets.

24 Take the \$12,000,000 divided by your total
25 interstate minutes of use, and in this case that would

1 equal 4 cents a minute. So for every interstate
2 minute of use you are going to bill the interexchange
3 carrier 4 cents a minute.

4 Now, still have 12,000,000 that we have
5 to recoup that is non-traffic-sensitive. You are
6 going to get that back two ways. First on the
7 interstate side, the FCC just came out and said that
8 there is going to be a flat rate billing to the end
9 user, \$2 on residence, \$6 business and take weighted
10 average of that, it comes out about, for our company,
11 \$2.50 we will say. Multiply that times the number
12 of loops, in this case it gives you 6,000,000. We
13 need 12,000,000.

14 You get 6,000,000 via end user in the first
15 year of transition in the end user charge. What is
16 left over, \$6,000,000, we have to get in some other
17 mechanism.

18 The way we do that is take the total
19 interstate minutes of use into that 6,000,000 and
20 it comes out to 2 cents a minute. We are going to
21 bill that to the carrier.

22 So the bottom line is started with
23 \$30,000,000 we had to recoup, broke that down into
24 6 and 24, 6 we are going to do like we have always
25 done, we know how to do that.

1 The 24 broke down into two pieces which
2 is usage-sensitive or traffic-sensitive, and the
3 12,000,000 we will bill on flat minutes of usage,
4 minutes of usage basis interexchange carrier and this
5 piece you get back two ways, 6,000,000 end user
6 and 6,000,000 residually that you bill to the
7 exchange carrier.

8 On the interstate side this piece is
9 pooled by the ECA, it's a mandatory pool and the
10 example here is that my revenue requirement and ECA
11 rate happen to be the same. It is possible for
12 any revenue requirement and the ECA to be some other
13 rate, but for simplicity let's assume that same
14 rate, ECA comes out 2 cents a minute.

15 What happens is now the carrier rate for
16 every minute of use is traffic-sensitive and the
17 residual amount of 6 cents a minute for every minute
18 of use. From that you get 12,000,000, 18,000,000,
19 get the other 6,000,000 to get my 24,000,000 from
20 the end user.

21 Okay. I need to review very quickly how
22 we got the interstate piece of the rates before
23 we can discuss mirroring.

24 You start back, total revenue requirement,
25 again talk down through this one, come over here,

1 intrastate side, we have \$70,000,000 we have to
2 get. Again the first step is physically divide that
3 revenue requirement based on the physical inventory
4 of the assets, certain amount of it engaged only
5 in toll. We are going to pull that out.

6 What is left over, \$60,000,000, that is
7 what is involved in the access charge.

8 Now, this is a different methodology than
9 the interstate piece. What we started with is the
10 carrier charge and mirrored this rate. This rate
11 had the traffic-sensitive costs and it residually
12 cost 6 cents times of use and that generates
13 55,000,000. We take that 55 off, what is left over
14 is \$5,000,000. We simply divide that by the number
15 of loops times number of months, 12, that is
16 \$2 per loop.

17 The interstate subsidy is built in this
18 number and will be during the transition period and
19 this keeps the end user charge as low as possible.

20 That is the basic methodology on mirroring
21 of the rates and the residual calculation of the end
22 user charge.

23 We were asked to discuss how our proposal
24 is different from Ohio Bell. We propose to concur
25 in interstate tariffs just for the burden of
maintaining two separate tariffs.

1 Secondly obviously our rates will be
2 different, our rates built on individual companies'
3 costs and end user residual calculations will be
4 different.

5 Ohio Bell will offer more services than
6 we offer and there is some miscellaneous differences
7 in the tariff that we have seen, some rate bands are
8 different which could cause them to have either a
9 few more or few less rates depending on more or
10 less rate band and directory assistance kind of
11 verbiage.

12 That concludes our formal presentation.

13 EXAMINER TAYLOR: Any questions?

14 MR. YUTKIN: Yes.

15 - - -

16 EXAMINATION OF MR. MYERS

17 By Mr. Yutkin:

18 Q Has your company any evidence within your
19 territories of bypasses?

20 A No, sir, not at this time.

21 Q Is it technologically feasible to limit
22 phone service to local exchanges?

23 A Technologically our answer would be the
24 same as Ohio Bell's, technologically, yes, it can
25 be done. Who would pay the cost? It would be

1 extremely expensive in our offices, probably much
2 more so than Ohio Bell's.

3 Q Would you provide the Commission with a
4 copy of some sort of cost study as to what it would
5 take to limit that service?

6 A We don't have a study available to do that.
7 It would be a costly study to develop, to go in and
8 determine the engineering required in each office
9 that we have to screen calls.

10 Q Would you just then develop some sort of
11 methodology of what it would take technologically,
12 not putting figures in, just give us technological data,
13 what technology would be necessary?

14 A Do you mean a general engineering descrip-
15 tion of what would be required?

16 Q Correct.

17 A Yes.

18 Q What is your company's position on
19 establishing pooling within the State of Ohio similar
20 to the ECA?

21 A Philosophically we are against pooling.
22 We think it does not provide the proper incentives
23 for efficiency and in essence proper price signals
24 to customers. During the transition period pooling
25 may be acceptable. There's so many different types of

1 pools that it would be hard to tell who is involved
2 and who isn't involved and how to calculate what
3 you pool and what you wouldn't pool. It would be
4 very difficult to make that kind of informed comment
5 on whether we would participate in any particular
6 pool until we saw the specifications of that pool.
7 But in the transition period it may be acceptable.

8 Q How do you feel about surcharge being
9 established for AT&T because of superior interconnec-
10 tion?

11 A On the intrastate --

12 Q Basis.

13 A I guess really I don't have an opinion on
14 that. I don't know.

15 Q Included in your tariff you have a chart
16 on how access lines for Centrex systems are developed.
17 How did that chart come about? Was that just
18 general or --

19 A You are talking about the trunk equivalency?

20 Q Right.

21 A Two issues there. First, we don't offer
22 Centrex service. Centrex CO service you stated?
23 Don't offer Centrex CO service.

24 I believe a case just came up before the
25 Commission on Centrex service being offered by United,

1 I think it's CU, but I can check that. The way the
2 trunk equivalency ratio was developed, it was
3 developed by the ECA, national average. We adopted
4 that as they have developed it.

5 Q As you said in your earlier presentation,
6 the specific wording was accepted as it was from the
7 national ECA tariff?

8 A In most cases, that is correct. We felt
9 that the resources applied to it at the interstate
10 level, ECA, were very large and that they had
11 probably the best vantage point to do a good job of
12 wording that tariff. Yes, sir.

13 Q What exactly are the effects on your tariff
14 that would come about by the recent FCC order?

15 A Say that again, please.

16 Q What effects will come about by reason
17 of the FCC order concerning your tariff?

18 A I don't know the answer to that. There
19 will be some minor changes, we are sure -- we think.
20 We have not seen that order. Until we do it's very
21 difficult to say what impact it will have.

22 EXAMINER TAYLOR: Any other questions?

23 (No response.)

24 EXAMINER TAYLOR: Let me ask this
25 question.

- - -

EXAMINATION OF MR. MYERS

By Examiner Taylor:

Q Could you explain for us the makeup and the function of the ECA?

A Of the organization itself or of the rate?

Q The organization itself.

A Not in detail I could not. There is a temporary organization established now, it is predominantly staffed with AT&T folks. It has representatives from USITA and some of the other independents. We have a representative on that, our parent company.

The detail of the organization, no, I could not give you what that looks like. They have drawn upon many, many resources of AT&T and the rest of our companies.

Q What is its present function?

A The immediate goal of it is to develop the ECA tariff for everyone that has concurred in it and to establish a format that will be used throughout nationally by all companies.

It would not be possible for the FCC to review 2400 different formats of tariffs of the length of this one in the time frame they have to do it, so they have established basic format structure

1 and they have to develop both traffic-sensitive
2 rate for those companies that have concurred and
3 they have to develop the carriers' carrier charge or
4 residual charge and mandatory pool that we all par-
5 ticipate in.

6 Q All figures are an average figure, nation-
7 wide average figure? What use or what kind of
8 specific numbers are they going to be used in
9 developing --

10 A Depends on the people who concurred in that
11 tariff. I am not sure this company -- that is the
12 largest company, but it is not -- the traffic-
13 sensitive portion of the tariff, the BOC's are not
14 the largest company, so would not be a nationwide
15 average. It would be an average of the companies
16 who are concurring in the tariff.

17 All companies submitted data and those
18 that have chosen to concur in the traffic-sensitive
19 would be an average of only those companies.
20 On the carriers' carrier charge, residual charge
21 that I show, that will be a nationwide average, yes,
22 sir.

23 Q Is United presently involved in or does
24 it plan to become involved in handling interexchange
25 toll traffic?

1 A . We do carry some of our own inter-
2 exchange traffic now, use within our LATA, if you
3 will.

4 Q Are there any present plans to expand
5 beyond your LATA, if you will, in handling toll
6 traffic?

7 A I am not qualified to answer that question.
8 Certainly we are looking at that option. Wouldn't
9 say that we have concrete plans to do so yet. I
10 don't know.

11 Q Am I correct that unlike Ohio Bell and
12 General you have no prohibition on entering the
13 interexchange market?

14 A Yes, sir, that is correct.

15 Q What do you view as the ramifications of
16 your service area being excepted by Judge Greene in
17 his decision on LATA's?

18 A Basically it will prohibit Ohio Bell from
19 competing with us intraLATA. We will still compete
20 with AT&T and any other interexchange carrier within
21 our LATA or within our GMA.

22 Q That is the sole ramification that you see
23 in that decision?

24 A I am sure there are others. That is the
25 one that hits me right now.

FURTHER EXAMINATION OF MR. MYERS

By Mr. Yutkin:

Q How do you plan to bill the BOC for interconnection in United's territory not within your GMA?

A I am not sure I understand that.

Q In United's territory outside the GMA how would you bill the BOC for interconnection with your local exchanges?

A We will use access charges. That is our intent right now.

Q What is the basis for the access charge?

A We are an exchange carrier. If an inter-exchange carrier wants access to our exchange we will bill them via access charge tariff.

MR. YUTKIN: Thank you.

EXAMINER TAYLOR: Anything else anybody has?

(No response.)

EXAMINER TAYLOR: No further questions? I guess I have one that I would ask as kind of an afterthought here.

I would ask if United has given any consideration to what mechanism they will utilize to place tariffs relating to access charge into effect

1 by 1-1-84 on intrastate basis in Ohio?

2 MR. MYERS: That is if we cannot concur
3 in interstate is what you're saying?

4 EXAMINER TAYLOR: Yes.

5 MR. MYERS: I will refer to Mr. Buchmann.

6 EXAMINER TAYLOR: Fine with me.

7 MR. MYERS: I don't have an answer to
8 that.

9 MR. BUCHMANN: I would presume we would
10 attempt to file, given the conditions that the
11 Commission would ask under what statute, I will use
12 as many as possible. But I think that this will be
13 a first filing for United, and if not that action
14 could be taken under 4909.16 because the absence of
15 a rate for this service throughout our service
16 territory certainly is going to be an emergency for
17 our customers.

18 UNIDENTIFIED SPEAKER: We can't hear.

19 MR. BUCHMANN: I said that given the con-
20 ditions of the Examiner's question of how we will file
21 with the Commission, I thought that this would be a
22 first filing under Section 4909.18. I would go on
23 to say that the Commission having had this proceeding
24 surely would be in a position to promptly decide
25 whether the filing required a hearing.

1 I would also suggest that the filing could
2 be accomplished under 4909.16 because the absence
3 after January 1 of the rate for this service would
4 create an emergency for our customers.

5 EXAMINER TAYLOR: Any other questions?

6 (No response.)

7 EXAMINER TAYLOR: Thank you. I am going
8 to take a lunch break until 1:00 at which time we
9 will put on Cincinnati Bell.

10 Also I asked that a representative from
11 Mid-Continent be here to explain certain aspects of
12 their filing with us and I would ask that if Mr.
13 Prohaska or Mr. Schneider are in the room, before they
14 leave I would like to talk to both of them, please.

15 - - -

16 Thereupon, at 11:35 o'clock, A.M., a
17 recess was taken until 1:00 o'clock, P.M., of the
18 same day.

19 - - -

Thursday Afternoon Session

August 11, 1983.

EXAMINER TAYLOR: Is Cincinnati Bell ready to proceed? Could you introduce who is making the presentation and proceed?

MR. STROPES: My name is William Stropes and I am the District Manager of Tariffs for Cincinnati Bell. With me is Bob Sigmon who is District Manager of Economic Analysis.

My presentation this afternoon is rather short. I will attempt to clarify where our tariffs differ from the tariffs that have been presented thus far. At this time I don't intend to recover a lot of the examples that have been covered up to this point.

Concerning structure and format for our tariff, Cincinnati Bell's access service tariff PUCO No. 1 is a rewrite of the latest edition of the model interstate access service tariff provided by AT&T for the ECA. This tariff is customized in wording and structure to reflect intrastate Ohio activities. The tariff proposes to concur in end user charges contained in the toll tariff of Ohio Bell Telephone Company and to refer to it's own access service tariff,

1 FCC 35, for carrier access charges. Specific comments
2 concerning the structure of the proposed tariff are
3 as follows:

4 Concurring and connecting carriers are
5 not listed since these negotiations are still underway.
6 It now appears there will be no concurring carriers.
7 These will be provided by amendment at a later date.

8 A map of the Cincinnati market area or
9 LATA is under design and will be provided as part of
10 the general regs Section 2 by amendment at a later
11 date.

12 Section 3 which refers to the carrier
13 common line in the ECA tariff is created to support
14 the Universal Service Fund and provide a charge for
15 premium access. It is our understanding that the FCC
16 reconsideration order will address this area and
17 could delete the flat premium charge for AT&T.
18 Instead a minutes of use charge would be applied that
19 is somewhat higher than that applied to other carriers.
20 It would be our intent to mirror the interstate rates
21 for intrastate application for the Universal Service
22 Fund and the Transitional Surcharge. Since the
23 ground rules for these items are still not settled
24 this section was reserved and not filed on August 3,
25 1983. It will be provided by amendment at a later

1 date.

2 Section 4, End User Access outlines
3 concurrence in the Ohio Bell toll tariff for this
4 charge.

5 Section 5, Ordering Options, Section 6,
6 Switched Access, Section 7, Special Access, Section 9,
7 Directory Assistance, Section 10, Special Government
8 Services, Section 11, Special Routing, and Section 13,
9 Additional Engineering and Labor, the rates in these
10 sections refer to FCC 35 for charges. In accordance
11 with the order of the FCC in Docket 78-72, the
12 interstate carrier access rates are to be adjusted
13 annually in order to remain current with costs.
14 By adopting a system, such as proposed here, whereby
15 the interstate rates automatically adjust to conform
16 with the interstate rates.

17 Section 8, the Billing and Collection
18 rates also refer to FCC 35. This section may be
19 allowed a separate option of concurrence on individual
20 company rate design, as is allowed to End User
21 Charges, by the FCC. If this option is allowed in
22 the reconsideration order, the intrastate approach
23 to this section could change.

24 Section 12, Specialized Service would be
25 provided on a cost incurred basis similar to our

1 special assembly provision in our PUCO General
2 Exchange tariff. The reference to FCC 35 is incorrect
3 due to word processing error. This also will be
4 corrected by amendment at a later date.

5 Section 14, Exceptions, is not applicable
6 to the intrastate tariff since deletions need not be
7 identified. They are simply deleted from the tariff.

8 Cincinnati Bell concurs in the CALC filed
9 by Ohio Bell. Procedurally we had no alternative
10 since it appears that the CALC is a rate increase
11 and must be included as part of a general rate case.
12 At the time that such a filing needed to take place
13 very little was known as to the applicable FCC ground
14 rules for CALC. The intrastate CALC will depend upon,
15 among other things, the applicable toll rates which
16 are also unknown at this time.

17 Cincinnati Bell also feels that the intra-
18 state carrier charges should mirror the interstate
19 charges. It is basically felt that the costs are
20 the same whether the call switched is interstate or
21 intrastate and that point of origin of the call would
22 be unknown by the local company.

23 Cincinnati Bell is concurring in the ECA
24 tariff for interstate carrier charges and developing
25 its own interstate CALC.

1 The cost methodology used is that as
2 outlined in Part 69 of 78-72.

3 That concludes our initial presentation.

4 EXAMINER TAYLOR: Before I ask if there is
5 any questions I would like to make a request. There
6 has been considerable mention of eight hundred and
7 some ratable items contained in these type of
8 tariffs. Could you perhaps summarize the gist of
9 these ratable elements? In other words do they
10 involve special categories or how --

11 MR. STROPES: Most of the rate elements
12 that I think have been referred to so far in this
13 proceeding are not great in number but represent a
14 large amount of revenue. Offhand without doing a
15 special study it appears to us that about 75 percent
16 of the rate elements in the tariff really reflect
17 about 10 percent of the revenue and deal with the
18 private line data categories or special arrangements
19 or unique situations in private line.

20 - - -

21 EXAMINATION OF MR. STROPES

22 By Mr. Yutkin:

23 Q In your prepared statement you mentioned
24 a LATA map would be forthcoming. I wasn't aware that
25 Cincinnati Bell had been given a LATA. What exactly

1 do you mean by that?

2 A Cincinnati Bell is referred to as non-
3 associated on the FCC maps, okay, or the Judge
4 Greene approved LATA boundaries. However, Cincinnati
5 Bell will be filing with this Commission and with
6 the FCC a market area for the Cincinnati area including
7 a map and a description of that market area.

8 Q What advantage would there be to the
9 company to have a general market area?

10 MR. SIGMON: Right now there is no concrete
11 definition for what nonassociated means. It seems
12 to me it would be difficult to administer anything,
13 including carrier access type charges, for an area
14 that is undefined. We need a definition of market
15 area so that we can divide our investments up
16 between interLATA and intraLATA type of settlements.
17 So we need a definition primarily I guess for settle-
18 ment purposes.

19 Q Would your LATA include areas in Kentucky
20 and Indiana or just for the State of Ohio?

21 MR. SIGMON: The proposed market area map
22 includes the areas served by Lawrenceburg, Indiana
23 and also our operating territory in Kentucky.

24 Q Thank you. Has your company any evidence
25 of bypass currently operating in your nonassociated

1 territory?

2 A. (By Mr. Stropes) Yes, it does.

3 Q. Could you give me any examples?

4 A. I can speak -- I would prefer to provide
5 those to you at a later time.

6 Q. That would be fine.

7 A. If that is possible.

8 I can tell you that I know Proctor & Gamble
9 has constructed a microwave system to relieve them
10 of some of their private line charges. We do have
11 other specific cases that have been brought to my
12 attention by our Marketing Department and I could
13 summarize those for you.

14 Q. Fine. You could prepare those and provide
15 those?

16 A. Yes.

17 Q. Is it technologically feasible for your
18 company to limit phone service to local calls?

19 A. Yes, I believe that it is. I am not an
20 engineer but from the information that has been
21 provided for me it's technologically possible for that
22 to be done. I don't know whether it's feasible.
23 It would seem to me that it is not technologically
24 possible for that to be done by January 1, 1984.
25 It is also economically not feasible.

1 Q Is that just an estimate or a guess or
2 do you have actual figures on that?

3 A I do not have actual figures.

4 Q How difficult would it be to obtain these
5 figures for a reasonable guesstimate?

6 A I think previously you asked one of the
7 other companies if they could provide you with maybe
8 the engineering methodology that is needed to determine
9 that, and we could probably provide the same kind of
10 information.

11 Q That would be satisfactory.

12 A Okay.

13 Q Does your company have a position on
14 establishing pooling arrangements intrastate similar
15 to the ECA arrangement?

16 A We would rather not see a pool for intra-
17 state.

18 Q Okay.

19 A It would be an administrative burden. It's
20 probably not needed if you would consider a bill and
21 keep arrangement.

22 MR. YUTKIN: Thank you.

23 EXAMINER TAYLOR: Any other questions?
24 Anybody have anything?

25 MR. YUTKIN: Excuse me. We received

1 responses from some of the smaller companies, or
2 Harlan Telephone Company, indicating they were going
3 to concur with your tariff.

4 MR. STROPES: I did not know that and it
5 does not surprise me. They haven't officially let
6 us know about it.

7 MR. YUTKIN: Okay.

8 MR. SIGMON: We don't have any problem with
9 Harlan concurring with our tariff though.

10 EXAMINER TAYLOR: Yes, sir.

11 MR. INMAN: Karl Inman representing the
12 Ohio Association of Radio Common Carriers.

13 - - -

14 EXAMINATION OF MR. STROPES

15 By Mr. Inman:

16 Q Do you have currently in the Cincinnati Bell
17 territory any evidence of a bypass network that has
18 been established? If not, do you anticipate one that
19 would be established? This is following up on some-
20 thing that you brought up the other day in a comment
21 to Mr. Billingham about whether or not the Bell
22 companies may use bypass network and can you give me
23 an idea what you see presently and in the future?

24 A I am not sure I understood the question.
25 Are you talking about the telephone company bypassing

1 itself as we discussed the other day?

2 Q Yes.

3 A Well, I guess an example of that might be
4 on this P&G microwave that was discussed. Proctor &
5 Gamble asked us to bid on it, on building their
6 microwave system for them, essentially build those
7 facilities, build the facilities that were going to
8 be used to bypass the telephone company. We did
9 bid on that but did not get the bid.

10 Q Do you know as to whether or not there
11 is technology that may be available through either
12 computer software or whatever that will put together
13 all information on bypass networks in your area and
14 possibly select by cost analysis whether or not you
15 should use that network, so recommend to a customer
16 to use that or not?

17 A I don't know of any such item.

18 EXAMINER TAYLOR: What was the answer?

19 MR. STROPES: I don't know the answer.

20 It sounds to me like it might be a good business for
21 somebody to go into.

22 EXAMINER TAYLOR: Anyone else have any
23 questions?

24 COMMISSIONER SCHRIEBER: That is an
25 interesting response because the other day we heard

1 that the companies were expecting to be the low-cost
2 providers of bypass, in fact that they would be
3 expected to be highly competitive with other possible
4 bypassers. Do you see yourself in that position or
5 do you conceive of a situation where in fact you --

6 MR. STROPES: Where we would compete with
7 ourselves?

8 COMMISSIONER SCHRIBER: No, with any
9 other bypassers. Can you conceive of a situation
10 where it came down to cost and you simply could not
11 compete with others who can provide bypass service?

12 MR. STROPES: If the rates are artificially
13 set not in accordance with the cost I would think that
14 that is very possible. If it is based on cost and
15 we are competing just like any other marketplace I
16 guess --

17 COMMISSIONER SCHRIBER: If prices are not
18 based -- suppose that you were underpriced for
19 purposes of another bypass or getting a toehold on
20 that market. Do you expect to then have some sort of
21 a leave to go in there and compete with them even
22 though it might be below your cost also?

23 MR. STROPES: Do you mean would we offer
24 stuff below cost?

25 COMMISSIONER SCHRIBER: In order to compete
with someone who might be --

1 MR. STROPES: Gee, I never thought of that.

2 MR. SIGMON: The answer is, no, we would
3 not sell anything below cost. And I guess I would
4 have to disagree with the answer of the other company.
5 I don't think we would always be the low-cost
6 provider. There could be some technologies that
7 we would not have the expertise that someone else
8 would. We do not expect to have the total share
9 of the market. We just want the opportunity to earn
10 our share.

11 EXAMINER TAYLOR: Anything else?

12 (No response.)

13 EXAMINER TAYLOR: I want to ask the
14 representatives from Cincinnati Bell to compare the
15 position which they have tendered before the
16 Commission with those of the four preceding companies
17 and compare and contrast the position put forward in
18 your tariff, principal differences as compared to
19 Ohio Bell, General, United and Centel.

20 MR. STROPES: I guess one difference is
21 I believe we were the only company that proposed
22 concurring in Ohio Bell's CALC. Of course, Ohio
23 Bell has to set the CALC, but the other companies
24 did not propose doing that. They proposed a residual
25 approach to come up with what the CALC is.

1 Our legal people, they are not with us
2 today, would indicate they don't believe we can do
3 that; that we have, as things stand right now, we
4 have to concur in the Ohio Bell toll tariff which
5 outlines their approach to CALC. We are concurring --
6 we have developed our own intrastate tariff for
7 carrier charges. However, for the rates we refer to
8 our interstate tariff.

9 I don't think anyone else made that
10 approach. The other companies, a lot of the other
11 companies, are mirroring, but in wording and philosophy
12 we have taken a look at that interstate tariff and
13 attempted as best we could in the short time that we
14 had to make a filing to design that tariff so that
15 it would serve us better intrastate-wise or be more
16 of an intrastate tariff than interstate.

17 So we do have an intrastate tariff with
18 policies and philosophy but rates refer to the inter-
19 state tariff. We have a statement wherever there are
20 rates and charges in our tariff saying you have to
21 go to the FCC 35 for those charges.

22 Another problem apparently is if we have
23 to adjust rates in the interstate arena for carrier
24 charges annually, when that is done you would have
25 to apply for a rate case in the State of Ohio which

1 takes approximately a year to process. So the dog
2 would always be chasing its tail. You would not have
3 uniformity of rates and you would have an arbitrage,
4 always be trying to catch up in Ohio with whatever
5 the interstate rates were if the Commission allowed
6 the mirroring approach or equal rate philosophy.

7 So it seemed to us that the way possibly
8 to do that was just automatically refer to the FCC
9 35 for the rate structure so that when the rates are
10 reconfigured annually interstate they automatically
11 would be reconfigured annually intrastate.

12 EXAMINER TAYLOR: Do you see a need for
13 a state fund or state mechanism to offset high cost
14 companies in the access charge arrangement?

15 MR. STROPES: We do not favor that. We
16 would hope that --

17 EXAMINER TAYLOR: I asked if you see a need
18 for something like that.

19 MR. STROPES: The information I have had
20 indicates that most if not all the companies in the
21 State of Ohio are low-cost companies and I don't
22 see the need.

23 EXAMINER TAYLOR: Would you repeat that?
24 Someone did not hear the answer.

25 MR. STROPES: As I see it from the

1 information that has been given to me most or all of
2 the companies in Ohio are considered low-cost
3 companies and don't see a need for that.

4 MR. SIGMON: Plus the ECA high-cost
5 mechanism applies to a company's total cost which I
6 think would provide coverage.

7 EXAMINER TAYLOR: Your proposal to concur
8 in the end user access, that would be established
9 pursuant to a Bell rate proceeding, Ohio Bell rate
10 proceeding, that would be by way of concurrence, is
11 that correct?

12 MR. STROPES: Yes.

13 EXAMINER TAYLOR: What would you anticipate
14 to be the cost figures that went in to determine
15 that rate in the Bell case? Would it be Ohio Bell's
16 or would it be state average or would you include
17 only those companies proposing to concur with Bell
18 or what kind of numbers are we talking about for
19 developing the end user access charge?

20 MR. SIGMON: Since the \$4 CALC is in
21 their toll tariff and we are going under the assumption
22 that it would be a uniform toll tariff in the entire
23 state, it would be my belief that it would be total
24 cost, statewide cost.

25 EXAMINER TAYLOR: Statewide cost?

1 MR. SIGMON: Yes.

2 EXAMINER TAYLOR: What mechanism would
3 Cincinnati Bell propose to notify its customers of
4 their proposed concurrence in any end user access
5 to be set in the Ohio Bell tariff?

6 MR. STROPES: I would imagine it would be
7 similar to the methods of notifying customers of a
8 toll increase with an Ohio Bell rate case. That would
9 be done through newspaper articles and bill inserts.

10 EXAMINER TAYLOR: Since your answer refers
11 to how notice would be given that the rate had been
12 set, I am asking you how you would notify them that
13 the case was pending; that you sought concurrence and
14 that they would be affected by that end user charge
15 set in Ohio Bell's case and, therefore, should have
16 some opportunity perhaps to participate in that Ohio
17 Bell proceeding since that rate would affect them?

18 MR. STROPES: I am not following your
19 question. If you have asked if -- have we notified
20 our customers at this point that our plan is to concur
21 in the Ohio Bell end user charge, we have not. If
22 you are asking are we planning on including that as
23 part of our information package for our customers in
24 the future, the answer is that we are.

25 EXAMINER TAYLOR: I am asking you if you

1 have any plans for notifying the customers of your
2 intention to concur in the Bell case and the rate
3 which you would be concurring in would, therefore,
4 affect them.

5 MR. STROPES: I don't know. It certainly
6 sounds like something we should do. I do know that
7 we have an information package being developed now
8 to notify our customers of the whole proceeding.
9 I would be most happy to check to see that we do take
10 this approach notifying them that our proposal would
11 refer to the Ohio Bell rate case.

12 EXAMINER TAYLOR: Any other questions?.

13 (No response.)

14 EXAMINER TAYLOR: Thank you.

15 MR. STROPES: Can I get two more cents
16 in? The Commissioner asked the question yesterday of
17 companies and I don't remember if he asked it this
18 morning, but it was referring to the companies'
19 approach, and I don't remember the exact wording,
20 but determining who was needy and who isn't needy
21 and having a -- would you ask me that?

22 COMMISSIONER SCHRIBER: The FCC has provided
23 that upon request or some procedure a company may
24 suspend the access charge for some class, I am not
25 sure what it would be, of customer. Do you have a

1 position on that?

2 MR. STROPES: Yes. Our company policy
3 would not be to suspend the access charge for some
4 class of customer. It would be very difficult for
5 a telephone company to determine who was privileged
6 and who was underprivileged or who is needy and who
7 is not.

8 As you know, many agencies have tried to
9 determine that in the past lots of times, government
10 agencies, in applying such an approach and it's a
11 very, very difficult job. However, Cincinnati Bell
12 does believe in a low-cost alternative access service
13 for its customers, available to any customer who
14 would want a choice. That service, under the ground
15 rules, that service might happen to be, in this
16 case, optional measured service. Thank you.

17 EXAMINER TAYLOR: Anything else we should
18 ask?

19 MR. STROPES: No, thanks.

20 EXAMINER TAYLOR: If there is nothing else,
21 thank you. I have asked that representatives from
22 Mid-Continent System give a brief presentation
23 explaining their position on the access charge
24 question.

25 Please introduce your group there and go

1 ahead.

2 MR. CASE: Good afternoon. On behalf of
3 Mid-Continent Telephone Corporation, its operating
4 subsidiaries in the State of Ohio, my name is Bill
5 Case, I am counsel for those entities. And with me
6 today from Mid-Continent are Dennis Curry and Harlan
7 Tracy and my associate, Tom Lodge.

8 I would like to speak to the filing which
9 we have made relative to this docket. First we agree
10 in concept with the structure of the Bell tariff that
11 has been presented. In short, we recognize the
12 necessity for parity on carrier charges.

13 We also recognize that it is in the best
14 interest to have uniform end user charge because of
15 the position that we have taken on parity. However,
16 we cannot concur in the rates that Bell may come up
17 with for carriers' carrier charge. And the reason
18 is that our traffic-sensitive charges will be
19 established by the Exchange Carrier Association and
20 we believe those rates will be announced sometime in
21 September.

22 And if we are going to have parity we have
23 to have parity with those rates rather than rates that
24 Bell will establish. So while we cannot tell exactly
25 what those rates are today, it would be our

1 anticipated approach to utilize those rates for our
2 carriers' carrier charges intrastate.

3 Now, other than that we only have one
4 disagreement with the tariff filing of Ohio Bell,
5 and it is strictly a fundamental disagreement and
6 also is a disagreement with regard to the other
7 companies' filings in this case, and that has to do
8 with intrastate pooling.

9 We have heard a lot of talk about the need
10 for price signalling, proper price signal in the
11 industry, but I think one thing that Mid-Continent
12 believes is that we are a public utility and serving
13 the public. And as such we have a mission of pro-
14 viding good service at reasonable rates. And that
15 is always our first and foremost mission as a utility.

16 It is the position of Mid-Continent and
17 its subsidiaries that if there is not intrastate pooling
18 of all toll-related services, access charges, interLATA
19 pooling, whatever, that our subscribers, and
20 particularly subscribers of the higher cost companies
21 of this state, are going to have their rates go up
22 and may go up significantly. And that is what we
23 are here to try to avoid, and we may suggest it in our
24 filings with this Commission which I think does that.

25 What we have suggested is that all access

1 charges and intraLATA toll with the Bell Company be
2 pooled much like the Exchange Carriers Association is
3 doing now and much like the Staff has suggested in
4 the State of New York. We attached to our filing what
5 the New York State Staff has recommended in that
6 state.

7 If the industry could come up with a
8 better suggestion of how to compensate the high cost
9 companies for what is going to happen we would be
10 more than willing to answer or listen to that. But
11 so far we haven't heard anything and we believe
12 pooling is the only way to go about it.

13 The high cost factor has been mentioned
14 I think by most of the witnesses who have opposed
15 intrastate pooling as being a savior, if you will, for
16 the WTS costs that the high-cost companies will incur,
17 saying in effect that will take care of it.

18 First of all, the HCF will not be effective
19 until 1986, and at least Ohio Bell in their tariff
20 filing did recognize this problem and indicated that
21 they would not be opposed to some sort of transitional
22 pooling requirement. We think that is a positive
23 step.

24 However, even after the HCF goes into
25 effect that is not going to end the problem, and I

1 think if you just look at the exhibits that Centel
2 attached to its pleading yesterday you will see what
3 we mean. That high-cost factor merely shifts alloca-
4 tion of some of the NTS plant from intrastate to
5 interstate, but doesn't shift it all, and with the
6 companies that don't have as high a cost factor, those
7 companies under 115 percent of the average, they are
8 not going to be made whole by the high cost factor.

9 Now, there has been some suggestion that
10 maybe that is not all bad, that maybe it would be a
11 good incentive for the higher-cost companies to try
12 to reduce their costs. We don't think that is
13 correct. And it seems to assume the proposition that
14 because a telephone company has higher costs that
15 somehow it's more inefficient than a company that has
16 lower costs.

17 I think that the Commission well recognizes
18 that this problem of higher cost has a lot to do
19 with the geography of a particular area serving a
20 number of customers, it may have nothing to do with
21 efficiency whatsoever. The way I look at it is like
22 telling a paralyzed man to walk, throw away his
23 wheelchair. There is a point at which we simply are
24 not going to be able to recover those costs as high-
25 cost companies.

1 As Ohio separations and settlements work
2 right now intrastate there is already in effect a
3 modified pooling arrangement whereby Ohio Bell
4 administers intrastate toll revenues and disburses
5 it. And as far as I know no one has ever suggested
6 that that hasn't worked well for the State of Ohio,
7 for the customers and for the telephone utilities
8 involved. They have those resources, it's in place,
9 we suggest that that mechanism should continue.

10 I question and Mid-Continent questions
11 whether small companies of this state which are
12 high-cost and don't have the type of manpower that
13 maybe some of the bigger companies have will have the
14 knowhow and means to bill and collect revenue
15 independently in the types of complex access charge
16 plans that are under scrutiny by this Commission at
17 this time. As I already suggested, the New York
18 staff has taken a position much similar to the one
19 we are advocating today and we would commend to the
20 Ohio Staff and the Commission's attention that
21 position paper.

22 I would like to bring to the Commission's
23 attention one problem which a lot of the small
24 companies have, including several of the Mid-Continent
25 subsidiaries. I do not know at this time what the --

1 what the non-traffic-sensitive costs are for several
2 of our companies, and venture to say that many of
3 the smaller 48 or so other companies in this state
4 that you haven't heard from yet are in the same boat.
5 This is because these companies have been what is
6 called average settlement companies and they simply
7 apply model average telephone companies' cost to
8 recover their cost both interstate and intrastate,
9 but to date that average settlement company model
10 never had in it NTS costs broken out. That is why
11 when this Commission asked us to report our NTS
12 costs we were unable to do so for some of our companies.

13 This could produce a problem on down the
14 line, just bringing it to your attention now, because
15 we see something we are going to have to deal with
16 with costs probably higher than \$4 which has been
17 the rate suggested by Bell.

18 We don't know exactly what they are, but
19 as it stands right now since we don't have a cost
20 study we had no choice really but to concur for the
21 time being in that rate, and I think that is the
22 reason why many of the companies, smaller companies,
23 have concurred.

24 It's our understanding that the Exchange
25 Carriers Association is going to be developing an

1 average schedule of NTS costs and hopefully that will
2 be available soon.

3 We would suggest that along with the
4 mandatory pooling which we have advocated in this
5 proceeding at least for the time being, that for
6 those companies that cannot provide cost studies that
7 whenever the ECA information is available in the
8 form of average NTS costs we be permitted to utilize
9 as our costs for establishing our right to the proceeds
10 of whatever fund is available.

11 We are sensitive to the bypass issue. We
12 do not believe that the proposal which we have set
13 forth today is in conflict with the goals of
14 competition. We have a problem here in that there
15 are the conflicting social justice needs to keep
16 telephone service priced so everybody can afford it
17 with the goal of competition. We try to do that. We
18 think we have struck the proper balance in this case.

19 We would say that our position is closer
20 certainly to the FCC position than what the other
21 companies have advocated, and I believe that it would
22 be in the best interest of the ratepayers, telephone
23 companies' subscribers of this state. Thank you.

24 EXAMINER TAYLOR: Does the Staff have
25 any questions?

1 MR. YUTKIN: Yes.

2 - - -

3 EXAMINATION OF MR. CASE

4 By Mr. Yutkin:

5 Q Would the pooling system you are suggesting
6 be mandatory?

7 A At least initially we would advocate a
8 mandatory pooling of all costs like the New York
9 staff has suggested. As I said earlier, the means
10 of the smaller telephone companies in this state to
11 administer the complex rate elements we have all
12 been speaking of, we just frankly don't know if they
13 are going to be able to get up to speed. I think
14 over time the traffic-sensitive element could come
15 out, but I think certainly the NTS as on the federal
16 level should be mandatory.

17 Q Do you have any figures on what percentage
18 of the companies would fall in the high-cost category
19 in the State of Ohio?

20 A It's hard to say since some of them are
21 on average schedules. I don't know exactly what
22 their costs are. As I said, we think our companies
23 are over \$4 cost. Pretty sure of it, but very hard
24 to give you an exact figure.

25 Q I would like to go into another area briefly

1 and find out what your opinion would be of general
2 market areas and their necessity for the State of
3 Ohio.

4 A We haven't taken a formal position on that.
5 We would certainly be interested in exploring such a
6 proposal. What you are saying by general market area
7 is that every area of the state would have a configura-
8 tion, is that right?

9 Q It would be broken down into certain LATA-
10 like configurations, yes. Can you see any particular
11 advantage to that system for your companies specifi-
12 cally?

13 A I don't think it would really matter. I
14 think we could live with it.

15 EXAMINER TAYLOR: Anyone else have any
16 questions? Go ahead.

17 MR. CASE: Mr. Curry would like to say
18 something.

19 MR. CURRY: I would like to comment on the
20 \$4 access charge within the state. It seems to be
21 the assumption of the Bell and General people here
22 that that applies only to intraLATA toll. It's our
23 assumption that that would apply on both intraLATA
24 and interLATA and how that \$4 is spread is going to
25 determine how certain revenue requirements are set

1 forth both intraLATA and interLATA. It has not been
2 addressed here at all.

3 EXAMINER TAYLOR: Someone from Bell want
4 to address that?

5 MR. BILLINGHURST: Although I didn't
6 specifically state that it was inter and intra, I
7 agree really with you. The \$4 CALC was set initially
8 for both inter and intra. But, yes, it is a combined
9 CALC and for all I know other companies in their
10 discussion of \$2 CALC's may only be talking about
11 interLATA piece. We are talking about combined inter
12 and intra.

13 MR. CURRY: But your new toll schedules
14 in your general rate case is for intraLATA toll only,
15 isn't it? And the assumption was that you could reduce
16 those rates 40 percent based on that CALC? Is that
17 true or not?

18 MR. BILLINGHURST: That is correct.

19 EXAMINER TAYLOR: Could I ask for a
20 clarification from the other companies as well?

21 MR. DINSMORE: It was our understanding
22 as the representative stated that it was a split
23 between intra and inter. I don't think we mentioned
24 that specifically in our presentation, but that is
25 our understanding as well as our proposal that the

1 CALC would be residually priced, but --

2 EXAMINER TAYLOR: \$2 for both?

3 MR. DINSMORE: No, \$2 in total.

4 EXAMINER TAYLOR: Right. Is there someone
5 from Centel that could address it? Centel is not
6 present. Someone here from United?

7 MR. MYERS: Ours is residually priced and
8 whatever comes out would be split between the two.

9 EXAMINER TAYLOR: Thank you. Anything else
10 from Mid-Continent?

11 MR. CASE: No.

12 EXAMINER TAYLOR: Can I ask you to further
13 explain how you would anticipate this pool be
14 administered and precisely what would be included in
15 the pool?

16 MR. CASE: Yes. It would be our under-
17 standing and recommendation that Ohio Bell has
18 successfully administered what pooling there is in
19 this state now and we believe that that should con-
20 tinue. I am not against contributions from the
21 other telephone companies to help administer the
22 cost of that pool, understand, but I think that is
23 only fair, but we don't see why we should get rid of
24 a good thing.

25 Whether or not a formal ECA organization

1 with its own offices and personnel is necessary, I
2 think it's our opinion that while we would like to
3 have representation to see what happens to those
4 funds, I don't think it's necessary to create a brand
5 new bureaucracy to the extent that the federal level
6 has achieved, but I think that we are open to sugges-
7 tions as to how best to administer such a fund.

8 EXAMINER TAYLOR: Would you use such a
9 fund as a transitional mechanism or permanent
10 mechanism?

11 MR. CASE: I agree with the recommendation
12 that was made earlier in this proceeding that the
13 docket should be held open and there may be changed
14 conditions affecting the industry which would do
15 away with the need for the continued pooling. I
16 don't know what those might be, but I think that that
17 would be one way of moving in quickly if the
18 Commission thought a pool was no longer required.

19 We would anticipate at least for the
20 present time that the NTS cost be pooled and we are
21 suggesting that the TS costs be pooled initially at
22 least, at least until the smaller telephone companies
23 in this state are able to digest what is happening to
24 them.

25 We are a large company, we are the fifth

1 largest in Ohio, but I think this really rises above
2 our own interests here. I think we have to look for
3 the whole industry as far as what is going to happen
4 and what is going to happen to the ratepayers.

5 EXAMINER TAYLOR: At least in its inception
6 you would propose to pool all TS and NTS costs?

7 MR. CASE: That was our proposal, and
8 carriers' carrier charge.

9 EXAMINER TAYLOR: What would be the
10 proposal on the part of the Mid-Continent as to the
11 basis of placing any type of an access charge tariff
12 in effect procedurally by the first of 1984?

13 MR. CASE: Historically the Commission has
14 permitted concurrences, and I think that could be
15 done here. If the Commission disagrees with that I
16 would endorse the idea that this is really not a
17 new rate case, there is nothing about these proceedings
18 which is really asking for additional rate relief.
19 It's simply a new service.

20 If the Commission were to disagree with
21 that, just put in emergency rates. I don't know if
22 your question addressed legal aspects of that or
23 procedural aspects. Those would be my answers to
24 the legal aspects.

25 EXAMINER TAYLOR: That is fine.

1 MR. CASE: Okay.

2 EXAMINER TAYLOR: Any other questions?

3 (No response.)

4 EXAMINER TAYLOR: Thank you very much,
5 Mr. Case.

6 MR. CASE: Thank you.

7 EXAMINER TAYLOR: I have also asked Mr.
8 Schneider to give us a brief discussion, and he
9 represents a number of the small telephone companies
10 in the State of Ohio, ask them to give us a brief
11 discussion of their position.

12 MR. SCHNEIDER: Mr. Taylor, I filed on
13 behalf of some six telephone companies, all of which
14 have three or less exchanges, notices that we would
15 intend to concur in the tariffs that have been filed,
16 but we have not specified a particular tariff.
17 It's difficult to do so for each of the companies
18 at this stage since none of the company people have
19 really had a chance to look over the tariffs that
20 were filed by anyone other than the Bell tariff.

21 Of course, some of these companies are on
22 average schedules and others have cost studies and
23 traffic studies that are necessary to determine their
24 costs.

25 In asking me to make a statement you asked

1 what considerations these companies would look to
2 in determining which of the tariffs they would concur
3 in, and I think there are varying considerations
4 between the companies. Some companies are lower-
5 cost and would not be interested in pooling. There are
6 several other ones that would be in all probability,
7 high-cost companies, and would very definitely be
8 interested in the pooling arrangement so that their
9 customers would not have the rates unduly raised and
10 be too much of a shock.

11 A number of companies would be required to
12 file exception no matter what tariff they concurred in
13 since the tariff as proposed by Ohio Bell and the
14 others provide for many features that would not be
15 available to a small exchange company to provide.
16 It would require certain considerations on those
17 tariffs because they couldn't provide that type of
18 service.

19 They are all basically interested in the
20 methodology for determining the settlements or the
21 division of revenues and, of course, the other main
22 consideration will be the various numbers that go
23 into the tariffs as their methodology determines.
24 Thank you.

25 EXAMINER TAYLOR: For the six independents

1 which you represent, would it be fair to characterize
2 that most of those independents are waiting the
3 actual numbers to determine which tariff would be
4 most advantageous for them to concur in?

5 MR. SCHNEIDER: Yes, that certainly is a
6 major consideration.

7 EXAMINER TAYLOR: How would those companies,
8 if you can answer as the counsel, propose to file
9 concurrences in whatever tariff they chose to concur
10 with?

11 MR. SCHNEIDER: How do you mean? Do you
12 mean what would go into their thinking or --

13 EXAMINER TAYLOR: No. Legally how would
14 you propose to concur in the tariffs of any of the
15 other companies?

16 MR. SCHNEIDER: We would hope that it
17 could be done by filing a concurrence. If it's neces-
18 sary to file particular applications for that I
19 believe it would be done, probably as all the rest of
20 the companies have to handle it, as first filing or
21 as an emergency rate situation.

22 MR. YUTKIN: How would the six companies
23 you represent be affected or not affected by the
24 creation of general market areas for the State of
25 Ohio, and would they even understand the system if

1 it was developed?

2 MR. SCHNEIDER: I don't believe they would
3 be particularly affected. Their service area is very
4 limited and there could be some effect in some cases
5 where they are close to the boundary of whatever areas
6 were affected as to what would be determined inter-
7 LATA calling or interservice area calling or intra-
8 service area calling, but most of the companies would
9 not even be in that problem.

10 MR. YUTKIN: Thank you.

11 EXAMINER TAYLOR: Anyone else like to
12 ask any questions of Mr. Schneider?

13 (No response.)

14 EXAMINER TAYLOR: Thank you very much.
15 I originally indicated I asked for representatives
16 from all companies to again come up and serve as a
17 panel and answer any questions. Judging from the
18 number of people left in the room I would assume they
19 may be talking to their own company staff, but is
20 there any desire from anyone to have such a general
21 panel discussion at this point in time? If not I
22 will forego it.

23 Anyone? Just raise your hand if you would
24 like to see such a discussion. If not I will assume
25 that it is unnecessary.

1 (No response.)

2 EXAMINER TAYLOR: Before I give the
3 companies an opportunity to make any final questions or
4 comments I want to give the witness from Ohio Bell
5 an opportunity to address the one question which I
6 asked him at the end of his presentation, and that is
7 if he could summarize the differences in methodology
8 or philosophy between the presentation put on by Ohio
9 Bell and that of the other four companies for the
10 access service tariff.

11 MR. BILLINGHURST: I believe I can do that,
12 although I still have not seen the specifics on any
13 of the tariffs that the other companies have filed.
14 I think that I can at least maybe draw some general
15 conclusions about the differences by the comments that
16 I have heard today and yesterday.

17 First of all as far as I can determine
18 the charges, the access charges that will be billed
19 to carriers will not be different, at least in concept,
20 between what the other companies are asking to have
21 approved versus what Ohio Bell is asking to have
22 approved. Namely, although we have described it in
23 terms of parity with our interstate tariff, they use
24 the word mirroring their interstate tariff. The
25 concept is identical. Namely, whatever carrier access

1 rates are approved by the FCC we must have those exact
2 same rate levels approved by this Commission and
3 that approval must be simultaneous.

4 Now, the method by which I have asked that
5 be done, the mechanics of that process differ to some
6 extent. The method that the independent companies,
7 at least most of them, have indicated is preferable
8 to them can best be described by the word adoption.
9 Namely, there may not even need to be a separate
10 intrastate tariff filed with this Commission in the
11 normal sense of the word if this Commission would
12 see fit simply on an ongoing basis to adopt the inter-
13 state tariff.

14 That process seems to us, at least to me,
15 on reflection to be a very sensible procedure that
16 can be done. Now, Ohio Bell in its language in the
17 filing did not go so far as to use the word adopt,
18 but in principle that is what we mean. We want the
19 rates to be identical and if adoption procedure is
20 the most sensible and practical way to do that, we
21 heartily concur.

22 There seems no point in having two 600
23 page tariffs that are in fact identical, including the
24 rates, but yet one says state and one says interstate.
25 If that is not possible, of course, the other

1 alternatives that we had indicated may be necessary,
2 but we really are in concurrence with the spirit of
3 the notion of adoption.

4 The other major type of charge that has
5 been under discussion in the last two days, namely
6 the end user charges, or also known as the end user
7 common line charges, or as Ohio Bell has described
8 them in their general rate case, a CAS or customer
9 access service charge, there has been much discussion
10 about the residual method of developing that charge.
11 And conceptually Ohio Bell has no problem with that
12 residual method.

13 However, Ohio Bell is in a much different
14 position than most of the independent companies. We
15 are the ones that are the primary carrier for the
16 intraLATA toll and will be so after divestiture.
17 Therefore, we have a responsibility to ourselves and
18 we feel to the other independent companies in Ohio
19 to make sure that those toll rates are such that we
20 do not suffer substantial revenue losses due to
21 uneconomic pricing compared to other carriers that
22 will be competing for intraLATA toll.

23 Therefore, our process could not be simply
24 residual because the residual implies you already
25 know what your intraLATA toll rates are going to be.

1 Therefore, our process had to be interactive. And
2 we said we must at the same time that we follow the
3 spirit of the FCC order, namely moving the non-traffic-
4 sensitive costs away from toll users and onto the
5 true cost causers, which are the exchange users, that
6 the process, although it had to go fairly slow and had
7 to go in steps, we looked at the costs of toll, or
8 should say a cost basis for toll in Ohio, and we
9 in fact did a residual process. We looked at toll rates,
10 combined state toll rates, and we found out that those
11 toll rates had as their basis the equivalent of about
12 \$6 per month per line of non-traffic-sensitive costs
13 loaded into them.

14 Now, we have submitted, Ohio Bell has
15 submitted, cost and revenue data, although it's not
16 1982 basis, that shows the kind of numbers that we are
17 talking about and if they are divided by the number
18 of lines you can clearly come up with the \$6 number
19 that we are talking about.

20 Now, we knew that if we are going to move
21 these costs onto the cost causer we had to reduce
22 toll rates at the same time, couldn't do one without
23 the other. The question is which number do you choose,
24 and we knew we couldn't pick \$6 because some of that
25 \$6 was going to be provided, at least on a transitional

1 basis, by carriers through carrier common line
2 charges. At the time we didn't know how much it
3 was, but guessed it might be around \$2.

4 Also the \$4 number, as we indicated, was
5 initially the revenue requirement that the FCC
6 thought reasonable and logical to move in the initial
7 step to the end users. And at the time that we made
8 these decisions that was the information we had to
9 go on.

10 Therefore, we knew that the total amount
11 of uneconomic costs loaded into toll rates from Ohio
12 Bell's basis was about \$6 per line. We felt we had
13 to move some of that over and we chose \$4 for the
14 reasons indicated.

15 We then said, all right, we must keep the
16 total pot of money in Ohio constant, and that led to
17 a 40 percent reduction in toll rates. But doing that
18 the total revenue that was billed from usage and
19 total revenue billed from the total \$4 CALC's by all
20 of the companies in Ohio would precisely equal total
21 revenue being billed by intrastate toll. That was
22 our logic.

23 It is a combination of residual process
24 alluded to by these other companies and our need to
25 make responsible -- take a responsible action relative

1 to intrastate toll rates and the terribly uneconomic
2 prices that they are bearing.

3 The independent companies that talked about
4 their residual process, I have no quibble with the
5 concept. However, most of them started out, or at
6 least some of them, started out with the concept that
7 toll rates are not going to go down. If you start
8 out with that concept certainly you are going to get
9 a very small CALC, or possibly even a negative CALC,
10 although I have a hard time conceiving of that for
11 the interLATA piece. That mathematical calculation
12 still baffles me. For intraLATA piece, yes, if you
13 assume toll rates are not going to go down it's
14 possible to come up with a very small CALC.

15 So in summary I don't see a great difference
16 between what we are proposing in Ohio Bell as far
17 as the tariff structure methodology is concerned and
18 that which most of the independents are proposing,
19 just that we had to take into account some additional
20 factors because of the unique nature of Ohio Bell in
21 the state toll business in Ohio. That is the best
22 way I can answer your question.

23 EXAMINER TAYLOR: Thank you. Anyone else
24 like to make a final comment? Yes, sir.

25 MR. DINSMORE: I would like to make a

1 couple comments at least in relation to some of
2 our thoughts based upon some of the comments we have
3 heard. First of all I would like to answer the
4 gentleman from the BOC on how the residual pricing
5 approach took place.

6 I think one of the things the BOC
7 company has to recognize is we made the assumption
8 that the compensation would remain constant. There-
9 fore, when we residually priced under the access charge
10 method that is how we came up with the CALC at the
11 level we ended up with. If you don't have traffic
12 volumes as say General or maybe one of the other
13 companies, certainly your CALC is going to increase
14 under residual pricing. The first thing I would like
15 to say is we assume compensation would stay the same.

16 As far as some other points that were made
17 today I would like to point out, number one, General
18 does not propose or does not support a premium on
19 BOC. We don't see any necessity for premium on the
20 BOC. We don't see where they have superior access
21 for intraLATA purposes, no different access than we
22 do. And, frankly, we would see that that premium
23 would have to be absorbed by all the intraLATA cus-
24 tomers.

25 Another thing I would like to make comments

1 about is that we are very, very concerned about the
2 subject of toll restriction. We made a commitment
3 to provide the Staff the information and I would like
4 to reiterate the fact that I think the Commission must
5 recognize that if you were to implement toll restric-
6 tion that the interstate costs for that portion of
7 the toll that would be restricted would be a revenue
8 loss to the company. That is a loss of revenue
9 contribution as well as additional investment that
10 would be incurred which would also mean additional
11 increase.

12 Really I don't think it's necessary to
13 look at toll restriction for one simple reason; that
14 is from the standpoint that we don't believe that
15 there is going to be that much repression occur on
16 our customers as a result of the access charges.

17 As far as some responses for the high-cost
18 factor and high-cost companies, I would like to make
19 the point that while, yes, the implementation date
20 under the Joint Board proposal is 1-1-86, there is
21 some discussion that it is very possible that the
22 high-cost factor could be implemented on 1-1-84, and
23 does consider the total state cost, not just inter-
24 state cost.

25 But I would also like to point out in

1 response to one of the independent's concerns that
2 from a pooling standpoint we want to keep business
3 as usual. General's proposal is somewhat between
4 keeping business as usual and recognizing there is
5 a necessity to change the way we do business. We cer-
6 tainly can't afford, or any companies here cannot
7 afford, to continue burdening each other, nor expect
8 that a particular company should be compensated for
9 every cost that they have by other companies. At some
10 point in time the umbilical cord has to be snipped.
11 We don't agree that from this point forward we need
12 to go through that type of arrangement.

13 As far as tariff filings are concerned,
14 I would like to point out that it is extremely
15 important to General that we recognize from this
16 point forward what procedurally are we being asked to
17 do as far as implementing the tariffs. Because we
18 are somewhat concerned, at least some of the questions
19 that we received, if indeed we are going to have to
20 file a rate case or not.

21 And I do want to clarify one thing. This
22 support of the AT&T surcharge does not recognize--
23 the superior access of AT&T is not the reason for
24 General's proposal of the AT&T surcharge. The reason
25 for that is to recognize the fact that there was a

1 subsidy previously between the long haul and short
2 haul toll routes, and to the extent that revenue
3 can be a source to help the companies and the concerns
4 of some of the smaller independents then it should be
5 levied. It may not be necessary for this Commission
6 to levy that if it goes through as a usage surcharge
7 and mirrored for intrastate purposes.

8 I think the only last question we would
9 have is procedurally where we are going with this.
10 Thank you.

11 EXAMINER TAYLOR: Any other questions?
12 Comments?

13 MR. INMAN: If I may just ask a question
14 of Mr. Billinghamurst. I am kind of confused --
15 Karl Inman, represent the Ohio Association of Radio
16 Common Carriers.

17 Just a question on the adoption method
18 of mirroring, just trying to take this down looking
19 at the technologies that are involved in interstate
20 toll network versus intrastate toll network, maybe
21 microwave versus the one carrier, or whatever, these
22 kind of concepts.

23 Is it possible by a wholesale adoption
24 of an interstate tariff that you feel you can't
25 get a fair and reasonable compensation for intrastate

1 or intraLATA toll network? Is that possible?

2 MR. BILLINGHURST: That is a good question
3 and I think that points out some of the difficulties
4 understanding exactly what access charges are. You
5 talked about interstate toll network, so on, unless
6 I am mischaracterizing your statement.

7 Access charges don't include any of that.
8 Access charges are essentially recovering a cost
9 for our local network, a piece of which has tradi-
10 tionally been used to feed calls into interstate or
11 intrastate toll network. The access charge tariff
12 again is only recovering that portion of our local
13 network and that is identical, doesn't matter whether
14 the call goes from Columbus to Cleveland or from
15 Columbus to New York, getting it from the end user
16 to the point in Columbus or makes the call --
17 essentially makes that decision, those calls are
18 identical. And because of that the mirroring concept
19 is absolutely logical and anything else is illogical.

20 EXAMINER TAYLOR: Any other questions?
21 Any summary remarks anyone wishes to address?

22 (No response.)

23 EXAMINER TAYLOR: In response to the
24 gentleman's question asked as to what the next step
25 will be procedurally in this docket, I will indicate

1 that at present the Commission plans, absent some
2 unforeseen delay, in issuing an entry or an order
3 outlining the procedural steps which they deem
4 appropriate by the end of this month. Something may
5 come up, but, however, I hope it's close to that.

6 Anything else, gentlemen?

7 MR. BILLINGHURST: One more statement that
8 I would like to make on behalf of Ohio Bell. The
9 other companies I think commented extremely well on
10 this issue. But the more that the questions occurred
11 the more it bothered myself and the other folks from
12 Ohio Bell, and that is the issue of the potential of
13 a toll restriction.

14 And conceptually it may sound like a very
15 attractive thing to do, it may even sound like it's
16 something fair to do, but I would hope that the
17 kind of presentations that have been made here and
18 kind of information that has been in Dock 78-72 and
19 other information that has been submitted to the
20 Commission clearly shows that the costs that are
21 trying to be recovered through end user charges are
22 not toll costs, they are the costs of the non-traffic-
23 sensitive costs of local service that are going to
24 be there and are there and what remain there whether
25 or not someone artificially restricts a person in

1 making a toll call.

2 The costs that we are trying to recover
3 are already there whether you ever make a toll call
4 or not. And we are saying if you don't make the
5 end user who causes those costs to occur eventually
6 pay for those costs then someone else has to pay for
7 those end users who you have sheltered from this
8 cost recovery. It has nothing to do with them making
9 toll calls at all. The cost is there, it's being
10 incurred and it will be there. And essentially what
11 you are doing, and maybe this is your intention, just
12 want to clear it up, you apparently want to continue
13 providing this subsidy but I want to make clear it's
14 a subsidy. The cost is still there. I think what
15 you are talking about is spreading it to someone else.
16 Thank you.

17 COMMISSIONER SCHRIBER: I think we understand
18 that fairly well. We have also somewhat different
19 perspective. While we may agree on what is efficient,
20 sometimes other forces dictate that instead of pursuing
21 efficiency sometimes we are looking at pursuing the
22 less efficient way of doing something. So we will
23 see how it falls out. We do understand what you are
24 saying.

25 EXAMINER TAYLOR: I would also point out

1 that the fact that the Staff made inquiry as to the
2 companies' positions on certain items should not be
3 viewed as indicating Staff is either favoring or
4 opposed to the question, but rather simply information-
5 gathering.

6 Anything else?

7 (No response.)

8 EXAMINER TAYLOR: If not this conference
9 is concluded. Thank you very much.


10 - - -

11 Thereupon, at 2:20 o'clock, P.M., the
12 conference was concluded.

13 - - -

CERTIFICATE

I do hereby certify that the foregoing is
a true and correct transcript of the proceedings taken
by me in this matter before the Public Utilities
Commission of Ohio on August 11, 1983, and carefully
compared with my original stenographic notes.


Michael O. Spencer, Registered
Professional Reporter

- - -

INDEX

<u>PRESENTATION AND EXAMINATION</u>	<u>Page</u>
Examination of Mr. Adkisson	
By Mr. Yutkin	2, 26
By Examiner Taylor	18
UNITED TELEPHONE PRESENTATION	27
Examination of Mr. Myers	
By Mr. Yutkin	38, 45
By Examiner Taylor	42
CINCINNATI BELL PRESENTATION	48
Examination of Mr. Stropes	
By Mr. Yutkin	52
By Mr. Inman	56
MID-CONTINENT PRESENTATION	65
Examination of Mr. Case	
By Mr. Yutkin	73
SIX INDEPENDENT COMPANIES' PRESENTATION	79