

52 East Gay St.  
PO Box 1008  
Columbus, Ohio 43216-1008

614.464.6400 | [www.vorys.com](http://www.vorys.com)

Founded 1909

Lija Kaleps-Clark  
Direct Dial (614) 464-8231  
Direct Fax (614) 719-4658  
Email [lkalepsclark@vorys.com](mailto:lkalepsclark@vorys.com)

April 13, 2012

Ms. Barcy F. McNeal, Secretary  
Public Utilities Commission of Ohio  
180 E. Broad St., 11<sup>th</sup> Floor  
Columbus, Ohio 43215-3793

Re: Case No. 10-2929-EL-UNC  
*In the Matter of the Commission Review of the Capacity Charges of Ohio  
Power Company and Columbus Southern Power Company.*

Dear Ms. McNeal:

Please find attached a copy of the transcript of the deposition of William Allen.

Very truly yours,



Lija Kaleps-Clark

BEFORE THE PUBLIC UTILITIES COMMISSION OF OHIO

- - -

In the Matter of the :  
Commission Review of the :  
Capacity Charges of Ohio : Case No. 10-2929-EL-UNC  
Power Company and Columbus:  
Southern Power Company. :

- - -

DEPOSITION

of William A. Allen, taken before me, Karen Sue  
Gibson, a Notary Public in and for the State of Ohio,  
at the offices of Porter, Wright, Morris & Arthur,  
LLP, 41 South High Street, Columbus, Ohio, on  
Tuesday, April 10, 2012, at 9 a.m.

- - -

ARMSTRONG & OKEY, INC.  
222 East Town Street, Second Floor  
Columbus, Ohio 43215-5201  
(614) 224-9481 - (800) 223-9481  
FAX - (614) 224-5724

- - -

APPEARANCES:

Porter, Wright, Morris & Arthur, LLP  
By Mr. Daniel R. Conway  
41 South High Street  
Columbus, Ohio 43215

On behalf of the Ohio Power Company and  
Columbus Southern Power Company.

Jones Day  
By Mr. David A. Kutik (via telephone)  
North Point  
901 Lakeside Avenue  
Cleveland, Ohio 44114

FirstEnergy Service Company  
By Mr. Mark A. Hayden (via telephone)  
76 South Main Street  
Akron, Ohio 44308

On behalf of the FirstEnergy Service  
Corporation.

Duke Energy Ohio, Inc.  
By Ms. Jeanne W. Kingery  
and Ms. Amy Spiller (via telephone)  
155 East Broad Street, 21st Floor  
Columbus, Ohio 43215

On behalf of the Duke Retail Sales and  
Duke Energy Commercial Asset Management.

McNees, Wallace & Nurick, LLC  
By Mr. Frank Darr  
Fifth Third Center, Suite 1700  
21 East State Street  
Columbus, Ohio 43215-4228

On behalf of the Industrial Energy Users  
of Ohio.

- - -

## 1 APPEARANCES: (Continued)

2 Vorys, Sater, Seymour & Pease, LLP  
3 By Mr. M. Howard Petricoff  
4 52 East Gay Street  
P.O. Box 1008  
Columbus, Ohio 43216-1008

5 On behalf of the Exelon Generation  
6 Company, Constellation NewEnergy, Inc.,  
7 Constellation Energy Commodities Group,  
Inc., Retail Energy Supply Association,  
and Direct Energy.

8 Office of the Ohio Consumers' Counsel  
9 By Ms. Kyle L. Kern,  
Assistant Consumers' Counsel  
10 10 West Broad Street, Suite 1800  
Columbus, Ohio 43215

11 On behalf of the Residential Customers of  
12 Ohio Power Company and Columbus Southern  
Power Company.

## 13 ALSO PRESENT:

14 Mr. Dave Weis, AEP (via telephone).  
15 Mr. Louis D'Alessandris, FES (via telephone).  
16 Mr. Jamie Davis, FES (via telephone).  
17 Mr. Chuck Idle, FES (via telephone).  
18 Mr. Roger Rooke, FES (via telephone).  
19 Mr. Bill North, DER (via telephone).

20 - - -  
21  
22  
23  
24

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

INDEX

- - -

RESA Exhibit

Identified

1 Workpapers

71

- - -

1                   Tuesday Morning Session,  
2                   April 10, 2012.

3                   - - -

4                   WILLIAM A. ALLEN

5       being by me first duly sworn, as hereinafter  
6       certified, deposes and says as follows:

7                   EXAMINATION

8       By Mr. Kutik:

9               Q.    Mr. Allen, if you could speak up, I would  
10       appreciate it.

11           A.    Okay.

12           Q.    Thank you. Mr. Allen, if I refer to your  
13       rebuttal testimony in the ESP -- in the ESP II case,  
14       do you know what I'm referring to?

15           A.    I don't recall if I filed one piece or  
16       two pieces of rebuttal testimony, but I recall filing  
17       rebuttal testimony in the case.

18           Q.    You remember taking the stand in the ESP  
19       II case during the rebuttal phase of that case,  
20       correct?

21           A.    Yes, I do.

22           Q.    Since the time when you took the stand to  
23       provide rebuttal testimony in that case, I want to  
24       talk to you about your experience since then. Do you

1 understand the timeframe I'm talking about?

2 A. Generally, yes.

3 Q. Okay. Now, since that time have you had  
4 any interaction with CRES providers?

5 A. Yes, I have.

6 Q. Tell me what interaction you've had.

7 A. I've had various interactions with CRES  
8 providers dealing with a variety of issues regarding  
9 customer switching, the detailed implementation plan,  
10 things of that nature.

11 Q. In other words, you have been dealing  
12 with CRES providers with respect to the  
13 implementation of the detailed implementation plan?

14 A. As well as other matters, regular  
15 customer switching independent of the implementation  
16 plan, just switch dates and the like.

17 Q. And what would cause you to have  
18 interaction with a CRES provider regarding customer  
19 switching?

20 A. Generally if the issue was more  
21 complicated and had some questions of policy, I would  
22 be involved.

23 Q. Would the nature of the interaction be  
24 discussions, e-mails, and that type of thing?

1           A.     Generally discussions, occasionally an  
2     e-mail would be sent to me by a CRES provider,  
3     generally my responses were through teleconferences  
4     with those CRES providers.

5           Q.     Okay.  And which CRES providers do you  
6     recall having dealings with either on the issue of  
7     the detailed implementation plan or customer  
8     switching?

9           A.     I've had discussions with FirstEnergy  
10    Solutions, Noble.  Those are the two that I've had  
11    the most discussions with.  I may have had  
12    discussions with -- with others.  I've had some  
13    discussions with at least one broker so a variety of  
14    individuals.  I don't recall all of the individuals  
15    I've had discussions with though.

16          Q.     Okay.  When you say individuals, what  
17    does that mean?

18          A.     Individual CRES providers or the  
19    individuals representing those CRES providers.

20          Q.     But the only CRES providers you can  
21    recall today is -- are FES and Noble?

22          A.     No.  I've met with a couple of CRES  
23    providers that are represented by RESA.  I just don't  
24    recall the names of those CRES providers.



1           Q.    Okay.  Again, the only names you can  
2   recall are FES and Noble.

3           A.    I know I've had discussions with Teresa  
4   Ringenbach and the CRES that she provides so that  
5   would be an additional.

6           Q.    She works for a company called Direct  
7   Energy; is that your understanding?

8           A.    I don't recall.

9           Q.    Does Direct Energy ring a bell?

10          A.    I know Direct Energy is a CRES provider  
11   that serves load in the AEP Ohio service territory.

12          Q.    But you can't recall whether -- whether  
13   Ms. Ringenbach works for Direct Energy?

14          A.    As I previously indicated, I don't  
15   recall.

16          Q.    Okay.  Have you -- well, back up.

17                If I mention an entity or refer to an  
18   entity AEP Retail, do you know what I'm talking  
19   about?

20          A.    Yes.

21          Q.    What -- what do you understand AEP Retail  
22   to be in the business of doing?

23          A.    AEP Retail is a CRES provider in the  
24   state of Ohio.

1           Q.    Have you had any discussions with anyone  
2           from AEP Retail since you took the stand in the  
3           rebuttal phase of the ESP II case?

4           A.    Not in regard to their provision of CRES  
5           service in the state of Ohio.

6           Q.    Okay.  In regard to what then?

7           A.    In my role representing Indiana Michigan  
8           Power in the State of Michigan I've had discussions  
9           with individuals from AEP Retail regarding their  
10          status as an AES in the State of Michigan.

11          Q.    AES stands for what?

12          A.    Alternative energy supplier.  It's  
13          analogous to a -- or similar to what the status of a  
14          CRES provider in the state of Ohio.

15          Q.    Have you -- have any CRES providers since  
16          the time you took the stand in the rebuttal phase of  
17          the ESP II case talked with you about their  
18          strategies for pricing their products?

19          A.    Not that I recall.

20          Q.    Have any CRES providers in this time  
21          talked with you about the headroom that they may or  
22          may not have in Ohio?

23          A.    Not that I recall.

24          Q.    Have any -- any CRES providers provided

1     you with any information regarding generally their  
2     strategies for approaching the retail market within  
3     AEP Ohio?

4             A.     No.

5             Q.     Have you participated in any auction for  
6     retail load on behalf of AEP?

7             A.     I'm sorry. Did you say auction?

8             Q.     Yes.

9             A.     No, I have not.

10            Q.     Or any type of competitive bidding  
11     process.

12            A.     Competitive bidding process for the  
13     provision of electric service?

14            Q.     Yes.

15            A.     No, I have not.

16            MR. CONWAY: Dave, this is Dan Conway.  
17     Are you going to take a roll-call for the conference  
18     bridge at some point?

19            MR. KUTIK: Sure. If you would like to  
20     do that now, we can do that.

21            MR. CONWAY: Okay. I'm sorry to  
22     interrupt you.

23            MR. KUTIK: No problem. Thank you for  
24     doing that.

1 Well, who is in the room with you? Let's  
2 start there.

3 MR. CONWAY: Dan Conway with Mr. Allen on  
4 behalf of AEP Ohio.

5 MR. PETRICOFF: Howard Petricoff on  
6 behalf of RESA, Exelon, and Constellation.

7 MS. KERN: Kyle Kern for the Ohio  
8 Consumers' Counsel.

9 MS. KINGERY: Jeanne Kingery for Duke  
10 Energy Retail Sales and Duke Energy Commercial Asset  
11 Management.

12 MR. KUTIK: All right. And on the phone.

13 MR. HAYDEN: This is Mark Hayden on  
14 behalf of FirstEnergy Solutions.

15 MR. WEIS: David Weis with American  
16 Electric Power.

17 MR. ROOKE: Roger Rooke, Lou  
18 D'Alessandris, and Jamie Davis with FES.

19 MR. DARR: Frank Darr, IEU-Ohio.

20 MS. SPILLER: Amy Spiller, Duke Energy  
21 Retail, Duke Energy Commercial Asset Management.  
22 With me is Bill North, Duke Energy Retail.

23 MR. IDLE: Chuck Idle representing FES.

24 MR. CONWAY: And could -- with Lou

1 D'Alessandris I thought I heard there were two other  
2 people. Could you repeat their names for me.

3 MR. KUTIK: Roger Rooke and Chuck Idle  
4 and Jamie. I'm not sure of Jamie's last name.

5 MR. DAVIS: Davis.

6 MR. KUTIK: Davis, thank you, Jamie.  
7 Sorry.

8 MR. CONWAY: Okay. Thank you.

9 MR. KUTIK: Okay?

10 Q. (By Mr. Kutik) Mr. Allen, you have made  
11 some assumptions with respect to shopping in the  
12 future, correct?

13 A. That's correct and I've outlined that in  
14 my testimony.

15 Q. Are you aware of any forecast that AEP  
16 has made with respect to shopping?

17 A. Yes.

18 Q. And have you reviewed those forecasts?

19 A. Yes, I have.

20 Q. Are those -- have those forecasts been  
21 made for the -- any purpose other than this case, for  
22 the ESP II case?

23 A. Yes. They were provided for the  
24 company's financial forecast.

1           Q.    What level of shopping has the company  
2           forecasted for 2012?

3           A.    The most recent forecast of shopping for  
4           2012 that the company has prepared is the forecast of  
5           shopping that I developed and included in my  
6           testimony.

7           Q.    Okay.  And is that the only forecast the  
8           company has developed for 2012?

9           A.    That's the most recent forecast the  
10          company has prepared.

11          Q.    Okay.  That wasn't my question.

12          A.    The company has prepared various  
13          forecasts of shopping levels for 2012 that would have  
14          been prepared in the past based upon different  
15          assumptions around the pricing of capacity for CRES  
16          providers.  There would have been a forecast  
17          developed that was consistent with the Commission's  
18          order in the ESP II case.

19          Q.    All right.  You said there was a forecast  
20          done for the company's financial forecast, correct?

21          A.    That's correct and that's the forecast  
22          that's included in my testimony.

23          Q.    Okay.  Let me direct you to Exhibit WAA-2  
24          in your testimony in this case.

1           A.    I see that.

2           Q.    Explain to us the difference between  
3 pending and noticed.

4           A.    I think it's probably helpful if we start  
5 with the first one.  Switched is customers who have  
6 actually switched and are being served by a CRES  
7 provider.  Pending are customers that are in the  
8 process of switching to a CRES provider so an EDI  
9 transaction has been submitted to the company and a  
10 switch is imminent.  It's just awaiting the next  
11 billing cycle or the point at which the customers can  
12 switch.  And the noticed column represents those  
13 customers that have submitted a 90-day notice to the  
14 company of their intent to switch or an affidavit  
15 that they have a contract with a CRES provider for  
16 service.

17          Q.    And do you have figures with respect to  
18 the number of customers that this -- that each of the  
19 boxes on WAA-2 represents?

20          A.    Yes, I do.

21          Q.    All right.  Can you go through that with  
22 us, please?

23          A.    I don't have that data with me today.

24          Q.    Okay.  What information do you have with

1       you today?

2               A.     I have my testimony including Exhibits  
3       WAA-1 and WAA-2.

4               Q.     Anything else?

5               A.     No.   That's all I have with me.

6               Q.     You don't have any workpapers with you?

7               A.     No, I do not.

8               Q.     Do you have any interrogatory responses  
9       that you sponsored?

10              A.     No, I do not.

11                   MR. CONWAY:   Dave, I've got the  
12       workpapers.   He's got two workpapers.   If you want to  
13       ask him questions about the workpapers, I do have  
14       those with us so.

15                   MR. KUTIK:   All right.   I appreciate  
16       that.   If we need to dig up the interrogatories, I'm  
17       sure you can help with that as well.

18                   MR. CONWAY:   Well, I don't know if I can,  
19       but at any rate we'll deal with that.   I don't think  
20       I've seen any interrogatories.

21               Q.     (By Mr. Kutik) Mr. Allen, on page 4 of  
22       your testimony -- are you there?

23               A.     Yes, I'm there.

24               Q.     You list a number of assumptions,



1 correct?

2 A. That's correct.

3 Q. You made assumptions go into your  
4 calculations of the impact as you see it of what  
5 would happen if the Commission adopted RPM-based  
6 capacity pricing as the state compensation mechanism,  
7 correct?

8 MR. CONWAY: I'm sorry. Could you read  
9 that question back for me.

10 (Question read.)

11 A. That's one of the assumptions that I used  
12 in that analysis and one of the conclusions but  
13 there's also a set of other assumptions that were  
14 incorporated into that analysis and those are listed  
15 in the first set A through G. The second set of  
16 assumptions A through C detail the analysis that was  
17 done based upon the Commission's rejection of the  
18 stipulation relating to the pricing of capacity and  
19 developed a forecasted earnings assuming that all  
20 shopped load is priced out at RPM as we charge CRES  
21 providers for use of AEP's capacity.

22 Q. So assumptions A through G that appear on  
23 page 4 of your testimony are assumptions relating to  
24 the rejection of the stipulation?

1           A.    Related to all elements of the rejected  
2 stipulation with the exception of the capacity  
3 pricing provisions of the stipulation.

4           Q.    And, for example, one of those  
5 assumptions is the 23 percent of customer load  
6 switched in 2012 and 36 percent in 2013 with capacity  
7 cost recovery based upon RPM pricing. What is the  
8 23 percent based on?

9           A.    23 percent is the estimate of customer  
10 shopping that would have occurred in 2012 and  
11 received RPM-priced capacity based upon the  
12 Commission's order on December 14 as further defined  
13 in the detailed implementation plan that the company  
14 filed on December 28 of 2011.

15          Q.    Where did the 23 percent come from?

16          A.    The 23 percent is a combination of the  
17 21 percent of residential, commercial, and industrial  
18 shopping that was allowed under the Commission order  
19 at RPM-priced capacity plus an additional increment  
20 for non-mercantile governmental aggregation occurring  
21 above the cap to the extent necessary or above the  
22 21 percent to the extent necessary.

23          Q.    And do you know what that represented in  
24 terms of load, that non-mercantile government

1 aggregation that was incremental above 21 percent?

2 A. Not as I sit here today.

3 Q. Would that be shown on your workpapers?

4 A. No.

5 Q. Do you have workpapers that show that?

6 A. Not that I prepared in support of this  
7 case.

8 Q. Do you have workpapers at all for any  
9 purpose that show what that amount of incremental  
10 non-mercantile government aggregation load is?

11 A. I have analysis that develops that. I  
12 wouldn't characterize them as workpapers but there is  
13 analysis that supports that.

14 Q. Okay. Is this an analysis you did?

15 A. Yes.

16 Q. Okay. Is that analysis in writing or  
17 at -- part of an electronic spreadsheet?

18 A. I know that it was at one point in time.  
19 Whether that information was retained or not I don't  
20 recall at this juncture.

21 Q. All right. When's the last time that you  
22 saw it?

23 A. It would have been in late 2011.

24 MR. KUTIK: Dan, I believe that those --

1 that's in the nature of workpapers and should have  
2 been produced so we will ask for that to be produced,  
3 please.

4 MR. CONWAY: Well, you know, you've made  
5 your request and, you know, I'll respond to it, but  
6 he supplied all the workpapers that he believes  
7 relate to his testimony so we think that our  
8 production is complete.

9 MR. KUTIK: All right. Well, I  
10 understand your testimony but here's a number he  
11 can't give us and it's obviously in writing somewhere  
12 and should have been produced.

13 MR. CONWAY: Well, I mean, I disagree  
14 with your characterization without degenerating into  
15 an argument --

16 MR. KUTIK: I think we understand each  
17 other's positions.

18 MR. CONWAY: Yeah. Okay.

19 Q. (By Mr. Kutik) Let me now have you turn  
20 to the next assumption under A at the top of page 4  
21 in your testimony, specifically the assumption of  
22 36 percent for customers switching in 2013. Is that  
23 also based upon the contemplated switching under the  
24 stipulation that allowed 31 percent RPM pricing and

1 then an additional increment representing incremental  
2 non-mercantile government aggregation load?

3 A. No.

4 Q. How did you get to the 36 percent?

5 A. I took the RPM-priced capacity set-aside  
6 of 31 percent that was provided in the -- provided  
7 for in the Commission's order in December of 2011 and  
8 added to that in incremental 5 percent related to  
9 governmental aggregation per the Commission's  
10 December -- December, 2011, order.

11 Q. What did that 5 percent represent?

12 A. An estimate of the non-mercantile load in  
13 those governmental aggregation communities.

14 Q. Where did that estimate come from?

15 A. It was an estimate that I developed.

16 Q. How did you go about making that  
17 estimate?

18 A. I looked at the load in those communities  
19 that had passed governmental aggregation and  
20 estimated a participation rate -- or, I'm sorry, in  
21 that analysis we would have assumed that all those  
22 communities participated fully because it was the  
23 November election communities. So I looked at the  
24 load in those communities to estimate how much load

1 would be above the 31 percent.

2 Q. Okay. So you just assumed all the load  
3 in the November communities would participate.

4 A. That's my recollection but I would have  
5 to look at that analysis more closely. It's been  
6 quite a while since I developed that.

7 Q. Okay. And where would you go to look at  
8 that analysis?

9 A. I would look in my records.

10 Q. Okay.

11 MR. KUTIK: We ask that that analysis be  
12 produced.

13 MR. CONWAY: And my response is the same  
14 as before.

15 MR. KUTIK: Now, I just want to make  
16 sure, Dan, are you saying you are not going to  
17 produce it, or you are taking it under advisement?

18 MR. CONWAY: I said I would take it under  
19 advisement. He produced the workpapers that he  
20 believed related to his testimony so we believe that  
21 that production is sufficient and complete so. But  
22 we'll take it under advisement, the request. That's  
23 what I mean when I say my answer is the same.

24 MR. KUTIK: Okay. I just wanted to make

1       sure whether we have to take this to the Attorney  
2       Examiner. We're not there yet, correct?

3               MR. CONWAY: That's correct.

4               Q.     (By Mr. Kutik) Now, with respect to the  
5       assumption of 23 percent for 2012, you show in  
6       Exhibit WAA-2 that 36 percent of the load is already  
7       switched or is pending or has notice to switch,  
8       correct?

9               A.     That's correct.

10              Q.     So have you prepared an analysis which  
11       has -- which instead of using 23 percent customer  
12       load in 2012 shows 36 percent of the load in 2012?

13              A.     No. What I've prepared is an analysis  
14       which is included in Exhibit WAA-1 that includes my  
15       estimate of customer shopping that will occur  
16       throughout the remainder of 2012 and into 2013.

17              Q.     But my question is did you do an analysis  
18       showing 36 percent shopping in 2012?

19              A.     No. And that would be an inappropriate  
20       analysis.

21              Q.     Now, let me have you go to the bottom of  
22       page 4 of your testimony where you refer to an  
23       assumed increase in customer switching to 65 percent  
24       for residential customers, correct?

1           A.    Yes, I see that.

2           Q.    And you assumed that it would be an  
3   increase of -- to 65 percent by the end of 2012 and  
4   that level would continue through 2013; is that  
5   correct?

6           A.    That's correct.

7           Q.    What was the basis for your assumption  
8   that there would be 65 percent switching for  
9   residential customers?

10          A.    The basis of that was a review of  
11   customer switching levels and the speed of customer  
12   switching in the various EDU service territories in  
13   the state of Ohio.

14          Q.    Which EDUs have residential switching at  
15   65 percent of the load?

16          A.    I would have to look at my records, but  
17   the EDUs that I looked at were Duke Ohio, Dayton  
18   Power and Light, Toledo Edison, Ohio Edison, and CEI.

19          Q.    Okay. And which, if any, of those  
20   utilities have switching at the level of 65 percent  
21   of the residential load?

22          A.    As I indicated, I would have to look at  
23   my records. I don't have those here with me today.  
24   That information is publicly available on the PUCO



1 website though.

2 Q. Okay. Do you recall the date of the  
3 information that you reviewed?

4 A. I reviewed the quarterly data on the PUCO  
5 website for the last several years.

6 Q. Okay. What's the most recent date that  
7 you can recall reviewing data for?

8 A. My recollection is it would have been  
9 most likely December of 2011. I think that  
10 information is available. If that information wasn't  
11 available, it would have been the September, 2011,  
12 data.

13 Q. Is it your recollection that with respect  
14 to the five EDUs that you looked at, that most of  
15 them had shopping for residential customers at  
16 65 percent or above?

17 A. I don't recall. I would have to look at  
18 my records.

19 Q. Can you assume that AEP would achieve an  
20 average level of shopping compared to the other EDUs?

21 A. What I looked at is I assumed that AEP  
22 would see a significant level of shopping. It would  
23 see shopping consistent with some of the higher  
24 levels seen in other EDUs due to the significant

1 number of CRES providers that are currently operating  
2 in the state -- or in AEP Ohio's service territory.

3 Q. So would it be fair to say you selected  
4 numbers comparable to the higher range of shopping  
5 compared to the other EDUs?

6 A. I picked a level that I thought was a  
7 reasonable expectation based upon all of the  
8 information I had available.

9 Q. Oh, what I'm trying to understand is did  
10 you pick something that was higher than the average  
11 of the other EDUs?

12 A. I didn't calculate an average. I can't  
13 answer your question.

14 Q. But you expected that -- well, do you  
15 expect that shopping in AEP if -- if capacity prices  
16 were set at RPM-based levels would be as high as in  
17 any other EDU?

18 A. I think my belief -- I know what my  
19 belief is that shopping would increase to 65 percent  
20 based upon the data that I reviewed.

21 Q. That doesn't answer my question.

22 MR. KUTIK: Karen, could you read my  
23 question, please.

24 (Question read.)

1           A.    As I indicated, I don't have the company  
2 specific data in front of me so I can't answer that  
3 question.

4           Q.    Okay. Did you consider when you looked  
5 at the other companies' shopping data for residential  
6 customers how much of that load was government  
7 aggregation load?

8           A.    No, I did not.

9           Q.    Okay. Is that information available from  
10 the data on the PUCO website?

11          A.    There is information on the PUCO website  
12 that shows the amount of load served through  
13 governmental aggregation.

14          Q.    And that's on an EDU basis?

15          A.    That's my recollection.

16          Q.    Okay. Do you know what the current  
17 percentage of residential load covered by government  
18 aggregation within AEP Ohio is?

19          A.    No, I do not.

20          Q.    Now, you also said earlier you also made  
21 some assumptions with respect to the speed of  
22 customer switching. Did I get that right?

23          A.    Yes, that's correct.

24          Q.    And how long did you assume it would take

1 for a customer switching to go from the present  
2 levels to 65 percent for residential customers?

3 A. As I indicated in my testimony on line 1  
4 of page 5, the assumption was it would achieve that  
5 level by the end of 2012.

6 Q. So that it would go from -- residential  
7 switching would go from 9 percent, 10 percent to  
8 65 percent in seven or eight months?

9 A. That's correct.

10 Q. What was that based on?

11 A. Based upon the speed at which I've seen  
12 customer switching in other EDUs that have occurred  
13 through some of the review of data I've done as well  
14 as the fact that there is a significant number of  
15 communities in AEP Ohio's service territory that have  
16 enacted governmental aggregation programs and have  
17 switches pending.

18 Q. Okay. Can you cite me any specific  
19 numbers in terms of rate of switching that you've  
20 seen in other EDUs that supports going from 10  
21 percent to 65 percent in seven, eight months?

22 A. Yes. I've seen data on an aggregate  
23 basis for EDUs, and this is for residential,  
24 commercial, and industrial load, that shows that

1 switching levels can increase by as much as  
2 35 percent of total load in a single quarter.

3 Q. So you've seen EDUs where the total  
4 switching increased by 35 percent.

5 A. That's correct, in a quarter and the --  
6 so you understand exactly what I'm talking about when  
7 I say 35 percent, if the shopping level was 10  
8 percent at the end of one quarter, the shopping level  
9 would be 45 percent at the end of the next quarter.

10 Q. You anticipated my next question. Thank  
11 you. What EDU was that?

12 A. I don't have the data in front of me as  
13 we speak today, but my recollection is it was Duke  
14 Energy Ohio.

15 Q. And what time period was it for?

16 A. I don't recall.

17 Q. But I could go back to Duke  
18 Energy's publicly available data from the PUCO  
19 website, and I would find a quarter where total  
20 switching load increased by an order of magnitude of  
21 35 percent of the load?

22 A. As I indicated, that's my recollection it  
23 was Duke, but it was one of the EDUs in Ohio. And,  
24 yes, if you went back and reviewed that data, you

1 would find an EDU that saw that large of an increase  
2 in a single quarter.

3 Q. Okay. And can you tell me whether it was  
4 in 2012? 2011? 2010?

5 A. I don't recall. I reviewed quite a bit  
6 of data on the PUCO website.

7 Q. Let's turn to another assumption that you  
8 made and that is that there would be an increase of  
9 cus -- commercial switching from about 48 percent to  
10 80 percent. What's the basis for that number?

11 A. The basis is review of customer switching  
12 statistics for various other EDUs within the state of  
13 Ohio as well as the baseline level of shopping we've  
14 already seen in AEP Ohio's service territory.

15 Q. Can you point me to any specific  
16 statistics, sir?

17 A. It would be the same switching statistics  
18 for the EDUs that is publicly available on the PUCO's  
19 website.

20 Q. Okay. So, again, you looked at  
21 commercial switching in other EDUs and came up with  
22 your own determination based upon data achieved by  
23 other EDUs in terms of what might be appropriate in  
24 AEP Ohio?

1           A.    Not what would be appropriate but what  
2           would be my expected level of shopping.

3           Q.    Okay. Fair enough. And would it be --  
4           would your answer with respect to the rate of change  
5           with respect to commercial customers be the same as  
6           it was with respect to residential customers?

7           A.    My assumption is that it would achieve 80  
8           percent by the end of 2012 and remain at that level  
9           throughout 2013.

10          Q.    Now, my question is would you -- is your  
11          assumption that it would rise that rapidly -- based  
12          upon the same assumption you made with respect to the  
13          rise of residential customers, namely, that is, you  
14          saw an EDU having an increase of 35 percentage points  
15          in shopping load in a quarter?

16          A.    That would be one factor in my analysis.  
17          Another factor in the analysis is looking at the  
18          point in time when the RPM prices declined further  
19          from the current level. We are seeing significant  
20          shopping in the commercial class at prices of \$146 a  
21          megawatt day and \$255 a megawatt day at levels in the  
22          \$20 a megawatt day range. The expectation is that  
23          the commercial class would increase more rapidly.

24          Q.    And when you are calling out \$20 per

1 megawatt day, that's for what?

2 A. That's the expected RPM price that will  
3 occur in June of 2012 and I don't have that exact  
4 number in front of me but it's in that range.

5 Q. Okay. So you're expecting that as RPM  
6 prices would go from in the range of 146 to 20, that  
7 there would be more shopping in the commercial  
8 sector?

9 A. That's correct.

10 Q. Let's turn to your assumption with  
11 respect to industrial load and specifically that it  
12 would rise from about 50 percent to 90 percent of the  
13 load. Is it correct to say that this assumption  
14 envisions that all of AEP Ohio's industrial customers  
15 except one would shop?

16 A. No.

17 Q. Okay. Do you know how many industrial  
18 customers would shop if there was 90 percent of the  
19 load shopping?

20 A. I'm not sure I understand your question.  
21 If you're asking what percent of the load would shop  
22 if I assumed 90 percent shopped, it would be  
23 90 percent of the load has shopped and the -- a  
24 single large industrial customer under special



1 contract would not shop.

2 Q. Okay. Well, I guess what I am trying to  
3 understand first is when you say excluding a single  
4 customer, are you excluding that from the total load  
5 to come up with your 90 percent?

6 A. It's 90 percent of the load excluding  
7 that single customer so I deducted that customer's  
8 load from the denominator in determining my  
9 90 percent.

10 Q. Okay. And is that single customer Ormet?

11 A. Yes, it is.

12 Q. And what percentage of the industrial  
13 load for AEP Ohio is represented by Ormet?

14 A. I don't have that number in front of me  
15 today and that information would be confidential  
16 because it would represent an individual customer's  
17 specific load.

18 Q. Okay. Do you have an estimate with  
19 respect to this 90 percent of the load excluding  
20 Ormet in terms of how many customers that would  
21 represent?

22 A. I did not do my analysis on a customer  
23 count basis. I did my analysis on a percentage of  
24 customer load basis.

1 Q. So is your answer you don't know?

2 A. My answer is I didn't do that analysis.

3 Q. Okay. So you don't know.

4 A. I haven't done the analysis so I couldn't  
5 give you a value for that.

6 Q. Okay. And did you come up with the 90  
7 percent number by looking at the industrial shopping  
8 on a load -- on a percentage load basis for other  
9 EDUs?

10 A. Yes, I did. EDUs in the state of Ohio,  
11 yes.

12 Q. Yes. And were there any other factors in  
13 addition to looking at the relative shopping for  
14 other EDUs for industrial load that you considered in  
15 coming up with your 90 percent number?

16 A. Well, as I indicated previously, I looked  
17 at the speed of customer switching that would occur  
18 and I -- that is, previously occurred in other EDU  
19 service territories as well as making an assumption  
20 that the industrial customers who are generally more  
21 sophisticated customers would switch more rapidly  
22 within 2012 than the other classes of customers.

23 Q. Okay. Are there any other factors that  
24 you considered in coming up with your 90 percent

1 industrial load switching number?

2 A. Not that I recall.

3 Q. Did you make any specific assumptions  
4 about industrial mercantile customers, whether they  
5 shopped?

6 A. I assumed that the mercantile industrial  
7 customers did shop. There's -- from a shopping  
8 perspective independent of the aggregation provisions  
9 there's no distinction between mercantile and  
10 non-mercantile customers.

11 Q. So did you assume that all industrial  
12 mercantile customers within AEP Ohio had shopped?

13 A. I didn't make that distinction. I  
14 assumed that 90 percent of all industrial customers  
15 with the exception of Ormet would switch by the end  
16 of 2012 on a load basis.

17 Q. Let me refer you now to another part of  
18 your testimony and let me refer you to page 6 of your  
19 testimony. And you indicate there that -- and  
20 particularly on lines 5 through 7 that 6.8 percent of  
21 the total AEP load switched at \$255 per megawatt day.  
22 Do you see that?

23 A. Yes, I do.

24 Q. And what is that based on?

1           A.    It's based upon review of the company's  
2 records that indicate 3.2 million megawatt hours of  
3 customer load in the service territory was priced at  
4 the second tier of capacity which was \$255 a megawatt  
5 day under the Commission's December order.

6           Q.    So -- so you have the ability to  
7 determine what amount of load was priced at that  
8 price, that is, the 255 price?

9           A.    Yes, that's correct.

10          Q.    Now, would it be fair -- are you aware of  
11 any terms of the contracts other than the price  
12 contract that this -- the 6.8 percent of the load  
13 represents?

14          A.    What I'm aware of is the price that AEP  
15 Ohio charges the CRES provider for the use of the  
16 company's capacity under the stipulation and the load  
17 that is represented under the -- those two pricing  
18 structures, RPM and 255.

19          Q.    Well, let me -- let me try it again. Are  
20 you aware of any terms of the contracts between the  
21 customer and the CRES provider for any of the  
22 customers that represent this 6.8 percent?

23          A.    No. And I think as the CRES providers  
24 have generally represented in responses to discovery

1       they won't provide us that information to do that  
2       analysis.

3               Q.     But you don't know it, correct?

4               A.     That's correct.

5               Q.     Now, if the stipulation had not been --  
6       had not been rejected, would this 6.8 percent be  
7       eligible for RPM-based pricing in 2013?

8               A.     Not all of it, no.

9               Q.     How much would be -- would have been  
10      eligible for RPM-based pricing?

11              A.     In the commercial class it would have  
12      been 31 percent of the total load, and if you look at  
13      Exhibit WAA-2, you can see that there's already  
14      41.44 percent of the commercial class switched so  
15      simple math tells you that 10 percent of that load  
16      would not have received RPM-priced capacity in 2013.  
17      And if we go to 2014 where the value goes to 41  
18      percent, there would be a small percentage,  
19      .44 percent, plus the 2.26 pending that would  
20      continue to pay 255 throughout the entire term of the  
21      ESP.

22              Q.     How much of this 6.8 percent is load  
23      signed up by AEP Retail?

24              A.     I don't know that information or I don't

1 have it in front of me today.

2 Q. Okay.

3 A. I know it for -- it varies by CRES. And  
4 I think it's confidential data that I don't think we  
5 want to talk about here today.

6 Q. Well, okay. You do know information of  
7 how much of the 6.8 percent is broken down by various  
8 CRES providers, right?

9 A. That information is available, yes.

10 Q. Tell me how much of that 6.8 percent --  
11 the number of customers that represents.

12 A. No, I could not.

13 Q. Do you know how that 6.8 percent is  
14 broken down by customer class?

15 A. I don't have that here with me today but  
16 it's -- my recollection is it's largely in the  
17 commercial class has the majority of it with the  
18 additional in the industrial class and obviously  
19 since the residential class is not achieved -- had  
20 not achieved the 21 percent, there was no residential  
21 load that was paying 255.

22 MR. KUTIK: Okay. Well, we would ask  
23 that that information be produced, the breakdown of  
24 6.8 percent by customer class.

1           Q.    Would it be fair to say that none of the  
2   6.8 percent is represented or represents residential  
3   load?

4           A.    As I previously indicated, since the  
5   residential load has not achieved 21 percent  
6   switching on the load basis, there's no opportunity  
7   for a residential customer to pay \$255 per megawatt  
8   day at this point in time so I can't make a  
9   determination as to whether a CRES would be serving a  
10   residential customer at that level.

11           MR. KUTIK:  Karen, can you read the  
12   answer, please.

13                    (Answer read.)

14           Q.    So is it your understanding the  
15   6.8 percent does not represent residential customers?

16           A.    That's correct.  There is no residential  
17   load included in that 6.8 percent.

18           Q.    Thank you.  Let me refer you now to page  
19   6 of your testimony, lines 1 and 2.  And you refer  
20   there, do you not, to an increase in energy prices  
21   over the last several -- seven months for the balance  
22   of 2012 decreasing by approximately \$10 per megawatt  
23   hour or 25 percent, correct?

24           MR. CONWAY:  Could I have that question

1 read back, please.

2 (Question read.)

3 MR. CONWAY: You're referring to I  
4 thought you said lines 11 and 12.

5 MR. KUTIK: On my copy, yes.

6 MR. CONWAY: Okay. And there was a word  
7 "increase" in there, Karen, at the beginning?

8 MR. KUTIK: No. It was decreased.

9 MR. CONWAY: Okay. I just want to make  
10 sure it's clear, that's all. I'm not arguing with  
11 you.

12 A. What I state on lines 11 and 12 is over  
13 the last seven months energy prices in the PJM market  
14 for the balance of 2012 have decreased by  
15 approximately \$10 a megawatt hour or 25 percent.

16 Q. And do you have a workpaper that  
17 indicates how you came up with that number?

18 A. I don't have a workpaper, but I've looked  
19 at data I've drawn that conclusion from.

20 Q. Okay. And what specific data did you  
21 look at?

22 A. It would be Platts market data for -- I  
23 can't recall the start date of the analysis, whether  
24 it was March or April of 2012, but it was from March



1 or April through the balance of 2012 with information  
2 dated -- to the vintage of the data being September  
3 for one analysis and then March being the other point  
4 in time, March of 2012, so that's the seven-month  
5 period that I looked at those two pieces of  
6 information for.

7 Q. And what energy products did you look at?

8 A. It was the ATC swap for the AEP zone.

9 Q. Let me refer you now to your Exhibit  
10 WAA-1.

11 A. Okay.

12 MR. KUTIK: Counsel, if you can show the  
13 witness the workpaper that goes with this exhibit.

14 A. Okay. I have that.

15 Q. Turning to the workpaper there's a number  
16 that appears in the first line of the paper of  
17 \$513 million. Do you see that?

18 A. I see that.

19 Q. What does that represent?

20 A. That represents the projected earnings  
21 before the February order of the Commission so that's  
22 the projected earnings of Ohio -- Ohio Power Company  
23 or AEP Ohio on a merged basis since the merger was  
24 approved so that's the company's estimate of the

1 earnings under the -- under the stipulation in the  
2 Commission's subsequent orders in that case through  
3 the end of 2011 including the Commission's December  
4 order.

5 Q. In your testimony in the ESP I case, do  
6 you recall submitting a proforma financial  
7 projection?

8 A. Yes, I do.

9 Q. And for 2012 the net income ex --  
10 excluding off-system sales was in the neighborhood of  
11 \$534 million?

12 A. I don't recall that. What I -- if you  
13 look to page 5 of my testimony, lines 7 through 13,  
14 you can see that the projected earnings under the  
15 proforma for 2012 were \$499.6 million when off-system  
16 sales margins were included and that would be an  
17 apples-to-apples comparison to the information  
18 presented in Exhibit WAA-1.

19 Q. Well, let's start with my question. The  
20 question is you did a proforma analysis in the ESP II  
21 case which showed 358 -- excuse me, \$353.8 million  
22 excluding off-system sales, correct?

23 A. That's correct.

24 Q. And if you included off-system sales, you

1       come up with your \$499.6 million number, correct?

2               A.     That's correct. And I think the  
3       confusion came when you asked the first question. I  
4       think you indicate my proformas had projected  
5       earnings for 2012 of over \$500 million so I think  
6       that's what caused the confusion in your question.

7               Q.     That wasn't my question but obviously you  
8       were confused by it but can you explain to me how  
9       you -- how you went from 499.6 to 513?

10              A.     It's fairly standard practice in  
11       corporations that various forecasts are performed  
12       over -- over a period of time. The proformas were  
13       prepared in September of 2011 based upon the spending  
14       assumptions and the like that existed at that point  
15       in time.

16                     And then subsequently as more information  
17       became available, the company prepared new forecasts  
18       that produced a number of 513 million based upon, you  
19       know, similar sets of assumptions related to shopping  
20       levels but what it also included were the changes  
21       that came out of the Commission order for, you know,  
22       covering a little bit of governmental agregation that  
23       would have increased the shopping set-asides so it's  
24       just an update of the same type of forecast data.

1 It's very typical for forecasts to change over time.

2 Q. Did you prepare an income statement that  
3 shows the \$513 million number similar to the  
4 proformas that you produced in the ESP II case?

5 A. No, I did not.

6 Q. Do you have a calculation as to how you  
7 arrived at the \$513 million number?

8 A. Yes. I requested that value from our  
9 corporate forecasting group.

10 Q. And was that value derived using a  
11 spreadsheet that you reviewed?

12 A. It was not derived using a spreadsheet.  
13 It was developed using the company's financial  
14 forecasting model, and it's reviewed by a variety of  
15 individuals within the company. I'm generally  
16 responsible for reviewing the regulatory assumptions  
17 that are included in those forecasts and as well as  
18 the shopping assumptions that were included in that  
19 forecast.

20 Q. But were there again any documents which  
21 would display the derivation of the \$513 million  
22 number?

23 A. The company's financial forecast which  
24 has a variety of different inputs and line items was

1       used to develop the \$513 million estimate. I started  
2       with that estimate that was -- or projection that was  
3       prepared by our financial forecasting organization.

4               Q.     So there is some document, spreadsheet,  
5       or calculation that one could -- one could review to  
6       determine or to see how the \$513 million number was  
7       derived, correct?

8               A.     There's a detailed forecast that supports  
9       that value.

10              Q.     Okay.

11              MR. KUTIK: We would request that -- that  
12       document.

13              A.     I would point out that that value doesn't  
14       show up anywhere in my exhibit though.

15              Q.     Now, going back to the testimony that we  
16       were looking at a minute ago of page 5 of your  
17       testimony where you provide the two values that you  
18       had previously derived with respect to the effect of  
19       the stipulation in 2012, would it be fair to say if  
20       we look at the two numbers that are displayed on page  
21       5 in the answer, lines 10 through 13, the effect of  
22       off-system sales is \$145.8 million?

23              A.     That's correct.

24              Q.     Okay. And is that an after tax number?

1           A.    Yes, it is.

2           Q.    And you assumed, would it be fair to say,  
3 a tax rate of -- income tax rate of 35 percent?

4           A.    I don't have that number in front of me.  
5 It would be in that range.

6           Q.    For your calculations on spreadsheet --  
7 on the workpaper that we were reviewing -- back up.

8                   What did you assume with respect to  
9 incremental off-system sales margins for 2012?

10          A.    My recollection is that there were  
11 approximately \$40 million of incremental off-system  
12 sales margins for AEP Ohio.

13          Q.    Okay. Well, I'm going to refer you -- I  
14 know you don't have it in front of you, but I am  
15 going to refer you to interrogatory 1-017.

16          A.    Okay.

17          Q.    Asked "Please provide the prices in  
18 dollars per megawatt hour assumed in AEP Ohio's  
19 motion for relief and request for expedited ruling in  
20 Case No. 10-2929-EL-UNC the lost based generation  
21 revenues, off-system sales margins, and capacity  
22 sales to CRES providers referenced in Mr. Allen's  
23 affidavit filed on March 5, 2012." That's what the  
24 interrogatory is. And listed is "2012 incremental

1       OSS margins of \$44 million." Do you accept that  
2       subject to check?

3             A.    Yes, that sounds reasonable.

4             Q.    Okay. And would that be an after tax  
5       number?

6             A.    No. It would be a pretax number. That's  
7       why there's an income tax line on my workpaper and in  
8       my exhibit.

9             Q.    And can you tell us how the \$44 million  
10       was derived?

11            A.    Yes. The \$44 million was derived by  
12       looking at the expected margins that would be  
13       received by selling the incremental energy available  
14       due to increased shopping levels, the margins that  
15       would be received by selling that energy into the PJM  
16       market.

17            Q.    Okay. Do you know on a dollars per  
18       megawatt hour basis what was assumed?

19            A.    No. The analysis isn't as simple as  
20       that. There isn't a single dollar per megawatt hour  
21       of off-system sales margins related to these sales.  
22       There's -- you have to look at the timing of the  
23       sales, how much of the generation is able to sell  
24       into the market. There's not a single value that's

1 out there. As anyone that is familiar with the PJM  
2 markets knows, there's -- the prices change  
3 constantly and there's a, you know, forward strip  
4 that's out there that changes those prices by month.

5 Q. Okay. What does this represent in terms  
6 of megawatt hours?

7 A. There's a -- the megawatt hours of energy  
8 that are freed up energy from selling the energy in  
9 the market versus selling to retail customers, it's  
10 not a one-for-one relationship. What I did is I  
11 developed the amount of retail sales that would be  
12 expected under the two scenarios and the incremental  
13 margins associated with freeing up that amount of  
14 generation was calculated so.

15 Q. And how -- and what amount of megawatt  
16 hours did you assume would be sold?

17 A. I don't know that value.

18 Q. When you say you don't know that value,  
19 so you don't know it today or it's not knowable?

20 A. It's knowable. It's a calculation that I  
21 didn't perform. These results, as would be typically  
22 done in a financial forecast, various other  
23 organizations are involved in preparing individual  
24 components of the calculation.



1           Q.    So you don't know sitting here today what  
2   the megawatt -- what that represents, that  
3   \$44 million represents, in terms of megawatt hours  
4   sales?

5           A.    In terms of the change in retail sales,  
6   that information is available, and I have that  
7   information not with me today, but as far as sales  
8   into the market, I do not have that information.

9           Q.    Okay. Well, when you say sales into the  
10  market, wouldn't that be what the \$44 million would  
11  represent?

12          A.    It represents the sales in the market  
13  that were made available due to the reduction in  
14  retail load served by AEP Ohio under its SSO.

15          Q.    But not necessarily sales that were made?

16          A.    It would represent the sales that were  
17  made as a result of the change in the retail load  
18  served by AEP Ohio as the SSO.

19          Q.    And -- and is -- is the number of what  
20  megawatt hours sales that represents available or  
21  not?

22          A.    It may be available. I don't have that  
23  value myself.

24               MR. KUTIK: We would request that

1 information.

2 Q. Earlier you told me when we looked at the  
3 numbers that were on page 5 in terms of your previous  
4 projection for income 2012 that the earnings impact  
5 of off-system sales at \$145.8 million was an after  
6 tax number, correct?

7 A. That's correct.

8 Q. And I think you said that you're not sure  
9 exactly the tax income -- the income tax rate that  
10 you assumed on that; is that right?

11 A. That's correct. I prepared that forecast  
12 seven months ago. I would have to look at my  
13 records.

14 Q. All right. So you couldn't say whether  
15 it was 35 percent?

16 A. I couldn't say that as we sit here today.  
17 It would be close to that though.

18 Q. Okay. Well, if we assumed a 35 percent  
19 income tax, would it be fair to say then that the  
20 pretax effect of off-system sales would be in the  
21 nature of -- in the neighborhood of \$224.3 million,  
22 at least subject to check?

23 A. What was your value again?

24 Q. 224.3 million.

1           A.    It doesn't sound right but let me.  Yeah,  
2   \$224 million would be the approximate value.

3           Q.    And what amount of megawatt hours does  
4   that represent?

5           A.    That represents a variety of different  
6   elements.  It includes trading physical sales, other  
7   types of margins that may be out there.  There's not  
8   a -- it's not appropriate to just associate a single  
9   megawatt hour value with that number.

10          Q.    So you couldn't tell me what megawatt --  
11   how many megawatt hours that represents?

12          A.    That's correct.

13               MR. KUTIK:  All right.  Why don't we take  
14   a break at this time.  Take a 10-minute break off the  
15   record.

16               (Recess taken.)

17          Q.    Why don't we go on the record.  Go ahead.

18          A.    I just wanted to correct one item we had  
19   previously discussed.  You asked if I had reviewed  
20   any CRES contracts, and I have reviewed a set of CRES  
21   contracts that were submitted by FirstEnergy  
22   Solutions for the governmental aggregation program in  
23   Reynoldsburg and there were two sets of terms and  
24   conditions that I reviewed related to that contract.

1           Q.    Okay.  Is that it in terms of the  
2   number -- the contracts that you've ever seen?

3           A.    At this point in time, yes.

4           Q.    Okay.  How many CRES providers are  
5   currently active in AEP Ohio?

6           A.    14.

7           Q.    How many CRES providers are currently  
8   active in Ohio Edison?

9           A.    I don't know.  I don't think that  
10   information is publicly available.

11          Q.    So is that you don't know?

12          A.    That's correct.

13          Q.    Okay.  How many CRES providers are active  
14   in Toledo Edison?

15          A.    I don't know.

16          Q.    How many CRES providers are active in  
17   CEI?

18          A.    I don't know.

19          Q.    How many CRES providers are active in  
20   DP&L?

21          A.    I don't know.

22          Q.    How many CRES providers are active in  
23   Duke?

24          A.    Duke Energy Ohio?

1 Q. Yes.

2 A. I don't know.

3 Q. Going back to Exhibit WAA-1, what does  
4 the first line of that represent?

5 A. That first one represents the projected  
6 earnings for AEP Ohio, Ohio Power Company, assuming  
7 two-tiered capacity pricing and assuming that all  
8 other elements of the stipulation were rejected so  
9 that the only remaining piece of the stipulation that  
10 remained was the two-tiered capacity.

11 Q. And so does that -- are you using the --  
12 back up.

13 Did you do an analysis of the -- of the  
14 company's earnings if the Commission's December 14  
15 order in the ESP II case had remained unchanged?

16 A. The analysis that I included in my  
17 workpaper begins with a projected earnings of \$513  
18 million for 2012. That analysis incorporates the  
19 vast majority of the elements of the Commission's  
20 order on December 14 as -- as far as the price -- the  
21 two-tiered pricing capacity that's described in my  
22 December 20 detailed implementation plan so that's  
23 what's reflected there is essentially the  
24 Commission's order on December 14 and the

1 Commission's interpretation of that that was included  
2 in the December 28 detailed implementation plan.

3 Q. Did you derive a figure for the projected  
4 earnings of the company based upon the Commission's  
5 January 23 order in that case?

6 A. No.

7 Q. Why not?

8 A. I didn't prepare one.

9 Q. Okay. Would that order have affected the  
10 company's earnings if that had been put in place  
11 going forward?

12 A. I would have to review the January 23  
13 order. We've had several orders since then, and I  
14 don't recall exactly what elements the January 23  
15 order changed.

16 Q. Okay. Well, do you recall any provisions  
17 in the January 23 order about allowing the inclusion  
18 of mercantile customers in government aggregation  
19 load?

20 A. I don't recall that it was the January 23  
21 order. I do recall that one of the orders included  
22 the mercantile load as part of governmental  
23 aggregation, and I recall that the company filed  
24 information with the Commission showing the

1 quantification of that load.

2 Q. Okay. And the -- when you say  
3 quantification, you are talking about the financial  
4 impact of including that load in governmental  
5 aggregation?

6 A. Both the financial impact and the  
7 quantity in terms of kilowatt hours of load.

8 Q. Okay. And did you participate in the  
9 preparation of those numbers?

10 A. Yes, I did.

11 Q. So you did an analysis of what that would  
12 have -- what effect that would have on the company's  
13 finances, correct?

14 A. I did an analysis of the revenue impact  
15 of the inclusion of the mercantile load. I didn't  
16 prepare a financial forecast of the company including  
17 that.

18 Q. Earlier we had spoken about the  
19 90 percent industrial load shopping figure. Do you  
20 remember that?

21 A. Yes, I do.

22 Q. And is it the case that you don't know  
23 the number of customers that that represents?

24 A. That's correct. My focus has always been

1 on the load, not on customer count.

2 Q. Is that -- is that -- could you determine  
3 what that number is? That is the number of customers  
4 represented by that 90 percent?

5 A. No. It's -- it's dependent upon the load  
6 for each one of those customers that have switched,  
7 and the financial impact on the company is impacted  
8 by the load, not the number of customers that have  
9 switched.

10 Q. But that's not my question. My question  
11 is you've obviously come up with an estimate with  
12 respect to this 90 percent. Is there a way to  
13 determine how many customers that represents?

14 A. No. I've not done that analysis.

15 Q. Well, that's not my question. My  
16 question is is there a way to do that?

17 A. One could develop an analysis to estimate  
18 the number of customers that that represents.  
19 Whether that would be an accurate quantification  
20 would depend on how that person went about that  
21 analysis.

22 Q. How would you do it?

23 A. I haven't thought about that at this  
24 point in time.



1           Q.    Well, I'm asking you now.  How would you  
2 do it?

3           MR. CONWAY:  Objection.  He said he  
4 hasn't done it.  It's not relevant to his analysis.  
5 Why don't you move on.

6           Q.    Well, whether it's relevant or not, how  
7 would you do it, sir?

8           MR. CONWAY:  If you have anything else to  
9 add, you can -- you can go ahead, but after that,  
10 I'll instruct him not to answer and tell you to move  
11 on.

12          A.    I've not thought about how to do that  
13 analysis at this point in time.

14          Q.    So you have no clue?

15          MR. CONWAY:  Objection.  I object.  And  
16 you don't have to answer that question.

17          Q.    But you can't tell me, sir, correct?

18          MR. CONWAY:  He's already answered the  
19 question.  He hasn't done it.  He hasn't thought  
20 about how to do it.

21          Q.    You can provide me no information as to  
22 how one would approach that issue, in other words,  
23 determining how many customers are represented by  
24 90 percent of the industrial load of AEP Ohio; is

1       that fair to say?

2               A.    As I indicated, it's an analysis that  
3       could be done. I've not done it. I have not thought  
4       about what the appropriate methodology would be at  
5       this point in time.

6               Q.    Okay. What data would you look at?

7               A.    I don't know. I haven't thought about  
8       that analysis.

9               Q.    Okay. Is there a list of industrial  
10       customers and their load?

11              A.    The company knows the industrial  
12       customers that we have and the load associated with  
13       each one of those customers.

14              Q.    Okay. And how many industrial customers  
15       does AEP Ohio have?

16              A.    I don't know.

17              Q.    Do you know the number of customers that  
18       AEP Ohio has for any customer class?

19              A.    Not as we sit here today.

20              Q.    Do you know how the number of industrial  
21       customers of AEP Ohio stands relative to the number  
22       of industrial customers of any other EDU in Ohio?

23              A.    No. I have not reviewed that  
24       information.

1           MR. KUTIK: Mr. Allen, I have no further  
2 questions. I'm sure the other attorneys either in  
3 the room with you or on this call may have some  
4 others.

5           MR. CONWAY: I think we have left here  
6 Mr. Petricoff, and I'm not sure if there is anybody  
7 else on the phone. Is Ms. Spiller still on the  
8 phone?

9           MS. SPILLER: Yes, I'm on the phone, and  
10 I'll have just a few questions for Mr. Allen.

11          MR. PETRICOFF: I'm indifferent as to  
12 whether she goes first or I.

13          MR. CONWAY: Is there anyone else besides  
14 Ms. Spiller on the phone who has questions?

15          MR. KUTIK: The other attorney that was  
16 on the phone was Frank.

17          MS. SPILLER: Howard, did you have  
18 questions?

19          MR. PETRICOFF: Yes, I have a few  
20 questions but, Amy, you are welcome to go first. If  
21 not, I would be glad to.

22          MS. SPILLER: I am happy to proceed.

23          MR. PETRICOFF: Okay.

24                                 - - -

## EXAMINATION

By Ms. Spiller:

Q. Mr. Allen, as I identified earlier during your deposition, my name is Amy Spiller, and I am representing Duke Energy Retail and Duke Energy Commercial Asset Management in this matter. Sir, can you tell me how often AEP Ohio updates their switching forecasts for purposes of their financial forecasts?

A. It's prepared on an -- I'm sorry, on an as-needed basis when circumstances warrant such a change.

Q. On average how many times a year is the switching forecast updated for purposes of AEP Ohio's financial forecast?

A. Typically the load forecast for AEP Ohio as well as the other AEP affiliates are developed on a quarterly basis. Within that forecast we would show load that was served by AEP Ohio under its SSO rates as well as shopped load. The underlying assumptions for the percentage of switching may not change within each one of those forecasts, but the most current switching assumptions would be incorporated in those forecasts.

1           Q.    And what is the methodology employed by  
2   AEP Ohio to determine the amount of switching that's  
3   reflected in the forecast?

4           A.    We would look at historical trends as  
5   well as current levels of shopping and shopping  
6   behavior in the various other EDU service territories  
7   in Ohio.

8           Q.    And when you say shopping behavior, you  
9   mean what, sir?

10          A.    The -- the speed at which customer  
11   switching occurs as well as the overall level of  
12   switching that those EDUs arrive at in more of a  
13   steady state basis.

14          Q.    And based upon your review of the  
15   shopping behavior in the service territories of other  
16   distribution utilities, is there -- is customer  
17   switching at a consistent rate among the customer  
18   classes?

19          A.    The percentages of customers switching in  
20   the various EDUs varies by customer class and by EDU.  
21   The general trend as I've reviewed the data indicates  
22   that the industrial class has the highest levels of  
23   switching followed by the commercial class with  
24   residential customers having the lowest level of

1 customer switching and that's consistent with the  
2 data included in my estimate that we have here in my  
3 testimony.

4 Q. For purposes of the work that you are  
5 doing in this case as well as the related ESP cases  
6 for AEP Ohio, do you maintain your own switching  
7 forecast?

8 A. The assumptions that I develop for  
9 customer switching are generally used by other groups  
10 in the company that do some of the more detailed  
11 forecasting analysis so my estimates of customers'  
12 switching behavior are one of the key inputs into  
13 that analysis.

14 Q. Mr. Allen, when you talk about the speed  
15 of customer switching, how do you -- how do you  
16 determine those -- those levels or how did you  
17 determine those levels for purposes of your analysis?

18 A. What I would look at is the percentage of  
19 customer load that switched to a CRES provider in one  
20 quarter, compare that to the level of customer load  
21 that switched to a CRES provider in the prior  
22 quarter, subtract those two values, subtract the  
23 prior value from the current value, divide it by the  
24 prior value, and come up with a percentage change.

1           Q.    So were you looking at a  
2   quarter-to-quarter comparison, or did you do any sort  
3   of trend analysis?

4           A.    I looked quarter by quarter.

5           Q.    Sir, I believe you said in response to  
6   one of Mr. Kutik's questions that it would be  
7   inappropriate to use actual switching percentages in  
8   your analysis. Do you recall that answer?

9           A.    I do recall that answer.

10          Q.    And why would it be inappropriate to use  
11   actual switching percentages?

12          A.    It would assume that the switching  
13   percentages were the same in the past and were the  
14   same in the future. So in his example he asked me if  
15   I did any analysis assuming 36 percent customer  
16   switching and that 36 percent customer switching  
17   that's included in Exhibit WAA-2 is at a single point  
18   in time. You have to look at what the expected level  
19   of shopping is in the future as well. To do  
20   otherwise would assume that there is no change over  
21   time and we all know that not to be true.

22          Q.    For purposes of your analysis you looked  
23   only at the expected year end customer switching  
24   levels for 2012, correct?

1           A.    No, that's not correct.

2           Q.    So you determined or estimated AEP Ohio's  
3 levels of switching for points in time other than the  
4 end of 2012?

5           A.    That's correct.

6           Q.    And where is that information set forth  
7 in your testimony that was filed on March 23?

8           A.    It's kind of an underlying assumption in  
9 item A on page 4, line 22, where we say that customer  
10 switching increased to 65 percent of load for  
11 residential customers, 80 percent of load for  
12 commercial customers, and 90 percent of load for  
13 industrial customers by the end of 2012 and remained  
14 at those levels throughout 2013.

15                So what that's indicating in 2012 those  
16 shopping levels changed over time, and in 2013 as a  
17 simplifying assumption, it was assumed that those  
18 shopping levels remained constant throughout 2013.

19           Q.    For purposes of your analysis did you --  
20 did you identify AEP Ohio's forecasted switching  
21 percentages as of June 1, 2012?

22           A.    Yes. I have monthly analysis of what  
23 those switching levels would be.

24           Q.    And are those -- are those analyses set



1       forth in your workpapers associated with your  
2       testimony filed in this case?

3             A.    No, they're not.

4             Q.    And where is that information contained,  
5       sir?

6             A.    You can actually see that information in  
7       the workpapers that I filed in case 11-346-EL-SSO, et  
8       al.

9             Q.    And so do you have forecasted monthly  
10       switching percentages for the balance of 2012?

11            A.    Yes.

12            Q.    And they are set forth in the workpapers  
13       in the Case No. 11-346?

14            A.    Yes, that information is contained in  
15       that case.

16            Q.    With respect to the analyses that you did  
17       in this case, you've identified a switching  
18       percentage for residential customers as of the end of  
19       December, 2012, of 65 percent, correct?

20            A.    That's correct.

21            Q.    And your analyses included assumptions or  
22       a review of the switching percentages of the other  
23       distribution utilities in Ohio, correct?

24            A.    That's correct.

1           Q.    Irrespective of the switching activities  
2           in these other distribution utilities, you relied  
3           solely upon the publicly available information found  
4           on the PUCO website, correct?

5           A.    That's correct.

6           Q.    And that publicly available information  
7           on the PUCO website identifies the quarterly  
8           switching percentages for seven distribution  
9           utilities, correct?

10          A.    Yes, and I don't recall if it shows the  
11          percentages, but it shows the actual load switched.  
12          It may have had the percentages, but I would have  
13          looked at the actual load though.

14          Q.    Okay. And that is broken down by  
15          customer class, correct?

16          A.    That's correct.

17          Q.    For purposes of arriving at the  
18          65 percent figure, you did not average the  
19          residential switching percentages in the other seven  
20          EDUs, did you?

21               MR. CONWAY: Could I have -- excuse me,  
22          Ms. Spiller. Could you tell me which EDUs you're  
23          talking about, these other seven?

24               MS. SPILLER: It was a bad question.

1 I'll rephrase.

2 Q. There are -- Mr. Allen, for purposes of  
3 arriving at the 65 percent figure set forth in your  
4 testimony, you did not take an average of the  
5 percentage -- the switching percentage for  
6 residential customers identified for the seven  
7 distribution utilities on the PUCO website, correct?

8 A. No. That would be inappropriate to  
9 include two of those utilities which would be the AEP  
10 Ohio utilities in developing an average anyway, but I  
11 did not do an average of the five non-AEP Ohio EDUs  
12 in Ohio.

13 Q. Why would it be inappropriate to include  
14 AEP Ohio in -- in your analyses?

15 A. If you're looking at the results for  
16 where you would expect an individual entity to -- I  
17 guess as an example, if you look at ROE analysis,  
18 it's always inappropriate to include the utility in  
19 its own analysis of the ROE. It becomes a circular  
20 logic problem so you always exclude -- or in a  
21 typical analysis you would exclude the company  
22 that's -- that's at issue when you're doing these  
23 types of analysis.

24 Q. So although you are identifying or

1 forecasting the switching percentage for AEP Ohio,  
2 you have excluded their historical switching  
3 percentages for purposes of your analyses?

4 A. That's correct.

5 Q. Sir, do you have any educational or  
6 professional experience in respective retail customer  
7 choice in Ohio?

8 A. I do have professional experience working  
9 with CRES providers in AEP Ohio's service territory.  
10 I have been working with them throughout the process  
11 in these cases.

12 Q. And is that the extent of your  
13 involvement with customer switching, your work for  
14 AEP Ohio in these cases?

15 A. No. I've also done work in AEP's other  
16 service territory I&M in Michigan. In fact, when we  
17 unbundled the rates in 2000, as part of the customer  
18 choice initiative, I worked on that unbundling  
19 process and some of the tariff provisions and the  
20 different rules that would have been in place in  
21 those cases back in 2000.

22 Q. Mr. Allen, have you attempted to unbundle  
23 the capacity rate that AEP Ohio's nonshopping  
24 customers currently pay?

1           A.    No.  The -- there are no capacity rates  
2 directly for nonshopping customers of AEP Ohio.  What  
3 I have looked at though is that the base generation  
4 rates that we charge in AEP Ohio's service territory  
5 are very comparable to the full cost capacity rates  
6 that we're proposing in this case.

7           Q.    And do you have workpapers, sir, to  
8 support that analysis or work?

9           A.    That analysis was not included in this --  
10 in this case.

11          Q.    And why not, sir?

12          A.    It wasn't a piece of information that I  
13 developed to support this case, but it is -- that  
14 analysis was included when I submitted testimony in  
15 the ESP II case, and it shows that those values are  
16 essentially the same.  And those were -- where I  
17 presented the information in that case those  
18 workpapers are presented.

19          Q.    Mr. Allen, you have said that the  
20 capacity price -- you have said that with the  
21 capacity price decrease in AEP Ohio's territory there  
22 would be higher levels of switching, correct?

23          A.    Can you point to a reference in my  
24 testimony?

1           Q.    Well, let me rephrase. I can't find it  
2   readily, but is it your opinion that if the capacity  
3   price that AEP Ohio were allowed to charge CRES  
4   providers was an RPM-based price, that customer  
5   switching would increase in AEP Ohio's service  
6   territory?

7           A.    Yes, that's correct.

8           Q.    Have you done any mathematical analyses  
9   of the correlation between changes in capacity prices  
10  and customer switching rates?

11          A.    No.

12          Q.    Mr. Allen, do you know whether any other  
13  distribution utility in Ohio other than the AEP  
14  entities saw their residential switching move from 10  
15  to 50 percent in an approximate six-month period?

16          A.    I don't know as we sit here today.

17          Q.    Mr. Allen, in your position with AEP  
18  Ohio, is it fair to say you are familiar with the  
19  rules and regulations that govern the PUCO's  
20  establishment of retail rates?

21          A.    Yes, generally.

22          Q.    Sir, do you know whether Ohio law  
23  guarantees a distribution utility that is operating  
24  pursuant to an electric security plan a minimum

1 return on equity of their generation investment?

2 A. I think that would require a legal  
3 conclusion that I can't make here today.

4 Q. In your position with AEP Ohio do you  
5 know whether such a provision in Ohio law exists?

6 A. From a general ratemaking perspective, I  
7 am aware that confiscatory rates are typically not  
8 allowed, and I would view AEP Ohio charging  
9 RPM-priced capacity rates to be confiscatory as shown  
10 by the projected ROEs that I have shown in Exhibit  
11 WAA-1.

12 Q. And how do AEP Ohio's projected ROEs as  
13 set forth in your testimony compare to the ROEs of  
14 the other distribution utilities in Ohio?

15 A. I haven't reviewed that information.

16 Q. Mr. Allen, are you familiar with the AEP  
17 East pooling agreement?

18 A. Generally but Witness Pearce would be  
19 more familiar with that agreement.

20 Q. Do you know what AEP Ohio's revenue has  
21 been -- was in 2011 under the pooling agreement or  
22 the results of the pooling agreement?

23 A. No, I do not, but it is available on the  
24 books and records of the company.

1           Q.    And who is the individual at AEP Ohio who  
2 would best represent the custodian of those books and  
3 records?

4           A.    I don't know.  It would be in FERC Form 1  
5 would be one location you could look.

6           Q.    Okay.  Thank you.  Mr. Allen, do you have  
7 any -- have you had any involvement with PJM relative  
8 to AEP Ohio's anticipated participation in the May,  
9 2012 auction for the 2015-2016 planning year?

10          A.    No.

11          Q.    Have you seen any information internally  
12 prepared at AEP Ohio that discusses the maximum  
13 market offer for AEP relative to the upcoming base  
14 residual auction?

15          A.    No.

16                MS. SPILLER:  Nothing further.  Thank  
17 you, sir.

18                MR. PETRICOFF:  First thing I would like  
19 to do is I would like to get this document -- this is  
20 the workpapers from the AEP ESP II -- I guess I will  
21 call it IIA 11-346 that you just referenced in one of  
22 your responses to Ms. Spiller, I would just like to  
23 mark it as an exhibit.

24                MR. KUTIK:  Howard, you need to get



1 closer to the telephone.

2 MR. PETRICOFF: Okay. I'll just move  
3 over here, that's all.

4 (EXHIBIT MARKED FOR IDENTIFICATION.)

5 MR. PETRICOFF: For those on the phone I  
6 have just had marked as RESA Deposition Exhibit 1 the  
7 workpapers that were filed -- workpapers of Mr. Allen  
8 that was filed in the -- in the ESP -- I guess we  
9 will call it the ESP IIA case, the most recent  
10 application or amended application.

11 - - -

12 EXAMINATION

13 By Mr. Petricoff:

14 Q. Give you a minute to take a look at it.

15 A. I'm familiar with these, yes.

16 Q. And these are your workpapers from that  
17 case?

18 A. They appear to be, yes.

19 Q. Okay. Now, earlier Ms. Spiller asked you  
20 a question about some of the assumptions that were  
21 made in terms of what migration would be, and you  
22 indicate that was something that you had done  
23 workpapers for in the ESP IIA case. Are these the  
24 workpapers you were referring to?

1           A.    Yes, they are.

2           Q.    Let me ask you a question or two about  
3 those -- about those workpapers.  If you would turn  
4 to -- and it's not numbered, but it would be the  
5 third page in, it says "value of discounted  
6 capacity."  Just the third page from the top.  It's a  
7 chart that shows --

8           A.    Yeah.  Workpaper WAA-3, Exhibit WAA-4,  
9 that appears at the top corner.

10          Q.    Yeah.  AA-4, that's correct, AA-4, 1 of  
11 2.

12          A.    1 of 2, okay.

13          Q.    And let's go to 1 first.  First, let me  
14 ask you the question what does -- it says "PY  
15 '12/13."  What does that represent?

16          A.    Planning year 2012-13 which would be the  
17 period June 1, 2012, through May 31, 2013.

18          Q.    Okay.  So these are the PJM years.

19          A.    That's correct.

20          Q.    And the -- under the first heading it  
21 says "CRES capacity revenues."  Explain what we have  
22 in the -- in that first column, the "PY '12-13" under  
23 "CRES capacity revenues."

24          A.    Those would be the revenues collected

1 from CRES providers based upon the same shopping  
2 assumptions that I described in my testimony in case  
3 10-2929 with the breakout of the prices between the  
4 \$146 tier 1 priced capacity and the \$255 tier 2  
5 priced capacity.

6 Q. Okay. So, now, let's take a look at page  
7 2 of 2 in Exhibit WAA-4. And are these the volumes  
8 that you would be multiplying times the prices? Is  
9 this the detail for the number that we see for  
10 '12-13, the number that we see for '12-13 on page 1  
11 of 2?

12 A. That's correct. That's the load that --  
13 that is served by the CRES providers split between  
14 the \$146 per megawatt day tier 1 price capacity and  
15 \$255 tier 2 capacity so you would take the GWh of a  
16 load, these -- multiplied by the appropriate rate and  
17 add those two together so the load at 146 times the  
18 realization at \$146 a megawatt day plus the load at  
19 255 times the realization at \$255 a megawatt day.

20 Q. Okay. And on page 2 of 2, how did you  
21 come up with these -- these volumes in terms of the  
22 tiers? How many gigawatt hours per tier? And start  
23 with the '12-13 year.

24 A. The '12-13 was based upon a monthly

1 projection of switching load and the 21 percent tier  
2 for the first seven months of planning year '12-13  
3 moving up to 31 percent for the last five months of  
4 planning year '12-13.

5 Q. Okay. And then what period of time is  
6 covered in planning year '14-15?

7 A. June 1, 2014, through May 31, 2015.

8 Q. Okay. So the last half of that planning  
9 year '14-15 would be covered by the auction?

10 A. That's correct. And you can see that in  
11 the fourth section of that page there's a load for  
12 the SSO load served by auction at \$255 per megawatt  
13 day so that represents that load.

14 Q. And then the last set of rows under  
15 "total connected load," that's just the total  
16 forecast for -- for the load on AEP Ohio?

17 A. That's correct.

18 Q. Okay. And then proceeding on we have --  
19 to the page after that, it just has dates across,  
20 January; February, '12; March, '12; April, '12.  
21 These are the monthly -- the monthly breakouts of the  
22 data that is shown on the page WAA-4, 2 of 2?

23 A. That's correct. And there are two -- two  
24 sets of data at the top, SSO load and OAD load. SSO

1 load represents that load that continues to be served  
2 by AEP Ohio, and the OAD load is that load served by  
3 CRES providers.

4 Q. Just out of interest I notice in the SSO  
5 load we go out about six spaces to the right of the  
6 decimal point, and we only go out one -- one decimal  
7 point on the OAD load. Is there a reason for that?

8 A. Just how I formatted the pages as I was  
9 pulling the workpapers together quickly.

10 Q. Okay.

11 A. The details are there in the Excel files  
12 so.

13 Q. Okay. Now, let's go down to the -- going  
14 down the rows, so we've explained the SSO load and  
15 the OAD load. Total load is just the sum of the two.  
16 Take me through the next four sections that are down  
17 and explain the information that's there.

18 A. First, for purposes of this analysis we  
19 can ignore the January through May data. All the  
20 analysis really starts in June. That's why you see  
21 some blanks for aggregation load above the cap and  
22 the like. All the analysis starts in detail in June.

23 Q. Well, before you go is the material  
24 though that we have from January to June, is that --

1 let's see, I guess for the first two or three months,  
2 is that -- what's actual and what's projected in  
3 those?

4 A. It's all projected data.

5 Q. It's all projected. None of it is  
6 actual.

7 A. Yeah.

8 Q. I'm sorry. Please continue.

9 A. So the section entitled "shopping  
10 percentages at \$146 excluding aggregation," that's  
11 the percent by class that is served under for  
12 residential, commercial, and industrial that would  
13 receive the \$146 priced capacity. The aggregation  
14 load above the cap is additional load that would also  
15 receive the \$146 priced capacity. So the next  
16 section down, "shopping load at 146," would be the  
17 sum of for residential 21 percent times, let's see --  
18 I would have to look at the analysis to do that.

19 Q. Go up -- oh, I see. I see. Because this  
20 is just the -- it's just the aggregation load so we  
21 can't go back and take the percentages against the  
22 OAD load.

23 A. Right.

24 Q. Now, let me stop you there. Do you have

1 your testimony handy? I'm sorry. If you are looking  
2 at something, I'll let you finish.

3 A. Okay. Go ahead.

4 Q. I want to pick up the 21 percent that we  
5 see on this -- on this page and I want -- I want to  
6 refer you to a portion of your -- your prefilled  
7 testimony. If you look on page 4, line 4 of your --  
8 your testimony.

9 A. Okay.

10 Q. You have there 23 percent of customer  
11 load switched in -- in 2012.

12 A. Yes.

13 Q. Okay. And we have 21 percent here. I  
14 take it this chart on the 21 percent is not  
15 supporting this line on page 4, line 4?

16 A. That's correct.

17 Q. Okay.

18 A. These analyses were done at different  
19 points in time. This is a more recent analysis that  
20 includes the specific characteristics of the ESP II  
21 plan as modified that we recently filed so the  
22 aggregation provisions are unique to what's included  
23 in the modified ESP, whereas, the 23 percent included  
24 on line 4 is related to the stipulation as modified

1 by the Commission on December 14, 2011.

2 Q. Okay. And that's the part I want to pick  
3 up with you now. So in line -- on page 4, line 4A,  
4 this is that 23 percent of customer load, is there a  
5 breakout by customer group? By customer group I mean  
6 residential, commercial, and industrial for that 21,  
7 23 percent. Is more of it commercial, for example,  
8 than residential?

9 A. Yes.

10 Q. Okay. And do you know offhand of the 23  
11 percent how much of it is -- is in each of those  
12 individual classes?

13 A. I do not know offhand.

14 Q. Okay. In the September -- at the time of  
15 the September 7 stipulation filing, do you recall  
16 what percentage of that load was commercial?

17 A. More than 20 percent of the commercial  
18 load had switched at that point in time. I don't  
19 know what it was as a percentage of the total load of  
20 AEP Ohio.

21 Q. Okay. But that greater load is reflected  
22 in this 23 percent?

23 A. The 23 percent is based on the amount  
24 that would get RPM-priced capacities.



1           Q.    But under the stipulation as was filed on  
2           September 7?

3           A.    As modified by the Commission on  
4           December 14 and as interpreted in the company's  
5           December 23 detailed implementation plan so the  
6           23 percent is consistent with that detailed  
7           implementation plan.

8           Q.    Okay.  That's the so-called DIP.

9           A.    Yes.

10          Q.    Detailed implementation plan.

11          A.    That's correct.

12          Q.    Was that changed again --

13               MR. KUTIK:  Mr. Allen, you need to speak  
14           up a little bit.

15          Q.    Was that -- was there another set of  
16           numbers that were done or would those numbers that  
17           were done for the DIP have changed because of the  
18           January 23 order?

19          A.    The January 23 order was a further  
20           modification to the December 14 order as we  
21           incorporated that into the detailed implementation  
22           plan so it would have changed the shopping levels.

23          Q.    Okay.  So let's see if I can funnel this  
24           down.  So the 23 percent figure here would be -- by

1 class would be whatever those class percentages were  
2 as represented in the -- and I'll continue to call it  
3 the DIP -- in the DIP plan?

4 A. In the December 28 DIP plan, that's  
5 correct. So it doesn't include the -- as an example,  
6 the mercantile load for governmental aggregation that  
7 was in the January Commission order.

8 Q. Okay. Thank you. Now, I am going to go  
9 back to the -- to the Deposition Exhibit No. 1.  
10 Basically as we continue on, we were looking at --  
11 there's numbers on here, they just all say -- oh,  
12 yes, there are, up at the top. We were -- there are  
13 numbers up at the top that says WP WAA and we were  
14 looking at the one that was marked 4. As we continue  
15 on, 5, 6, 7, these are just going through the  
16 calendar year as we flip through the pages through  
17 May of -- of 2015 which would be WP WAA-10?

18 A. That's correct.

19 Q. We start again and there's -- just turn  
20 to WP WAA-11 and we have a new set of numbers but we  
21 go back to January 21. Can you explain what this set  
22 of numbers are?

23 A. Yes. The first set of numbers are the  
24 base generation rates. The set -- and those are

1 referred to as SSO rates and those are consistent  
2 with the base generation rates that the company's  
3 proposing in the ESP -- in the modified ESP case.  
4 The second set of values, the capacity rates at \$146  
5 a megawatt day, those are in dollars per megawatt  
6 hours so those are the realizations associated with a  
7 capacity charge of \$146 a megawatt hour -- or  
8 megawatt day.

9 The third section, "capacity rates at  
10 255," are similar to the capacity rates at 146 a  
11 megawatt day. It's simply a conversion from dollars  
12 per megawatt day to dollars per megawatt hour.  
13 Likewise for the capacity rates at \$356 a megawatt  
14 day, that's the full cost of capacity rates. The  
15 next section down, the "SSO revenues," are taking the  
16 SSO load that would show up in workpapers WAA-4  
17 through 10 and multiplying those by the SSO rates at  
18 the top of this page.

19 Q. Okay. Let me go back and make sure that  
20 I understand this correctly, and I'm looking at WP  
21 WAA-11, okay? So in order to move from megawatt days  
22 to a price per megawatt hour --

23 UNIDENTIFIED SPEAKER: Megawatt hour.

24 Q. Price per megawatt hour you have to --

1     you have to have -- make some assumptions in terms of  
2     load factor, correct?

3             A.     That's correct.

4             Q.     And so for each of these, residential,  
5     commercial, and industrial, there was a load factor  
6     that -- that was applied to come up with the numbers  
7     that we see on -- on the lines on page 11.

8             A.     Essentially. It's a comparison of the  
9     five CP capacities to the load in kilowatt hours for  
10    those customers. A little different than a typical  
11    load factor but it's dealing with it on a PJM basis  
12    because we bill customers on a five CP basis for  
13    capacity so if we had billed at, say, \$356 a megawatt  
14    day for the five CPs associated with the load for the  
15    commercial, industrial, residential class, take those  
16    total revenues, divide by the kilowatt hours, and  
17    that would give you the associated realization.

18            Q.     Okay. Let's go through that one more  
19    time so I make sure that I understand. When we talk  
20    about five CP, we are -- we are talking about the  
21    five days that PJM says this is our peak load.

22            A.     The five peaks that PJM has determined,  
23    yes.

24            Q.     Okay. And so in coming up with these

1 load factors, we are looking to see what  
2 contributions each of these classes made to those  
3 five -- the five CPs?

4 A. It would be the sum of the PLCs for the  
5 class, the peak load contribution for each of the  
6 classes, so every customer has a PLC, and we would  
7 sum the PLCs for the entire commercial class and then  
8 multiply that by the dollars per megawatt day so  
9 either the 146, 255, or 356 and then take that result  
10 and divide it by the total kilowatt hours for that  
11 class to come up with a realization.

12 Q. Right. And -- and basically that  
13 realization times the price is what gives us these  
14 numbers that we see going across under the dates?

15 A. That's correct.

16 Q. Okay. I'm with you.

17 I think those are all the questions I  
18 have for you on this material as it relates to our --  
19 this case, in the 10-2929. I assume we will see you  
20 again when we get to the ESP II case on that.

21 A. Okay.

22 Q. I think maybe the easier way rather than  
23 asking you a lot of questions to try to work it down,  
24 maybe the easier way to answer a question that --

1     that I have is I'm going to show you -- refer you to  
2     two different revenue estimates that you have done in  
3     your testimony, and then I want you to compare and  
4     contrast the methodology.

5             And the first one is on page 3 of your  
6     testimony, line 17, where you said "I've estimated  
7     the earnings to be 344 million in" -- "in 2012."  
8     Okay. And then I want you to -- to compare that with  
9     page 5 where you say "the forecasts for earnings in  
10    2012 would be 353.8 million." Now, there's obviously  
11    a \$9 million difference there. What constitutes --  
12    what are the driving factors that gave us the  
13    \$9 million difference between these two earnings  
14    estimates?

15            A.    There are a number of things. The first,  
16    and I think we discussed this a little earlier, the  
17    \$353 million is not comparable to the \$344 million  
18    because one includes off-system sales, the 344  
19    million, and the other one, the 353.8 million, does  
20    not include off-system sales.

21            Q.    Okay.

22            A.    The value to compare the 3 -- the 3 --  
23    sorry. Let me start over.

24                   The value to compare the \$344 million to

1 is the \$499.6 million. Those are comparable numbers.

2 Q. Okay. And basically if you look on page  
3 4 on -- well, okay. That answers my question. That  
4 will -- that eliminates a lot of questions.

5 A. Okay.

6 Q. Now, I want to take you through on page 4  
7 we have -- we have factors that we have and I assume  
8 these are -- these are items that impacted your  
9 estimate of earnings because of the rejection of the  
10 stipulation. Those are items A through G; is that  
11 correct?

12 A. Items A through G reflect a subset of the  
13 elements that were impacted or that caused earnings  
14 to change as a result of the rejected stipulation.  
15 The second set are included in items A through C that  
16 are shown on line 22 of page 4 through line 6 of page  
17 5. The first set, A through G, are related to the  
18 non-capacity related -- capacity pricing related  
19 elements of the stipulation.

20 Q. So going back we've established that  
21 the -- and we'll use the -- that this \$344 million  
22 number is what you expect the revenues would be if in  
23 light of the rejected stipulation we charged RPM  
24 pricing to all shopping customers.

1           A.     That's correct.   The 344 million reflects  
2     the complete rejection of the stipulation, all  
3     elements, and charging all customers RPM-priced  
4     capacities.

5           Q.     Right.   And by comparison that revenue  
6     figure on page 5, line 12, the 499.6 million, is what  
7     we would have gotten if we had just followed the  
8     stipulation as -- as you projected it if the  
9     Commission had not rejected the stipulation and AEP  
10    would have implemented it as -- as it forecasted.

11          A.     If we had implemented as the September 7  
12    stipulation, all those elements were included.   We  
13    have to recognize that between the September  
14    stipulation and January of 2012, the Commission made  
15    some other adjustments to the stipulation.

16          Q.     Right.   And as we've talked about before,  
17    this 49 -- 499.6 million is with the September 7.

18          A.     That's correct.

19          Q.     Before we had the changes in the DIP and  
20    the changes in the January order that -- that  
21    followed it.

22          A.     That's correct.

23          Q.     Okay.   Now, let's go back, if we -- if  
24    we --



1 MR. CONWAY: Excuse me. Could I have the  
2 prior question read back.

3 (Question read.)

4 Q. Now, I want to draw your attention on  
5 page 4 to line -- to line 20, and then we have an  
6 estimate of 126 million that's on line 19 and for the  
7 year 2012 and 222 million for 2013. Do you see where  
8 I'm drawing your attention?

9 A. Yes.

10 Q. Am I correct that those two numbers are  
11 basically the quantification of just the loss of  
12 revenue that's attributed to moving from the -- the  
13 September 7 stipulation to charging customer -- all  
14 shopping customers RPM prices?

15 A. Not exactly.

16 Q. Okay.

17 A. Those two numbers reflect the difference  
18 between the December 28 detailed implementation plan  
19 and those two tiers of capacity pricing and the --  
20 and charging all customers RPM-priced capacity and  
21 the increased levels of shopping.

22 Q. So, for example, if I wanted to  
23 deconstruct the \$499.6 million figure that's on page  
24 5, line 12, breaking it down into its elements, I

1 really couldn't use the 126 million for 2012 or the  
2 222 million in 2013 because there would be a  
3 difference between the estimate that was made in  
4 September and the one that was made in the DIP and  
5 these are DIP numbers.

6 A. That's correct. The 126 million is  
7 related to the change from the December 28 detailed  
8 implementation plan and the complete rejection of the  
9 stipulation and all customers shopping at RPM.

10 Q. Okay.

11 A. All shopping customers being charged RPM.

12 Q. Order of magnitude do you have a feel for  
13 what the dollar difference is if we were looking at  
14 comparing it from the September -- September 7  
15 stipulation as opposed to comparing it from the DIP?

16 A. The significant elements that were  
17 changed were the increase in shopping for the  
18 aggregation load that went to 23 percent so that was  
19 a 2 to 3 percent change in the assumed level of  
20 customers receiving RPM-priced capacity as well as  
21 the reduction of the base G increase that also  
22 happened in the December 14 order so those are the  
23 two most significant financial elements that are  
24 different between the detailed implementation plan

1 and the starting point of my analysis --

2 Q. Okay.

3 A. -- that I presented in this case.

4 Q. Order of magnitude then, we have 126  
5 million, if we were going to adjust for those two  
6 factors, what would your estimate be that number  
7 would look like? Are we at 120 million?  
8 130 million?

9 A. I don't have a sense of that as we sit  
10 here today.

11 Q. Okay. Can you tell me the direction?  
12 Would it be greater or less?

13 A. It would be a larger impact because the  
14 starting point of my analysis assumed a slightly  
15 higher level of shopping so the delta is larger if  
16 you go back to September 7 so the 126 would be  
17 increased to a larger number.

18 Q. Okay. Here I think maybe I want to draw  
19 your attention down to, I know we spent a lot of time  
20 on this, hopefully I won't have much more to add with  
21 you on it, but on page 4, lines 22 to 23, this is  
22 where we have our -- our percentages, fair to say  
23 from the discussion today that these percentages were  
24 based upon your observations and interpretations of

1     what other EDUs have seen in terms of migration as  
2     opposed to doing some type of model study?

3             A.     That's correct.  It was based on  
4     observation, not a detailed analysis of customer  
5     behavior.

6             Q.     And you're familiar with the term price  
7     elasticity?

8             A.     Yes.

9             Q.     And there were no price elasticity  
10    studies that were done that would quantify what the  
11    shift would be in order to come up with these  
12    percentages in lines 22 and 23?

13            A.     That's correct.

14            Q.     Okay.  Now, turning to page 5 and looking  
15    at lines 1 and 2, what we have here is -- we have  
16    these -- because we are carrying over discussing  
17    these percentages that are -- that are migrating.  If  
18    I wanted to -- if I wanted to see the impact of the  
19    migration over time during 2012, if I go back through  
20    these workpapers, can I observe that on a monthly  
21    data -- on a monthly basis?

22            A.     Yes, you can; yes, you can.

23            Q.     Okay.  So, for example, if I wanted to  
24    calculate, there was a question you were asked

1 earlier what the average was for the year 2012, could  
2 I just go through, sum up the -- the numbers that we  
3 had in these workpapers for 2012, divided by the  
4 number of months that were covered, and come up with  
5 an average?

6 A. That's correct, yes.

7 Q. Okay. Now, I would like to draw your  
8 attention to page 6, line 6. This is where we're  
9 talking about a switched load of 3.2 million  
10 representing 6.8 percent being at the -- at the 255  
11 megawatt day tier 2 pricing. And is it fair to say  
12 that you don't know whether -- or how much of that  
13 6.8 percent load was in the queue for either a 2013  
14 or 2014 switch?

15 A. That's correct. I don't have the exact  
16 percentages in front of me.

17 Q. Is it fair to say then that some of the  
18 customers that have -- that are represented by that  
19 6.8 percent switch were anticipating that they would  
20 be getting RPM pricing during the term of their  
21 contract?

22 A. I don't know what they were -- what they  
23 were assuming. I know there's a lot of customer  
24 confusion out there where they stand in the line so I

1       couldn't answer what their expectation was.

2               Q.     And likewise if asked the question is it  
3     your testimony that the 6.8 percent signed up  
4     believing that they were going to pay \$255 a megawatt  
5     day for the rest of the ESP period, your answer would  
6     be "I don't know"?

7               A.     I think the -- I want to distinguish  
8     between the customers and the CRES providers. I  
9     think there's a question about what the customers  
10    know about what they were going to be charged for  
11    capacity. And that's a relationship between the  
12    customer and the CRES. As far as what the CRES could  
13    expect to be charged for capacity from AEP,  
14    information has been provided to CRES providers, and  
15    they've seen the total shopping loads so my  
16    expectation would be that the CRES understand that  
17    certain of their load that they served -- that they  
18    currently served at 255 would continue to be charged  
19    255 for a significant amount of time during the ESP  
20    period.

21              Q.     But that would be done on an aggregate  
22    basis for -- for the -- for each individual CRES as  
23    opposed to a customer basis?

24              A.     Each CRES is charged on an individual

1 customer basis for capacity and then it's aggregated  
2 so the way the calculations work is the company adds  
3 up the PLCs for every single customer that the CRES  
4 serves and then provides the total number of PLCs  
5 that were charged the RPM-priced capacity and the  
6 number of -- the total PLCs that are charged 255 and  
7 that's how the CRES is billed through PJM. The CRES  
8 have asked for and have received detailed information  
9 showing for a single day the PLCs that they are  
10 serving that is being charged 255 versus 146 so they  
11 can verify that the bill is accurate that they are  
12 being charged.

13 Q. But you'll agree with me that's all  
14 historic data; this is load that has been served.

15 A. That's correct.

16 Q. Right. Do the CRES receive anything from  
17 AEP that indicates to them what they can expect going  
18 forward?

19 A. Because of the uncertainty of the  
20 Commission's orders in this case and the changing of  
21 the queuing process, the CRES providers have been  
22 provided data early on that gave indication of where  
23 customers were in the queue is my recollection, but  
24 they should be able to make that determination from

1 the total data that's out there and when they've  
2 switched customers.

3 Q. So the CRES would be able to come up with  
4 some projections as to when a particular customer or  
5 portion of their load would be switching from tier 2  
6 to tier 1?

7 A. That's correct.

8 Q. And you would agree with me that kind of  
9 information could have been applied or known when --  
10 when offers were made to customers that are  
11 represented by the 6.8 percent load on line 6 of page  
12 6?

13 A. Yes.

14 Q. Now, the company in their application in  
15 the -- in this matter are asking for \$355 a megawatt  
16 day?

17 A. I think it's \$356 when you round it.

18 Q. 356 a megawatt day. Have you done any  
19 estimates as to what their earnings would be to AEP  
20 if that -- if the Commission granted that request?

21 A. No, I have not done that analysis.

22 Q. And similarly you haven't done one on  
23 what the rate of return would be if the company's  
24 request was granted?



1           A.     That's correct.

2           MR. PETRICOFF:   Okay.   I have no further  
3     questions.   Thank you very much.

4           MR. CONWAY:   Okay.   I think that  
5     concludes it.

6           Dave, are you still on the call?

7           MR. KUTIK:   Yes, I am.   I assume no one  
8     else has any questions because I do have a few.

9                                 - - -

10                                FURTHER EXAMINATION

11     By Mr. Kutik:

12           Q.     Mr. Allen, you had mentioned in response  
13     to questions from I think Mr. Petricoff that the  
14     workpapers that you submitted in the modified ESP II  
15     case may provide some insight with respect to the  
16     switching values that you cite in your testimony in  
17     this case.   Did I get that right?

18           A.     Yes, that's correct.   They both include  
19     the same set of switching assumptions.

20           Q.     Okay.   And that includes the switching  
21     assumptions at the 65 percent, 80 percent, 90 percent  
22     level?

23           A.     That's correct.

24           Q.     And where would I find that in the

1     workpapers that you submit in the modified ESP II  
2     case?

3             A.     If you turn to workpapers WAA-4 through  
4     10, the top section is the SSO load. The second  
5     section is the OAD load. If you take the OAD load  
6     divided by the sum of the SSO load and the OAD load,  
7     you'll be able to come up with a percentage if you do  
8     it on a class-by-class basis.

9             MR. KUTIK: Thank you. I have no further  
10     questions at this time. Any further questions that I  
11     have would be based upon the documents that we've  
12     asked for. Reserve the right to recall Mr. Allen at  
13     this time.

14             And, Dan, as you know, Mr. Allen, as he  
15     knows, it's time to indicate whether he wishes to  
16     read or waive.

17             MR. CONWAY: And our view of this is the  
18     deposition is now over, and we do not waive  
19     signature; we'll read the deposition transcript.

20             MR. KUTIK: Okay. Very good. And we are  
21     off the record.

22             (Thereupon, the deposition was adjourned  
23     at 11:50 a.m.)

24                     - - -

1 State of Ohio :  
2 County of \_\_\_\_\_ : SS:

3 I, William A. Allen, do hereby certify that I  
4 have read the foregoing transcript of my deposition  
5 given on Tuesday, April 10, 2012; that together with  
6 the correction page attached hereto noting changes in  
7 form or substance, if any, it is true and correct.

8 \_\_\_\_\_  
9 William A. Allen

10 I do hereby certify that the foregoing  
11 transcript of the deposition of William A. Allen was  
12 submitted to the witness for reading and signing;  
13 that after he had stated to the undersigned Notary  
14 Public that he had read and examined his deposition,  
15 he signed the same in my presence on the \_\_\_\_\_ day  
16 of \_\_\_\_\_, 2012.

17 \_\_\_\_\_  
18 Notary Public

19 My commission expires \_\_\_\_\_, \_\_\_\_\_.  
20  
21  
22  
23  
24

- - -

## 1 CERTIFICATE

2 State of Ohio :  
3 County of Franklin : SS:

4 I, Karen Sue Gibson, Notary Public in and for  
5 the State of Ohio, duly commissioned and qualified,  
6 certify that the within named William A. Allen was by  
7 me duly sworn to testify to the whole truth in the  
8 cause aforesaid; that the testimony was taken down by  
9 me in stenotypy in the presence of said witness,  
afterwards transcribed upon a computer; that the  
foregoing is a true and correct transcript of the  
testimony given by said witness taken at the time and  
place in the foregoing caption specified and  
completed without adjournment.

10 I certify that I am not a relative, employee,  
11 or attorney of any of the parties hereto, or of any  
12 attorney or counsel employed by the parties, or  
financially interested in the action.

13 IN WITNESS WHEREOF, I have hereunto set my  
14 hand and affixed my seal of office at Columbus, Ohio,  
on this 11th day of April, 2012.

15 \_\_\_\_\_  
16 Karen Sue Gibson, Registered  
17 Merit Reporter and Notary Public  
in and for the State of Ohio.

18 My commission expires August 14, 2015.

19 (KSG-5508)

20 - - -  
21  
22  
23  
24

**ARMSTRONG & OKEY, INC.**  
**Registered Professional Reporters**  
**222 E. Town St. - 2nd Floor**  
**Columbus, Ohio 43215**  
**614/224-9481**

April 11, 2012

Mr. William A. Allen  
c/o Mr. Daniel R. Conway  
Porter, Wright, Morris & Arthur  
41 South High Street  
Columbus OH 43215

Re: In the Matter of the Commission Review of the Capacity Review of the Capacity Charges of Ohio Power Company and Columbus Southern Power Company.

Dear Mr. Allen:

Enclosed is the transcript of your deposition taken on April 10, 2012 for examination pursuant to 4901-1-21(K) of the Ohio Rules of Practice before the Public Utilities Commission of Ohio.

The rule requires that your deposition be read by or to you. Any changes in form or substance which you desire to make shall be entered by me with a statement of the reasons given for making them.

If your deposition is not signed within 10 days of its submission to you, I am required to sign it and state the fact of the refusal to sign with the reason, if any, given therefor; and the deposition may then be used as though signed, unless on a motion to suppress the Commission holds that the reasons given for the refusal to sign require rejection of the deposition in whole or in part. By copy of this letter I am advising the attorneys in the case of the submission of your deposition.

Please have your deposition signed in the presence of a Notary Public and return to us by certified mail.

Thank you for your promptness in this matter.

Sincerely,

ARMSTRONG & OKEY, INC.

Cc: Mr. Kutik/Mr. Hayden  
Mr. Darr  
Ms. Kingergy/Ms. Spiller  
Ms. Kyle Kern  
Mr. Petricoff

KG/5508

1 State of Ohio :  
2 County of \_\_\_\_\_ : SS:

3 I, William A. Allen, do hereby certify that I  
4 have read the foregoing transcript of my deposition  
5 given on Tuesday, April 10, 2012; that together with  
6 the correction page attached hereto noting changes in  
7 form or substance, if any, it is true and correct.

8 \_\_\_\_\_  
9 William A. Allen

10 I do hereby certify that the foregoing  
11 transcript of the deposition of William A. Allen was  
12 submitted to the witness for reading and signing;  
13 that after he had stated to the undersigned Notary  
14 Public that he had read and examined his deposition,  
15 he signed the same in my presence on the \_\_\_\_\_ day  
16 of \_\_\_\_\_, 2012.

17 \_\_\_\_\_  
18 Notary Public

19 My commission expires \_\_\_\_\_, \_\_\_\_\_.  
20  
21  
22  
23  
24


## 1 CERTIFICATE

2 State of Ohio :  
3 County of Franklin : SS:

4 I, Karen Sue Gibson, Notary Public in and for  
5 the State of Ohio, duly commissioned and qualified,  
6 certify that the within named William A. Allen was by  
7 me duly sworn to testify to the whole truth in the  
8 cause aforesaid; that the testimony was taken down by  
9 me in stenotypy in the presence of said witness,  
afterwards transcribed upon a computer; that the  
foregoing is a true and correct transcript of the  
testimony given by said witness taken at the time and  
place in the foregoing caption specified and  
completed without adjournment.

10 I certify that I am not a relative, employee,  
11 or attorney of any of the parties hereto, or of any  
12 attorney or counsel employed by the parties, or  
financially interested in the action.

13 IN WITNESS WHEREOF, I have hereunto set my  
14 hand and affixed my seal of office at Columbus, Ohio,  
15 on this 11th day of April, 2012.

16   
Karen Sue Gibson, Registered  
Merit Reporter and Notary Public  
in and for the State of Ohio.

17 My commission expires August 14, 2015.

18 (KSG-5508)

19 - - -



Legal Department

American Electric Power  
1 Riverside Plaza  
Columbus, OH 43215-2373  
AEP.com

April 2, 2012

Honorable Greta See  
Public Utilities Commission of Ohio  
Ohio Power Siting Board  
180 East Broad Street  
Columbus, Ohio 43215-3793

**Matthew J. Satterwhite**  
Senior Counsel –  
(614) 716-1915 (P)  
(614) 716-2014 (F)  
mjsatterwhite@aep.com

**Re: PUCO Case Nos. 11-346-EL-SSO  
11-348-EL-SSO  
11-349-EL-AAM  
11-350-EL-AAM**

Dear Examiner See:

Please find the attached workpapers of Ohio Power Company witness William Allen inadvertently left out of the workpapers filed on Friday, March 30, 2012. These workpapers were served on the parties of record in a service email on Friday.


Please contact me if there are any questions.

Cordially,

//ss// Matthew J. Satterwhite

Matthew J. Satterwhite  
Senior Counsel

cc: Parties of Record





BEFORE  
THE PUBLIC UTILITIES COMMISSION OF OHIO

In the Matter of the Application of	)	
Columbus Southern Power Company and	)	
Ohio Power Company for Authority to	)	Case No. 11-346-EL-SSO
Establish a Standard Service Offer	)	Case No. 11-348-EL-SSO
Pursuant to §4928.143, Ohio Rev. Code,	)	
in the Form of an Electric Security Plan.	)	
In the Matter of the Application of	)	
Columbus Southern Power Company and	)	Case No. 11-349-EL-AAM
Ohio Power Company for Approval of	)	Case No. 11-350-EL-AAM
Certain Accounting Authority	)	

**OHIO POWER COMPANY'S  
MODIFIED ELECTRIC SECURITY PLAN**

**WORKPAPERS  
For  
William A. Allen**

## Value of Discounted Capacity

	PY 12/13	PY 13/14	PY 14/15	Total
<b>CRES Capacity Revenues</b>				
Residential	\$ 128 M	\$ 149 M	\$ 141 M	\$ 417 M
Commercial	\$ 143 M	\$ 146 M	\$ 144 M	\$ 432 M
Industrial	\$ 121 M	\$ 119 M	\$ 115 M	\$ 355 M
Total	\$ 391 M	\$ 413 M	\$ 400 M	\$ 1,204 M
<b>Auction Capacity Revenues</b>				
Residential	\$ -	\$ -	\$ 44 M	\$ 44 M
Commercial	\$ -	\$ -	\$ 19 M	\$ 19 M
Industrial	\$ -	\$ -	\$ 27 M	\$ 27 M
Total	\$ -	\$ -	\$ 90 M	\$ 90 M
<b>Capacity Revenues @ Full Cost</b>	\$ 684 M	\$ 732 M	\$ 867 M	\$ 2,283 M
<b>Discount from Full Cost</b>	\$ 293 M	\$ 319 M	\$ 377 M	\$ 989 M

**Exhibit WAA-4****Page 2 of 2**

**Value of Discounted Capacity  
GWh of Load Served**

<b>CRES Load Served at \$146/MW-d</b>	<b>PY12/13</b>	<b>PY13/14</b>	<b>PY14/15</b>
Residential	4,844	5,100	5,897
Commercial	4,099	5,041	5,920
Industrial	4,846	6,801	7,933
Total	13,789	16,942	19,750
<b>CRES Load Served at \$255/MW-d</b>	<b>PY12/13</b>	<b>PY13/14</b>	<b>PY14/15</b>
Residential	3,175	4,318	3,452
Commercial	6,307	6,403	5,542
Industrial	6,974	6,769	5,632
Total	16,456	17,490	14,626
<b>SSO Load Served by AEP Ohio</b>	<b>PY12/13</b>	<b>PY13/14</b>	<b>PY14/15</b>
Residential	6,598	5,071	2,924
Commercial	3,911	2,973	1,797
Industrial	7,442	5,785	3,400
Total	17,950	13,829	8,121
<b>SSO Load Served by Auction at \$255/MW-d</b>	<b>PY12/13</b>	<b>PY13/14</b>	<b>PY14/15</b>
Residential	-	-	2,110
Commercial	-	-	1,181
Industrial	-	-	2,383
Total	-	-	5,674
<b>Total Connected Load</b>	<b>PY12/13</b>	<b>PY13/14</b>	<b>PY14/15</b>
Residential	14,616	14,489	14,384
Commercial	14,317	14,417	14,440
Industrial	19,262	19,355	19,348
Total	48,195	48,261	48,172

	Jan-12	Feb-12	Mar-12	Apr-12	May-12	Jun-12
SSO Load						
Residential	1717.432473	1325.546397	1125.839276	716.2000836	664.465979	772.1985
Commercial	705.943888	608.0924018	616.225975	515.9432201	549.751328	538.9393941
Industrial	1231.367278	1250.172584	1169.270864	1064.719686	1053.60476	952.1082338
	3654.743639	3183.811383	2911.336115	2296.86299	2267.82207	2263.246128
OAD Load						
Residential	35.0	27.1	174.2	169.1	219.1	338.9
Commercial	468.5	417.2	555.4	541.1	665.3	749.9
Industrial	265.9	270.3	434.3	496.0	604.3	664.0
	769.5	714.5	1164.0	1206.2	1488.7	1752.8
Total Load	4424.2	3898.3	4075.3	3503.1	3756.5	4016.0
Shopping % @ 146 Excluding Aggregation						
Residential	21%	21%	21%	21%	21%	21%
Commercial	21%	21%	21%	21%	21%	21%
Industrial	21%	21%	21%	21%	21%	21%
Aggregation Load above cap						
Residential						142.0
Commercial						63.3
Industrial						0.0
Shopping Load at 146						
Residential	35.0	27.1	174.2	169.1	185.6	338.9
Commercial	246.6	215.3	246.0	222.0	255.2	334.0
Industrial	265.9	270.3	336.8	327.8	348.2	339.4
Shopping Load at 255						
Residential	0.0	0.0	0.0	0.0	33.6	0.0
Commercial	221.8	201.9	309.4	319.2	410.1	415.9
Industrial	0.0	0.0	97.6	168.2	256.1	324.6

Retail Stability Rider

	Jul-12	Aug-12	Sep-12	Oct-12	Nov-12	Dec-12
SSO Load						
Residential	927.8212185	838.7832696	539.160278	402.8904724	422.5136205	519.916504
Commercial	510.3627225	462.3061411	354.421382	342.2867456	275.7136362	249.6511819
Industrial	858.0440567	812.2211779	690.4179433	673.5715761	582.0137277	486.3531184
	2296.227998	2113.310589	1583.999603	1418.748794	1280.240984	1255.920804
OAD Load						
Residential	526.4	604.9	489.8	459.8	608.0	952.9
Commercial	822.2	865.5	776.4	882.0	850.8	941.4
Industrial	723.9	824.7	845.9	1001.8	1055.4	1080.8
	2072.5	2295.2	2112.0	2343.6	2514.2	2975.0
Total Load	4368.8	4408.5	3696.0	3762.4	3794.5	4231.0
Shopping % @ 146 Excluding Aggregation						
Residential	21%	21%	21%	21%	21%	21%
Commercial	21%	21%	21%	21%	21%	21%
Industrial	21%	21%	21%	21%	21%	21%
Aggregation Load above cap						
Residential	165.1	176.6	176.6	176.6	176.6	176.6
Commercial	70.7	76.3	78.1	78.1	78.1	78.1
Industrial	0.0	0.0	0.0	0.0	0.0	0.0
Shopping Load at 146						
Residential	470.5	479.7	392.6	357.7	393.0	485.9
Commercial	350.6	355.1	315.6	335.2	314.7	328.2
Industrial	332.2	343.8	322.6	351.8	343.9	329.1
Shopping Load at 255						
Residential	56.0	125.2	97.1	102.1	215.0	467.1
Commercial	471.6	510.4	460.8	546.8	536.1	613.1
Industrial	391.7	481.0	523.2	650.0	711.6	751.7

Retail Stability Rider

	Jan-13	Feb-13	Mar-13	Apr-13	May-13	Jun-13
SSO Load						
Residential	609.6103563	471.8794472	453.2185375	322.8148331	316.7791653	393.2114468
Commercial	246.2517149	215.4162995	242.908673	223.3881772	249.0181609	264.9265122
Industrial	458.2230077	465.2247894	485.686521	479.7053497	498.4512681	488.9404709
	1314.085079	1152.520536	1181.813731	1025.90836	1064.248594	1147.07843
OAD Load						
Residential	1132.1	876.3	841.7	599.5	588.3	730.2
Commercial	941.9	826.5	931.7	856.1	961.8	1027.0
Industrial	1079.2	1092.5	1149.4	1129.6	1172.6	1141.5
	3153.3	2795.3	2922.8	2585.2	2722.6	2898.8
Total Load	4467.4	3947.9	4104.6	3611.1	3786.9	4045.9
Shopping % @ 146 Excluding Aggregation						
Residential	31%	31%	31%	31%	31%	31%
Commercial	31%	31%	31%	31%	31%	31%
Industrial	31%	31%	31%	31%	31%	31%
Aggregation Load above cap						
Residential	0.0	0.0	0.0	0.0	0.0	0.0
Commercial	0.0	0.0	0.0	0.0	0.0	0.0
Industrial	0.0	0.0	0.0	0.0	0.0	0.0
Shopping Load at 146						
Residential	539.9	418.0	401.4	285.9	280.6	348.3
Commercial	368.3	323.0	364.1	334.7	375.3	400.5
Industrial	476.6	482.9	506.9	498.9	518.0	505.4
Shopping Load at 255						
Residential	592.2	458.4	440.3	313.6	307.7	382.0
Commercial	573.6	503.5	567.6	521.5	586.4	626.5
Industrial	602.6	609.6	642.5	630.7	654.5	636.1

Retail Stability Rider

	Jul-13	Aug-13	Sep-13	Oct-13	Nov-13	Dec-13
SSO Load						
Residential	514.4891353	497.8747994	347.1307747	305.3586136	363.449648	521.7914386
Commercial	284.1194276	275.8063602	230.6139578	252.317517	233.2944327	249.7872988
Industrial	485.6607207	496.6014937	459.3437918	500.8447984	489.9974183	475.2642982
	1284.269284	1270.282653	1037.088524	1058.520929	1086.741499	1246.843036
OAD Load						
Residential	955.5	924.6	644.7	567.1	675.0	969.0
Commercial	1103.2	1069.5	889.5	966.6	891.7	957.5
Industrial	1139.2	1159.7	1070.4	1176.8	1150.3	1111.4
	3197.9	3153.8	2604.6	2710.4	2717.0	3037.9
Total Load	4482.1	4424.1	3641.7	3769.0	3803.7	4284.8
Shopping % @ 146 Excluding Aggregation						
Residential	31%	31%	31%	31%	31%	31%
Commercial	31%	31%	31%	31%	31%	31%
Industrial	31%	31%	31%	31%	31%	31%
Aggregation Load above cap						
Residential	0.0	0.0	0.0	0.0	0.0	0.0
Commercial	0.0	0.0	0.0	0.0	0.0	0.0
Industrial	0.0	0.0	0.0	0.0	0.0	0.0
Shopping Load at 146						
Residential	455.7	441.0	307.5	270.5	321.9	462.2
Commercial	430.1	417.0	347.2	377.8	348.8	374.3
Industrial	503.7	513.5	474.2	520.1	508.5	491.9
Shopping Load at 255						
Residential	499.8	483.6	337.2	296.6	353.1	506.9
Commercial	673.1	652.4	542.3	588.7	543.0	583.3
Industrial	635.5	646.3	596.2	656.7	641.8	619.5

Retail Stability Rider

	Jan-14	Feb-14	Mar-14	Apr-14	May-14	Jun-14
SSO Load						
Residential	588.5442322	457.1182199	450.4669503	320.2752508	311.4499455	392.1680707
Commercial	248.3697695	217.3231664	243.4592377	224.889814	248.1126511	266.8220594
Industrial	459.2135803	466.4316035	485.7739328	479.7401524	497.0598019	490.4715237
	1296.127582	1140.87299	1179.700121	1024.905217	1056.622399	1149.461654
OAD Load						
Residential	1093.0	848.9	836.6	594.8	578.4	728.3
Commercial	950.5	834.1	934.0	862.2	958.3	1034.6
Industrial	1082.3	1095.5	1149.0	1125.8	1168.0	1144.6
	3125.8	2778.6	2919.6	2582.8	2704.7	2907.5
Total Load	4421.9	3919.4	4099.3	3607.7	3761.3	4057.0
Shopping % @ 146 Excluding Aggregation						
Residential	41%	41%	41%	41%	41%	41%
Commercial	41%	41%	41%	41%	41%	41%
Industrial	41%	41%	41%	41%	41%	41%
Aggregation Load above cap						
Residential	0.0	0.0	0.0	0.0	0.0	0.0
Commercial	0.0	0.0	0.0	0.0	0.0	0.0
Industrial	0.0	0.0	0.0	0.0	0.0	0.0
Shopping Load at 146						
Residential	689.4	535.5	527.7	375.2	364.8	459.4
Commercial	491.5	431.1	482.8	445.7	494.6	533.6
Industrial	632.0	640.4	670.3	658.3	682.7	670.4
Shopping Load at 255						
Residential	403.6	313.5	308.9	219.6	213.6	268.9
Commercial	458.9	403.0	451.3	416.5	463.7	501.0
Industrial	450.3	455.1	478.7	467.5	485.3	474.2

Retail Stability Rider



	Jul-14	Aug-14	Sep-14	Oct-14	Nov-14	Dec-14
SSO Load						
Residential	508.7793802	491.022571	354.5518443	302.4381989	355.6313206	519.4760105
Commercial	283.4886574	274.724225	236.3254121	253.4418004	230.9979426	250.9306462
Industrial	485.415179	495.7824509	463.8134407	501.2855015	487.6175457	475.9395846
	1277.683217	1261.529247	1054.690697	1057.165501	1074.246809	1246.346241
OAD Load						
Residential	944.9	911.9	658.5	561.7	660.5	964.7
Commercial	1100.9	1065.2	912.1	971.0	882.8	962.2
Industrial	1138.1	1156.6	1080.7	1176.3	1144.1	1113.0
	3183.9	3133.7	2651.3	2708.9	2687.4	3039.9
Total Load	4461.6	4395.2	3705.9	3766.1	3761.6	4286.3
Shopping % @ 146 Excluding Aggregation						
Residential	41%	41%	41%	41%	41%	41%
Commercial	41%	41%	41%	41%	41%	41%
Industrial	41%	41%	41%	41%	41%	41%
Aggregation Load above cap						
Residential	0.0	0.0	0.0	0.0	0.0	0.0
Commercial	0.0	0.0	0.0	0.0	0.0	0.0
Industrial	0.0	0.0	0.0	0.0	0.0	0.0
Shopping Load at 146						
Residential	596.0	575.2	415.3	354.3	416.6	608.5
Commercial	567.6	549.4	470.8	502.0	456.7	497.4
Industrial	665.7	677.5	633.3	687.8	669.0	651.5
Shopping Load at 255						
Residential	348.9	336.7	243.1	207.4	243.9	356.2
Commercial	533.3	515.9	441.2	469.0	426.2	464.8
Industrial	472.5	479.1	447.5	488.5	475.1	461.6

Retail Stability Rider

	Jan-15	Feb-15	Mar-15	Apr-15	May-15
SSO Load					
Residential	579.6199901	453.0109062	450.9956689	319.8432286	306.7914377
Commercial	246.3653835	216.9184182	244.7167827	225.8567986	246.8440913
Industrial	457.1521259	465.5504035	486.0576112	479.6651162	494.5951383
	1283.1375	1135.479728	1181.770063	1025.365143	1048.230667
OAD Load					
Residential	1076.4	841.3	837.6	594.0	569.8
Commercial	942.7	832.6	939.0	866.1	953.4
Industrial	1078.1	1093.8	1150.2	1126.8	1162.3
	3097.2	2767.7	2926.8	2586.9	2685.4
Total Load	4380.4	3903.2	4108.6	3612.3	3733.6
Shopping % @ 146 Excluding Aggregation					
Residential	41%	41%	41%	41%	41%
Commercial	41%	41%	41%	41%	41%
Industrial	41%	41%	41%	41%	41%
Aggregation Load above cap					
Residential	0.0	0.0	0.0	0.0	0.0
Commercial	0.0	0.0	0.0	0.0	0.0
Industrial	0.0	0.0	0.0	0.0	0.0
Shopping Load at 146					
Residential	679.0	530.7	528.3	374.7	359.4
Commercial	487.5	430.3	485.3	447.7	492.1
Industrial	629.4	639.3	670.9	658.7	679.3
Shopping Load at 255					
Residential	397.5	310.6	309.3	219.3	210.4
Commercial	455.2	402.3	453.7	418.4	461.3
Industrial	448.6	454.5	479.3	468.2	483.0

Retail Stability Rider

	Jan-12	Feb-12	Mar-12	Apr-12	May-12	Jun-12
<b>SSO Rates</b>						
Residential	23.82	23.82	23.82	23.82	23.82	23.82
Commercial	28.10	28.10	28.10	28.10	28.10	28.10
Industrial	18.25	18.25	18.25	18.25	18.25	18.25
<b>Capacity Rates @ 146/MW-day</b>						
Residential	12.30	12.30	12.30	12.30	12.30	12.30
Commercial	9.43	9.43	9.43	9.43	9.43	9.43
Industrial	7.09	7.09	7.09	7.09	7.09	7.09
<b>Capacity Rates @ 255/MW-day</b>						
Residential	21.52	21.52	21.52	21.52	21.52	21.52
Commercial	16.49	16.49	16.49	16.49	16.49	16.49
Industrial	12.39	12.39	12.39	12.39	12.39	12.39
<b>Capacity Rates @ 356/MW-day</b>						
Residential						30.01
Commercial						23.01
Industrial						17.29
<b>SSO Revenues</b>						
Residential	\$ 40,909	\$ 31,575	\$ 26,817	\$ 17,060	\$ 15,828	\$ 18,394
Commercial	\$ 19,837	\$ 17,087	\$ 17,316	\$ 14,498	\$ 15,448	\$ 15,144
Industrial	\$ 22,472	\$ 22,816	\$ 21,339	\$ 19,431	\$ 19,228	\$ 17,376
Total	\$ 83,219	\$ 71,478	\$ 65,473	\$ 50,989	\$ 50,504	\$ 50,914
<b>CRES Revenues</b>						
Residential	\$ 431	\$ 333	\$ 2,143	\$ 2,080	\$ 3,005	\$ 4,168
Commercial	\$ 5,984	\$ 5,360	\$ 7,422	\$ 7,356	\$ 9,169	\$ 10,007
Industrial	\$ 1,885	\$ 1,916	\$ 3,596	\$ 4,408	\$ 5,642	\$ 6,429
Total	\$ 8,301	\$ 7,609	\$ 13,161	\$ 13,844	\$ 17,816	\$ 20,604

Retail Stability Rider

	Jul-12	Aug-12	Sep-12	Oct-12	Nov-12	Dec-12
<b>SSO Rates</b>						
Residential	23.82	23.82	23.82	23.82	23.82	23.82
Commercial	28.10	28.10	28.10	28.10	28.10	28.10
Industrial	18.25	18.25	18.25	18.25	18.25	18.25
<b>Capacity Rates @ 146/MW-day</b>						
Residential	12.30	12.30	12.30	12.30	12.30	12.30
Commercial	9.43	9.43	9.43	9.43	9.43	9.43
Industrial	7.09	7.09	7.09	7.09	7.09	7.09
<b>Capacity Rates @ 255/MW-day</b>						
Residential	21.52	21.52	21.52	21.52	21.52	21.52
Commercial	16.49	16.49	16.49	16.49	16.49	16.49
Industrial	12.39	12.39	12.39	12.39	12.39	12.39
<b>Capacity Rates @ 356/MW-day</b>						
Residential	30.01	30.01	30.01	30.01	30.01	30.01
Commercial	23.01	23.01	23.01	23.01	23.01	23.01
Industrial	17.29	17.29	17.29	17.29	17.29	17.29
<b>SSO Revenues</b>						
Residential	\$ 22,101	\$ 19,980	\$ 12,843	\$ 9,597	\$ 10,064	\$ 12,384
Commercial	\$ 14,341	\$ 12,991	\$ 9,959	\$ 9,618	\$ 7,748	\$ 7,015
Industrial	\$ 15,659	\$ 14,823	\$ 12,600	\$ 12,293	\$ 10,622	\$ 8,876
Total	\$ 52,101	\$ 47,794	\$ 35,402	\$ 31,508	\$ 28,434	\$ 28,276
<b>CRES Revenues</b>						
Residential	\$ 6,991	\$ 8,594	\$ 6,920	\$ 6,597	\$ 9,461	\$ 16,027
Commercial	\$ 11,083	\$ 11,765	\$ 10,575	\$ 12,178	\$ 11,808	\$ 13,205
Industrial	\$ 7,208	\$ 8,396	\$ 8,770	\$ 10,548	\$ 11,254	\$ 11,646
Total	\$ 25,283	\$ 28,756	\$ 26,265	\$ 29,322	\$ 32,523	\$ 40,879

Retail Stability Rider

	Jan-13	Feb-13	Mar-13	Apr-13	May-13	Jun-13
<b>SSO Rates</b>						
Residential	23.82	23.82	23.82	23.82	23.82	23.81
Commercial	28.10	28.10	28.10	28.10	28.10	28.10
Industrial	18.25	18.25	18.25	18.25	18.25	18.25
<b>Capacity Rates @ 146/MW-day</b>						
Residential	12.30	12.30	12.30	12.30	12.30	11.74
Commercial	9.43	9.43	9.43	9.43	9.43	8.98
Industrial	7.09	7.09	7.09	7.09	7.09	6.34
<b>Capacity Rates @ 255/MW-day</b>						
Residential	21.52	21.52	21.52	21.52	21.52	20.53
Commercial	16.49	16.49	16.49	16.49	16.49	15.7
Industrial	12.39	12.39	12.39	12.39	12.39	11.16
<b>Capacity Rates @ 356/MW-day</b>						
Residential	30.01	30.01	30.01	30.01	30.01	28.64
Commercial	23.01	23.01	23.01	23.01	23.01	21.9
Industrial	17.29	17.29	17.29	17.29	17.29	15.57
<b>SSO Revenues</b>						
Residential	\$ 14,521	\$ 11,240	\$ 10,796	\$ 7,689	\$ 7,546	\$ 9,362
Commercial	\$ 6,920	\$ 6,053	\$ 6,826	\$ 6,277	\$ 6,997	\$ 7,444
Industrial	\$ 8,363	\$ 8,490	\$ 8,864	\$ 8,755	\$ 9,097	\$ 8,923
Total	\$ 29,803	\$ 25,784	\$ 26,485	\$ 22,721	\$ 23,640	\$ 25,730
<b>CRES Revenues</b>						
Residential	\$ 19,385	\$ 15,005	\$ 14,412	\$ 10,265	\$ 10,073	\$ 11,931
Commercial	\$ 12,932	\$ 11,348	\$ 12,793	\$ 11,755	\$ 13,209	\$ 13,433
Industrial	\$ 10,846	\$ 10,977	\$ 11,555	\$ 11,351	\$ 11,782	\$ 10,303
Total	\$ 43,163	\$ 37,331	\$ 38,759	\$ 33,372	\$ 35,065	\$ 35,667

Retail Stability Rider

	Jul-13	Aug-13	Sep-13	Oct-13	Nov-13	Dec-13
<b>SSO Rates</b>						
Residential	23.81	23.81	23.81	23.81	23.81	23.81
Commercial	28.10	28.10	28.10	28.10	28.10	28.10
Industrial	18.25	18.25	18.25	18.25	18.25	18.25
<b>Capacity Rates @ 146/MW-day</b>						
Residential	11.74	11.74	11.74	11.74	11.74	11.74
Commercial	8.98	8.98	8.98	8.98	8.98	8.98
Industrial	6.34	6.34	6.34	6.34	6.34	6.34
<b>Capacity Rates @ 255/MW-day</b>						
Residential	20.53	20.53	20.53	20.53	20.53	20.53
Commercial	15.7	15.7	15.7	15.7	15.7	15.7
Industrial	11.16	11.16	11.16	11.16	11.16	11.16
<b>Capacity Rates @ 356/MW-day</b>						
Residential	28.64	28.64	28.64	28.64	28.64	28.64
Commercial	21.9	21.9	21.9	21.9	21.9	21.9
Industrial	15.57	15.57	15.57	15.57	15.57	15.57
<b>SSO Revenues</b>						
Residential	\$ 12,250	\$ 11,854	\$ 8,265	\$ 7,271	\$ 8,654	\$ 12,424
Commercial	\$ 7,984	\$ 7,750	\$ 6,480	\$ 7,090	\$ 6,556	\$ 7,019
Industrial	\$ 8,863	\$ 9,063	\$ 8,383	\$ 9,140	\$ 8,942	\$ 8,674
Total	\$ 29,097	\$ 28,668	\$ 23,128	\$ 23,501	\$ 24,152	\$ 28,116
<b>CRES Revenues</b>						
Residential	\$ 15,610	\$ 15,106	\$ 10,533	\$ 9,265	\$ 11,028	\$ 15,832
Commercial	\$ 14,430	\$ 13,988	\$ 11,632	\$ 12,636	\$ 11,656	\$ 12,518
Industrial	\$ 10,286	\$ 10,468	\$ 9,660	\$ 10,626	\$ 10,386	\$ 10,032
Total	\$ 40,326	\$ 39,562	\$ 31,824	\$ 32,527	\$ 33,070	\$ 38,382

Retail Stability Rider

	Jan-14	Feb-14	Mar-14	Apr-14	May-14	Jun-14
<b>SSO Rates</b>						
Residential	23.81	23.81	23.81	23.81	23.81	23.78
Commercial	28.10	28.10	28.10	28.10	28.10	28.10
Industrial	18.25	18.25	18.25	18.25	18.25	18.24
<b>Capacity Rates @ 146/MW-day</b>						
Residential	11.74	11.74	11.74	11.74	11.74	11.82
Commercial	8.98	8.98	8.98	8.98	8.98	9.20
Industrial	6.34	6.34	6.34	6.34	6.34	6.48
<b>Capacity Rates @ 255/MW-day</b>						
Residential	20.53	20.53	20.53	20.53	20.53	20.67
Commercial	15.7	15.7	15.7	15.7	15.7	16.09
Industrial	11.16	11.16	11.16	11.16	11.16	11.34
<b>Capacity Rates @ 356/MW-day</b>						
Residential	28.64	28.64	28.64	28.64	28.64	28.83
Commercial	21.9	21.9	21.9	21.9	21.9	22.45
Industrial	15.57	15.57	15.57	15.57	15.57	15.82
<b>SSO Revenues</b>						
Residential	\$ 14,013	\$ 10,884	\$ 10,726	\$ 7,626	\$ 7,416	\$ 9,326
Commercial	\$ 6,979	\$ 6,107	\$ 6,841	\$ 6,319	\$ 6,972	\$ 7,498
Industrial	\$ 8,381	\$ 8,512	\$ 8,865	\$ 8,755	\$ 9,071	\$ 8,946
Total	\$ 29,373	\$ 25,503	\$ 26,432	\$ 22,700	\$ 23,459	\$ 25,770
<b>CRES Revenues</b>						
Residential	\$ 16,379	\$ 12,722	\$ 12,537	\$ 8,913	\$ 8,668	\$ 10,989
Commercial	\$ 11,619	\$ 10,199	\$ 11,420	\$ 10,541	\$ 11,721	\$ 12,970
Industrial	\$ 9,032	\$ 9,139	\$ 9,592	\$ 9,391	\$ 9,744	\$ 9,722
Total	\$ 37,031	\$ 32,060	\$ 33,549	\$ 28,846	\$ 30,133	\$ 33,680

Retail Stability Rider

	Jul-14	Aug-14	Sep-14	Oct-14	Nov-14	Dec-14
<b>SSO Rates</b>						
Residential	23.78	23.78	23.78	23.78	23.78	23.78
Commercial	28.10	28.10	28.10	28.10	28.10	28.10
Industrial	18.24	18.24	18.24	18.24	18.24	18.24
<b>Capacity Rates @ 146/MW-day</b>						
Residential	11.82	11.82	11.82	11.82	11.82	11.82
Commercial	9.20	9.20	9.20	9.20	9.20	9.20
Industrial	6.48	6.48	6.48	6.48	6.48	6.48
<b>Capacity Rates @ 255/MW-day</b>						
Residential	20.67	20.67	20.67	20.67	20.67	20.67
Commercial	16.09	16.09	16.09	16.09	16.09	16.09
Industrial	11.34	11.34	11.34	11.34	11.34	11.34
<b>Capacity Rates @ 356/MW-day</b>						
Residential	28.83	28.83	28.83	28.83	28.83	28.83
Commercial	22.45	22.45	22.45	22.45	22.45	22.45
Industrial	15.82	15.82	15.82	15.82	15.82	15.82
<b>SSO Revenues</b>						
Residential	\$ 12,099	\$ 11,677	\$ 8,431	\$ 7,192	\$ 8,457	\$ 12,353
Commercial	\$ 7,966	\$ 7,720	\$ 6,641	\$ 7,122	\$ 6,491	\$ 7,051
Industrial	\$ 8,854	\$ 9,043	\$ 8,460	\$ 9,143	\$ 8,894	\$ 8,681
Total	\$ 28,919	\$ 28,439	\$ 23,532	\$ 23,457	\$ 23,842	\$ 28,085
<b>CRES Revenues</b>						
Residential	\$ 14,256	\$ 13,758	\$ 9,935	\$ 8,474	\$ 9,965	\$ 14,556
Commercial	\$ 13,803	\$ 13,354	\$ 11,431	\$ 12,165	\$ 11,058	\$ 12,054
Industrial	\$ 9,671	\$ 9,823	\$ 9,178	\$ 9,996	\$ 9,723	\$ 9,456
Total	\$ 37,730	\$ 36,936	\$ 30,543	\$ 30,635	\$ 30,746	\$ 36,066

Retail Stability Rider



		Jan-15	Feb-15	Mar-15	Apr-15	May-15
SSO Rates						
Residential		23.78	23.78	23.78	23.78	23.78
Commercial		28.10	28.10	28.10	28.10	28.10
Industrial		18.24	18.24	18.24	18.24	18.24
Capacity Rates @ 146/MW-day						
Residential		11.82	11.82	11.82	11.82	11.82
Commercial		9.20	9.20	9.20	9.20	9.20
Industrial		6.48	6.48	6.48	6.48	6.48
Capacity Rates @ 255/MW-day						
Residential		20.67	20.67	20.67	20.67	20.67
Commercial		16.09	16.09	16.09	16.09	16.09
Industrial		11.34	11.34	11.34	11.34	11.34
Capacity Rates @ 356/MW-day						
Residential		28.83	28.83	28.83	28.83	28.83
Commercial		22.45	22.45	22.45	22.45	22.45
Industrial		15.82	15.82	15.82	15.82	15.82
SSO Revenues						
Residential	\$	-	\$	-	\$	-
Commercial	\$	-	\$	-	\$	-
Industrial	\$	-	\$	-	\$	-
Total	\$	-	\$	-	\$	-
CRES Revenues						
Residential	\$	16,241	\$ 12,693	\$ 12,637	\$ 8,962	\$ 8,596
Commercial	\$	11,809	\$ 10,431	\$ 11,765	\$ 10,850	\$ 11,949
Industrial	\$	9,166	\$ 9,297	\$ 9,783	\$ 9,577	\$ 9,879
Total	\$	37,216	\$ 32,422	\$ 34,185	\$ 29,390	\$ 30,424

Retail Stability Rider

	Jan-12	Feb-12	Mar-12	Apr-12	May-12	Jun-12
<b>Auction Capacity Revenue</b>						
Residential	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
Commercial	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
Industrial	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
<b>Total</b>	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
<b>Capacity Revenues at 356/MW-day</b>						
Residential						\$ 10,170
Commercial						\$ 17,255
Industrial						\$ 11,481
<b>Total</b>						\$ 38,905
<b>Target Revenues</b>	929000					\$ 77,413
<b>Credit for Shopped Load</b>						\$ 5,258
<b>Forecasted Revenues</b>						\$ 76,777
<b>Retail Stability Rider Revenue</b>						\$ 636

Retail Stability Rider

		Jul-12	Aug-12	Sep-12	Oct-12	Nov-12	Dec-12
Auction Capacity Revenue							
Residential	\$	-	\$	-	\$	-	\$
Commercial	\$	-	\$	-	\$	-	\$
Industrial	\$	-	\$	-	\$	-	\$
Total	\$	-	\$	-	\$	-	\$
Capacity Revenues at 356/MW-day							
Residential	\$	15,799	\$ 18,153	\$ 14,698	\$ 13,799	\$ 18,246	\$ 28,598
Commercial	\$	18,919	\$ 19,916	\$ 17,865	\$ 20,295	\$ 19,577	\$ 21,661
Industrial	\$	12,516	\$ 14,259	\$ 14,625	\$ 17,321	\$ 18,248	\$ 18,686
Total	\$	47,233	\$ 52,328	\$ 47,188	\$ 51,416	\$ 56,071	\$ 68,944
Target Revenues		\$ 84,212	\$ 84,977	\$ 71,244	\$ 72,524	\$ 73,142	\$ 81,556
Credit for Shopped Load		\$ 6,218	\$ 6,885	\$ 6,336	\$ 7,031	\$ 7,543	\$ 8,925
Forecasted Revenues		\$ 83,601	\$ 83,435	\$ 68,003	\$ 67,861	\$ 68,499	\$ 78,080
Retail Stability Rider Revenue		\$ 610	\$ 1,542	\$ 3,241	\$ 4,662	\$ 4,643	\$ 3,476

Retail Stability Rider

	Jan-13	Feb-13	Mar-13	Apr-13	May-13	Jun-13
<b>Auction Capacity Revenue</b>						
Residential	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
Commercial	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
Industrial	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
<b>Total</b>	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
<b>Capacity Revenues at 356/MW-day</b>						
Residential	\$ 33,975	\$ 26,299	\$ 25,259	\$ 17,991	\$ 17,655	\$ 20,914
Commercial	\$ 21,674	\$ 19,017	\$ 21,438	\$ 19,700	\$ 22,130	\$ 22,492
Industrial	\$ 18,660	\$ 18,890	\$ 19,873	\$ 19,530	\$ 20,273	\$ 17,774
<b>Total</b>	\$ 74,309	\$ 64,206	\$ 66,570	\$ 57,221	\$ 60,058	\$ 61,180
<b>Target Revenues</b>	\$ 86,113	\$ 76,098	\$ 79,119	\$ 69,608	\$ 72,995	\$ 77,882
<b>Credit for Shopped Load</b>	\$ 9,460	\$ 8,386	\$ 8,768	\$ 7,756	\$ 8,168	\$ 8,696
<b>Forecasted Revenues</b>	\$ 82,426	\$ 71,500	\$ 74,013	\$ 63,849	\$ 66,873	\$ 70,093
<b>Retail Stability Rider Revenue</b>	\$ 3,687	\$ 4,598	\$ 5,107	\$ 5,759	\$ 6,122	\$ 7,788

Retail Stability Rider

	Jul-13	Aug-13	Sep-13	Oct-13	Nov-13	Dec-13
<b>Auction Capacity Revenue</b>						
Residential	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
Commercial	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
Industrial	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
<b>Total</b>	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
<b>Capacity Revenues at 356/MW-day</b>						
Residential	\$ 27,365	\$ 26,481	\$ 18,463	\$ 16,242	\$ 19,331	\$ 27,753
Commercial	\$ 24,160	\$ 23,421	\$ 19,480	\$ 21,167	\$ 19,529	\$ 20,970
Industrial	\$ 17,737	\$ 18,057	\$ 16,667	\$ 18,323	\$ 17,909	\$ 17,304
<b>Total</b>	\$ 69,262	\$ 67,960	\$ 54,610	\$ 55,732	\$ 56,769	\$ 66,027
<b>Target Revenues</b>	\$ 86,279	\$ 85,162	\$ 70,101	\$ 72,551	\$ 73,219	\$ 82,480
<b>Credit for Shopped Load</b>	\$ 9,594	\$ 9,462	\$ 7,814	\$ 8,131	\$ 8,151	\$ 9,114
<b>Forecasted Revenues</b>	\$ 79,017	\$ 77,691	\$ 62,767	\$ 64,160	\$ 65,373	\$ 75,613
<b>Retail Stability Rider Revenue</b>	\$ 7,262	\$ 7,471	\$ 7,334	\$ 8,391	\$ 7,847	\$ 6,868

Retail Stability Rider

	Jan-14	Feb-14	Mar-14	Apr-14	May-14	Jun-14
<b>Auction Capacity Revenue</b>						
Residential	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
Commercial	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
Industrial	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
Total	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
<b>Capacity Revenues at 356/MW-day</b>						
Residential	\$ 31,304	\$ 24,313	\$ 23,960	\$ 17,035	\$ 16,566	\$ 20,997
Commercial	\$ 20,815	\$ 18,267	\$ 20,455	\$ 18,882	\$ 20,987	\$ 23,226
Industrial	\$ 16,852	\$ 17,057	\$ 17,890	\$ 17,528	\$ 18,185	\$ 18,108
Total	\$ 68,970	\$ 59,638	\$ 62,305	\$ 53,445	\$ 55,738	\$ 62,331
<b>Target Revenues</b>	\$ 85,120	\$ 75,447	\$ 78,910	\$ 69,446	\$ 72,403	\$ 78,239
<b>Credit for Shopped Load</b>	\$ 9,377	\$ 8,336	\$ 8,759	\$ 7,748	\$ 8,114	\$ 8,723
<b>Forecasted Revenues</b>	\$ 75,781	\$ 65,898	\$ 68,740	\$ 59,294	\$ 61,706	\$ 68,173
<b>Retail Stability Rider Revenue</b>	\$ 9,338	\$ 9,549	\$ 10,170	\$ 10,152	\$ 10,697	\$ 10,067

Retail Stability Rider



Auction Capacity Revenue		Jan-15	Feb-15	Mar-15	Apr-15	May-15
Residential	\$	11,981	\$ 9,364	\$ 9,322	\$ 6,611	\$ 6,341
Commercial	\$	3,964	\$ 3,490	\$ 3,937	\$ 3,634	\$ 3,972
Industrial	\$	5,184	\$ 5,279	\$ 5,512	\$ 5,439	\$ 5,609
Total	\$	21,129	\$ 18,133	\$ 18,771	\$ 15,685	\$ 15,922
Capacity Revenues at 356/MW-day						
Residential	\$	47,744	\$ 37,315	\$ 37,149	\$ 26,346	\$ 25,271
Commercial	\$	26,694	\$ 23,561	\$ 26,575	\$ 24,514	\$ 26,945
Industrial	\$	24,288	\$ 24,669	\$ 25,886	\$ 25,415	\$ 26,212
Total	\$	98,726	\$ 85,546	\$ 89,610	\$ 76,275	\$ 78,428
Target Revenues	\$	84,476	\$ 75,273	\$ 79,235	\$ 69,663	\$ 72,004
Credit for Shopped Load	\$	13,141	\$ 11,710	\$ 12,326	\$ 10,837	\$ 11,201
Forecasted Revenues	\$	71,486	\$ 62,264	\$ 65,282	\$ 55,911	\$ 57,547
Retail Stability Rider Revenue	\$	12,989	\$ 13,009	\$ 13,952	\$ 13,752	\$ 14,457

Retail Stability Rider



	Jun-12	Jul-12	Aug-12	Sep-12	Oct-12	Nov-12	Dec-12	Jan-13	Feb-13	Mar-13
Connected Load										
Residential	1111.07698	1454.26523	1443.6889	1028.932	862.7205	1030.521	1472.851	1741.744	1348.227	1294.91
Commercial	1288.81135	1332.55133	1327.8365	1130.814	1224.299	1126.504	1191.004	1188.171	1041.885	1174.591
Industrial	1616.14048	1581.93704	1636.9379	1536.278	1675.377	1637.445	1567.112	1537.464	1557.738	1635.076
Total	4016.02881	4368.7536	4408.4633	3696.024	3762.397	3794.47	4230.967	4467.379	3947.85	4104.577
Shopping Credit %	20%	20%	20%	20%	20%	20%	20%	20%	20%	20%
Shopping Credits @ \$10/MWh	\$ 8,032	\$ 8,738	\$ 8,817	\$ 7,392	\$ 7,525	\$ 7,589	\$ 8,462	\$ 8,935	\$ 7,896	\$ 8,209
Total	\$ 354,908									

Shopping Credits

	Apr-13	May-13	Jun-13	Jul-13	Aug-13	Sep-13	Oct-13	Nov-13	Dec-13	Jan-14
Connected Load										
Residential	922.3281	905.0833	1123.461	1469.969	1422.499	991.8022	872.4532	1038.428	1490.833	1681.555
Commercial	1079.531	1210.769	1291.962	1387.302	1345.278	1120.099	1218.868	1125.012	1207.327	1198.82
Industrial	1609.263	1671.003	1630.474	1624.859	1656.34	1529.792	1677.64	1640.252	1586.624	1541.523
Total	3611.122	3786.855	4045.897	4482.13	4424.118	3641.693	3768.961	3803.692	4284.784	4421.898
Shopping Credit %	20%	20%	30%	30%	30%	30%	30%	30%	30%	30%
Shopping Credits @ \$10/MWh	\$ 7,222	\$ 7,574	\$ 12,138	\$ 13,446	\$ 13,272	\$ 10,925	\$ 11,307	\$ 11,411	\$ 12,854	\$ 13,266
Total										

Shopping Credits

	Feb-14	Mar-14	Apr-14	May-14	Jun-14	Jul-14	Aug-14	Sep-14	Oct-14	Nov-14
Connected Load										
Residential	1306.052	1287.048	915.0721	889.857	1120.48	1453.655	1402.922	1013.005	864.1091	1016.089
Commercial	1051.436	1177.476	1087.095	1206.412	1301.379	1384.415	1339.957	1148.398	1224.446	1113.822
Industrial	1561.935	1634.773	1605.508	1665.04	1635.117	1623.552	1652.365	1544.542	1677.56	1631.703
Total	3919.423	4099.297	3607.675	3761.309	4056.976	4461.623	4395.244	3705.945	3766.115	3761.614
Shopping Credit %	30%	30%	30%	30%	40%	40%	40%	40%	40%	40%
Shopping Credits @ \$10/MWh	\$ 11,758	\$ 12,298	\$ 10,823	\$ 11,284	\$ 16,228	\$ 17,846	\$ 17,581	\$ 14,824	\$ 15,064	\$ 15,046
Total										

Shopping Credits

	Dec-14	Jan-15	Feb-15	Mar-15	Apr-15	May-15
Connected Load						
Residential	1484.217	1656.057	1294.317	1288.559	913.8378	876.547
Commercial	1213.099	1189.05	1049.496	1183.75	1091.921	1200.218
Industrial	1588.967	1535.244	1559.371	1636.279	1606.515	1656.885
Total	4286.283	4380.351	3903.184	4108.588	3612.273	3733.65

Shopping Credit % 40%

Shopping Credits @ \$10/MWh \$ 17,145

Total

Shopping Credits

	Jan-12	Feb-12	Mar-12	Apr-12	May-12	Jun-12
SSO Load						
Residential	1717.4	1325.5	1125.8	716.2	664.5	772.2
Commercial	705.9	608.1	616.2	515.9	549.8	538.9
Industrial	1231.4	1250.2	1169.3	1064.7	1053.6	952.1
	3654.7	3183.8	2911.3	2296.9	2267.8	2263.2
OAD Load						
Residential	35.0	27.1	174.2	169.1	219.1	338.9
Commercial	468.5	417.2	555.4	541.1	665.3	749.9
Industrial	265.9	270.3	434.3	496.0	604.3	664.0
	769.5	714.5	1164.0	1206.2	1488.7	1752.8
Total Load	4424.2	3898.3	4075.3	3503.1	3756.5	4016.0
Shopping % @ 146 Excluding Aggregation						
Residential	21%	21%	21%	21%	21%	21%
Commercial	21%	21%	21%	21%	21%	21%
Industrial	21%	21%	21%	21%	21%	21%
Aggregation Load above cap						
Residential						142.0
Commercial						63.3
Industrial						0.0
Shopping Load at 146						
Residential	35.0	27.1	174.2	169.1	185.6	338.9
Commercial	246.6	215.3	246.0	222.0	255.2	334.0
Industrial	265.9	270.3	336.8	327.8	348.2	339.4
Shopping Load at 255						
Residential	0.0	0.0	0.0	0.0	33.6	0.0
Commercial	221.8	201.9	309.4	319.2	410.1	415.9
Industrial	0.0	0.0	97.6	168.2	256.1	324.6

\$10 Impact

	Jul-12	Aug-12	Sep-12	Oct-12	Nov-12	Dec-12	Jan-13	Feb-13
SSO Load								
Residential	927.8	838.8	539.2	402.9	422.5	519.9	609.6	471.9
Commercial	510.4	462.3	354.4	342.3	275.7	249.7	246.3	215.4
Industrial	858.0	812.2	690.4	673.6	582.0	486.4	458.2	465.2
	2296.2	2113.3	1584.0	1418.7	1280.2	1255.9	1314.1	1152.5
OAD Load								
Residential	526.4	604.9	489.8	459.8	608.0	952.9	1132.1	876.3
Commercial	822.2	865.5	776.4	882.0	850.8	941.4	941.9	826.5
Industrial	723.9	824.7	845.9	1001.8	1055.4	1080.8	1079.2	1092.5
	2072.5	2295.2	2112.0	2343.6	2514.2	2975.0	3153.3	2795.3
Total Load	4368.8	4408.5	3696.0	3762.4	3794.5	4231.0	4467.4	3947.9
Shopping % @ 146 Excluding Aggregation								
Residential	21%	21%	21%	21%	21%	21%	31%	31%
Commercial	21%	21%	21%	21%	21%	21%	31%	31%
Industrial	21%	21%	21%	21%	21%	21%	31%	31%
Aggregation Load above cap								
Residential	165.1	176.6	176.6	176.6	176.6	176.6	0.0	0.0
Commercial	70.7	76.3	78.1	78.1	78.1	78.1	0.0	0.0
Industrial	0.0	0.0	0.0	0.0	0.0	0.0	0.0	0.0
Shopping Load at 146								
Residential	470.5	479.7	392.6	357.7	393.0	485.9	539.9	418.0
Commercial	350.6	355.1	315.6	335.2	314.7	328.2	368.3	323.0
Industrial	332.2	343.8	322.6	351.8	343.9	329.1	476.6	482.9
Shopping Load at 255								
Residential	56.0	125.2	97.1	102.1	215.0	467.1	592.2	458.4
Commercial	471.6	510.4	460.8	546.8	536.1	613.1	573.6	503.5
Industrial	391.7	481.0	523.2	650.0	711.6	751.7	602.6	609.6

\$10 Impact

	Mar-13	Apr-13	May-13	Jun-13	Jul-13	Aug-13	Sep-13	Oct-13
SSO Load								
Residential	453.2	322.8	316.8	393.2	514.5	497.9	347.1	305.4
Commercial	242.9	223.4	249.0	264.9	284.1	275.8	230.6	252.3
Industrial	485.7	479.7	498.5	488.9	485.7	496.6	459.3	500.8
	1181.8	1025.9	1064.2	1147.1	1284.3	1270.3	1037.1	1058.5
OAD Load								
Residential	841.7	599.5	588.3	730.2	955.5	924.6	644.7	567.1
Commercial	931.7	856.1	961.8	1027.0	1103.2	1069.5	889.5	966.6
Industrial	1149.4	1129.6	1172.6	1141.5	1139.2	1159.7	1070.4	1176.8
	2922.8	2585.2	2722.6	2898.8	3197.9	3153.8	2604.6	2710.4
Total Load	4104.6	3611.1	3786.9	4045.9	4482.1	4424.1	3641.7	3769.0
Shopping % @ 146 Excluding Aggregation								
Residential	31%	31%	31%	31%	31%	31%	31%	31%
Commercial	31%	31%	31%	31%	31%	31%	31%	31%
Industrial	31%	31%	31%	31%	31%	31%	31%	31%
Aggregation Load above cap								
Residential	0.0	0.0	0.0	0.0	0.0	0.0	0.0	0.0
Commercial	0.0	0.0	0.0	0.0	0.0	0.0	0.0	0.0
Industrial	0.0	0.0	0.0	0.0	0.0	0.0	0.0	0.0
Shopping Load at 146								
Residential	401.4	285.9	280.6	348.3	455.7	441.0	307.5	270.5
Commercial	364.1	334.7	375.3	400.5	430.1	417.0	347.2	377.8
Industrial	506.9	498.9	518.0	505.4	503.7	513.5	474.2	520.1
Shopping Load at 255								
Residential	440.3	313.6	307.7	382.0	499.8	483.6	337.2	296.6
Commercial	567.6	521.5	586.4	626.5	673.1	652.4	542.3	588.7
Industrial	642.5	630.7	654.5	636.1	635.5	646.3	596.2	656.7

\$10 Impact

	Nov-13	Dec-13	Jan-14	Feb-14	Mar-14	Apr-14	May-14	Jun-14
SSO Load								
Residential	363.4	521.8	588.5	457.1	450.5	320.3	311.4	392.2
Commercial	233.3	249.8	248.4	217.3	243.5	224.9	248.1	266.8
Industrial	490.0	475.3	459.2	466.4	485.8	479.7	497.1	490.5
	1086.7	1246.8	1296.1	1140.9	1179.7	1024.9	1056.6	1149.5
OAD Load								
Residential	675.0	969.0	1093.0	848.9	836.6	594.8	578.4	728.3
Commercial	891.7	957.5	950.5	834.1	934.0	862.2	958.3	1034.6
Industrial	1150.3	1111.4	1082.3	1095.5	1149.0	1125.8	1168.0	1144.6
	2717.0	3037.9	3125.8	2778.6	2919.6	2582.8	2704.7	2907.5
Total Load	3803.7	4284.8	4421.9	3919.4	4099.3	3607.7	3761.3	4057.0
Shopping % @ 146 Excluding Aggregation								
Residential	31%	31%	41%	41%	41%	41%	41%	41%
Commercial	31%	31%	41%	41%	41%	41%	41%	41%
Industrial	31%	31%	41%	41%	41%	41%	41%	41%
Aggregation Load above cap								
Residential	0.0	0.0	0.0	0.0	0.0	0.0	0.0	0.0
Commercial	0.0	0.0	0.0	0.0	0.0	0.0	0.0	0.0
Industrial	0.0	0.0	0.0	0.0	0.0	0.0	0.0	0.0
Shopping Load at 146								
Residential	321.9	462.2	689.4	535.5	527.7	375.2	364.8	459.4
Commercial	348.8	374.3	491.5	431.1	482.8	445.7	494.6	533.6
Industrial	508.5	491.9	632.0	640.4	670.3	658.3	682.7	670.4
Shopping Load at 255								
Residential	353.1	506.9	403.6	313.5	308.9	219.6	213.6	268.9
Commercial	543.0	583.3	458.9	403.0	451.3	416.5	463.7	501.0
Industrial	641.8	619.5	450.3	455.1	478.7	467.5	485.3	474.2

\$10 Impact



	Jul-14	Aug-14	Sep-14	Oct-14	Nov-14	Dec-14	Jan-15	Feb-15
SSO Load								
Residential	508.8	491.0	354.6	302.4	355.6	519.5	579.6	453.0
Commercial	283.5	274.7	236.3	253.4	231.0	250.9	246.4	216.9
Industrial	485.4	495.8	463.8	501.3	487.6	475.9	457.2	465.6
	1277.7	1261.5	1054.7	1057.2	1074.2	1246.3	1283.1	1135.5
OAD Load								
Residential	944.9	911.9	658.5	561.7	660.5	964.7	1076.4	841.3
Commercial	1100.9	1065.2	912.1	971.0	882.8	962.2	942.7	832.6
Industrial	1138.1	1156.6	1080.7	1176.3	1144.1	1113.0	1078.1	1093.8
	3183.9	3133.7	2651.3	2708.9	2687.4	3039.9	3097.2	2767.7
Total Load	4461.6	4395.2	3705.9	3766.1	3761.6	4286.3	4380.4	3903.2
Shopping % @ 146 Excluding Aggregation								
Residential	41%	41%	41%	41%	41%	41%	41%	41%
Commercial	41%	41%	41%	41%	41%	41%	41%	41%
Industrial	41%	41%	41%	41%	41%	41%	41%	41%
Aggregation Load above cap								
Residential	0.0	0.0	0.0	0.0	0.0	0.0	0.0	0.0
Commercial	0.0	0.0	0.0	0.0	0.0	0.0	0.0	0.0
Industrial	0.0	0.0	0.0	0.0	0.0	0.0	0.0	0.0
Shopping Load at 146								
Residential	596.0	575.2	415.3	354.3	416.6	608.5	679.0	530.7
Commercial	567.6	549.4	470.8	502.0	456.7	497.4	487.5	430.3
Industrial	665.7	677.5	633.3	687.8	669.0	651.5	629.4	639.3
Shopping Load at 255								
Residential	348.9	336.7	243.1	207.4	243.9	356.2	397.5	310.6
Commercial	533.3	515.9	441.2	469.0	426.2	464.8	455.2	402.3
Industrial	472.5	479.1	447.5	488.5	475.1	461.6	448.6	454.5

\$10 Impact

	Mar-15	Apr-15	May-15
SSO Load			
Residential	451.0	319.8	306.8
Commercial	244.7	225.9	246.8
Industrial	486.1	479.7	494.6
	1181.8	1025.4	1048.2
OAD Load			
Residential	837.6	594.0	569.8
Commercial	939.0	866.1	953.4
Industrial	1150.2	1126.8	1162.3
	2926.8	2586.9	2685.4
Total Load	4108.6	3612.3	3733.6
Shopping % @ 146 Excluding Aggregation			
Residential	41%	41%	41%
Commercial	41%	41%	41%
Industrial	41%	41%	41%
Aggregation Load above cap			
Residential	0.0	0.0	0.0
Commercial	0.0	0.0	0.0
Industrial	0.0	0.0	0.0
Shopping Load at 146			
Residential	528.3	374.7	359.4
Commercial	485.3	447.7	492.1
Industrial	670.9	658.7	679.3
Shopping Load at 255			
Residential	309.3	219.3	210.4
Commercial	453.7	418.4	461.3
Industrial	479.3	468.2	483.0

\$10 Impact

	Jan-12	Feb-12	Mar-12	Apr-12	May-12	Jun-12
<b>SSO Rates</b>						
Residential	23.82	23.82	23.82	23.82	23.82	23.82
Commercial	28.10	28.10	28.10	28.10	28.10	28.10
Industrial	18.25	18.25	18.25	18.25	18.25	18.25
<b>Capacity Rates @ 146/MW-day</b>						
Residential	12.30	12.30	12.30	12.30	12.30	12.30
Commercial	9.43	9.43	9.43	9.43	9.43	9.43
Industrial	7.09	7.09	7.09	7.09	7.09	7.09
<b>Capacity Rates @ 245/MW-day</b>						
Residential	20.68	20.68	20.68	20.68	20.68	20.68
Commercial	15.84	15.84	15.84	15.84	15.84	15.84
Industrial	11.90	11.90	11.90	11.90	11.90	11.90
<b>Capacity Rates @ 356/MW-day</b>						
Residential						30.01
Commercial						23.01
Industrial						17.29
<b>SSO Revenues</b>						
Residential	\$ 40,909	\$ 31,575	\$ 26,817	\$ 17,060	\$ 15,828	\$ 18,394
Commercial	\$ 19,837	\$ 17,087	\$ 17,316	\$ 14,498	\$ 15,448	\$ 15,144
Industrial	\$ 22,472	\$ 22,816	\$ 21,339	\$ 19,431	\$ 19,228	\$ 17,376
Total	\$ 83,219	\$ 71,478	\$ 65,473	\$ 50,989	\$ 50,504	\$ 50,914
<b>CRES Revenues</b>						
Residential	\$ 431	\$ 333	\$ 2,143	\$ 2,080	\$ 2,977	\$ 4,168
Commercial	\$ 5,841	\$ 5,229	\$ 7,222	\$ 7,150	\$ 8,904	\$ 9,739
Industrial	\$ 1,885	\$ 1,916	\$ 3,549	\$ 4,327	\$ 5,517	\$ 6,271
Total	\$ 8,157	\$ 7,478	\$ 12,914	\$ 13,556	\$ 17,398	\$ 20,178

\$10 Impact

	Jul-12	Aug-12	Sep-12	Oct-12	Nov-12	Dec-12	Jan-13	Feb-13
<b>SSO Rates</b>								
Residential	23.82	23.82	23.82	23.82	23.82	23.82	23.82	23.82
Commercial	28.10	28.10	28.10	28.10	28.10	28.10	28.10	28.10
Industrial	18.25	18.25	18.25	18.25	18.25	18.25	18.25	18.25
<b>Capacity Rates @ 146/MW-day</b>								
Residential	12.30	12.30	12.30	12.30	12.30	12.30	12.30	12.30
Commercial	9.43	9.43	9.43	9.43	9.43	9.43	9.43	9.43
Industrial	7.09	7.09	7.09	7.09	7.09	7.09	7.09	7.09
<b>Capacity Rates @ 245/MW-day</b>								
Residential	20.68	20.68	20.68	20.68	20.68	20.68	20.68	20.68
Commercial	15.84	15.84	15.84	15.84	15.84	15.84	15.84	15.84
Industrial	11.90	11.90	11.90	11.90	11.90	11.90	11.90	11.90
<b>Capacity Rates @ 356/MW-day</b>								
Residential	30.01	30.01	30.01	30.01	30.01	30.01	30.01	30.01
Commercial	23.01	23.01	23.01	23.01	23.01	23.01	23.01	23.01
Industrial	17.29	17.29	17.29	17.29	17.29	17.29	17.29	17.29
<b>SSO Revenues</b>								
Residential	\$ 22,101	\$ 19,980	\$ 12,843	\$ 9,597	\$ 10,064	\$ 12,384	\$ 14,521	\$ 11,240
Commercial	\$ 14,341	\$ 12,991	\$ 9,959	\$ 9,618	\$ 7,748	\$ 7,015	\$ 6,920	\$ 6,053
Industrial	\$ 15,659	\$ 14,823	\$ 12,600	\$ 12,293	\$ 10,622	\$ 8,876	\$ 8,363	\$ 8,490
Total	\$ 52,101	\$ 47,794	\$ 35,402	\$ 31,508	\$ 28,434	\$ 28,276	\$ 29,803	\$ 25,784
<b>CRES Revenues</b>								
Residential	\$ 6,944	\$ 8,489	\$ 6,838	\$ 6,511	\$ 9,280	\$ 15,633	\$ 18,885	\$ 14,619
Commercial	\$ 10,778	\$ 11,435	\$ 10,277	\$ 11,824	\$ 11,461	\$ 12,809	\$ 12,561	\$ 11,023
Industrial	\$ 7,018	\$ 8,163	\$ 8,516	\$ 10,232	\$ 10,909	\$ 11,281	\$ 10,553	\$ 10,681
Total	\$ 24,740	\$ 28,087	\$ 25,630	\$ 28,567	\$ 31,649	\$ 39,723	\$ 41,999	\$ 36,322

\$10 Impact

	Mar-13	Apr-13	May-13	Jun-13	Jul-13	Aug-13	Sep-13	Oct-13
<b>SSO Rates</b>								
Residential	23.82	23.82	23.82	23.81	23.81	23.81	23.81	23.81
Commercial	28.10	28.10	28.10	28.10	28.10	28.10	28.10	28.10
Industrial	18.25	18.25	18.25	18.25	18.25	18.25	18.25	18.25
<b>Capacity Rates @ 146/MW-day</b>								
Residential	12.30	12.30	12.30	11.74	11.74	11.74	11.74	11.74
Commercial	9.43	9.43	9.43	8.98	8.98	8.98	8.98	8.98
Industrial	7.09	7.09	7.09	6.34	6.34	6.34	6.34	6.34
<b>Capacity Rates @ 245/MW-day</b>								
Residential	20.68	20.68	20.68	19.72	19.72	19.72	19.72	19.72
Commercial	15.84	15.84	15.84	15.08	15.08	15.08	15.08	15.08
Industrial	11.90	11.90	11.90	10.72	10.72	10.72	10.72	10.72
<b>Capacity Rates @ 356/MW-day</b>								
Residential	30.01	30.01	30.01	28.64	28.64	28.64	28.64	28.64
Commercial	23.01	23.01	23.01	21.9	21.9	21.9	21.9	21.9
Industrial	17.29	17.29	17.29	15.57	15.57	15.57	15.57	15.57
<b>SSO Revenues</b>								
Residential	\$ 10,796	\$ 7,689	\$ 7,546	\$ 9,362	\$ 12,250	\$ 11,854	\$ 8,265	\$ 7,271
Commercial	\$ 6,826	\$ 6,277	\$ 6,997	\$ 7,444	\$ 7,984	\$ 7,750	\$ 6,480	\$ 7,090
Industrial	\$ 8,864	\$ 8,755	\$ 9,097	\$ 8,923	\$ 8,863	\$ 9,063	\$ 8,383	\$ 9,140
Total	\$ 26,485	\$ 22,721	\$ 23,640	\$ 25,730	\$ 29,097	\$ 28,668	\$ 23,128	\$ 23,501
<b>CRES Revenues</b>								
Residential	\$ 14,041	\$ 10,001	\$ 9,814	\$ 11,623	\$ 15,208	\$ 14,717	\$ 10,261	\$ 9,026
Commercial	\$ 12,426	\$ 11,418	\$ 12,830	\$ 13,047	\$ 14,016	\$ 13,587	\$ 11,298	\$ 12,273
Industrial	\$ 11,242	\$ 11,045	\$ 11,464	\$ 10,025	\$ 10,007	\$ 10,185	\$ 9,399	\$ 10,339
Total	\$ 37,709	\$ 32,463	\$ 34,108	\$ 34,695	\$ 39,231	\$ 38,488	\$ 30,958	\$ 31,638

\$10 Impact

	Nov-13	Dec-13	Jan-14	Feb-14	Mar-14	Apr-14	May-14	Jun-14
<b>SSO Rates</b>								
Residential	23.81	23.81	23.81	23.81	23.81	23.81	23.81	23.78
Commercial	28.10	28.10	28.10	28.10	28.10	28.10	28.10	28.10
Industrial	18.25	18.25	18.25	18.25	18.25	18.25	18.25	18.24
<b>Capacity Rates @ 146/MW-day</b>								
Residential	11.74	11.74	11.74	11.74	11.74	11.74	11.74	11.82
Commercial	8.98	8.98	8.98	8.98	8.98	8.98	8.98	9.20
Industrial	6.34	6.34	6.34	6.34	6.34	6.34	6.34	6.48
<b>Capacity Rates @ 245/MW-day</b>								
Residential	19.72	19.72	19.72	19.72	19.72	19.72	19.72	19.86
Commercial	15.08	15.08	15.08	15.08	15.08	15.08	15.08	15.46
Industrial	10.72	10.72	10.72	10.72	10.72	10.72	10.72	10.90
<b>Capacity Rates @ 356/MW-day</b>								
Residential	28.64	28.64	28.64	28.64	28.64	28.64	28.64	28.83
Commercial	21.9	21.9	21.9	21.9	21.9	21.9	21.9	22.45
Industrial	15.57	15.57	15.57	15.57	15.57	15.57	15.57	15.82
<b>SSO Revenues</b>								
Residential	\$ 8,654	\$ 12,424	\$ 14,013	\$ 10,884	\$ 10,726	\$ 7,626	\$ 7,416	\$ 9,326
Commercial	\$ 6,556	\$ 7,019	\$ 6,979	\$ 6,107	\$ 6,841	\$ 6,319	\$ 6,972	\$ 7,498
Industrial	\$ 8,942	\$ 8,674	\$ 8,381	\$ 8,512	\$ 8,865	\$ 8,755	\$ 9,071	\$ 8,946
Total	\$ 24,152	\$ 28,116	\$ 29,373	\$ 25,503	\$ 26,432	\$ 22,700	\$ 23,459	\$ 25,770
<b>CRES Revenues</b>								
Residential	\$ 10,743	\$ 15,424	\$ 16,054	\$ 12,469	\$ 12,288	\$ 8,737	\$ 8,496	\$ 10,771
Commercial	\$ 11,322	\$ 12,159	\$ 11,337	\$ 9,951	\$ 11,142	\$ 10,285	\$ 11,436	\$ 12,654
Industrial	\$ 10,105	\$ 9,761	\$ 8,835	\$ 8,940	\$ 9,383	\$ 9,186	\$ 9,532	\$ 9,511
Total	\$ 32,171	\$ 37,344	\$ 36,226	\$ 31,360	\$ 32,813	\$ 28,208	\$ 29,464	\$ 32,935

\$10 Impact

	Jul-14	Aug-14	Sep-14	Oct-14	Nov-14	Dec-14	Jan-15	Feb-15
<b>SSO Rates</b>								
Residential	23.78	23.78	23.78	23.78	23.78	23.78	23.78	23.78
Commercial	28.10	28.10	28.10	28.10	28.10	28.10	28.10	28.10
Industrial	18.24	18.24	18.24	18.24	18.24	18.24	18.24	18.24
<b>Capacity Rates @ 146/MW-day</b>								
Residential	11.82	11.82	11.82	11.82	11.82	11.82	11.82	11.82
Commercial	9.20	9.20	9.20	9.20	9.20	9.20	9.20	9.20
Industrial	6.48	6.48	6.48	6.48	6.48	6.48	6.48	6.48
<b>Capacity Rates @ 245/MW-day</b>								
Residential	19.86	19.86	19.86	19.86	19.86	19.86	19.86	19.86
Commercial	15.46	15.46	15.46	15.46	15.46	15.46	15.46	15.46
Industrial	10.90	10.90	10.90	10.90	10.90	10.90	10.90	10.90
<b>Capacity Rates @ 356/MW-day</b>								
Residential	28.83	28.83	28.83	28.83	28.83	28.83	28.83	28.83
Commercial	22.45	22.45	22.45	22.45	22.45	22.45	22.45	22.45
Industrial	15.82	15.82	15.82	15.82	15.82	15.82	15.82	15.82
<b>SSO Revenues</b>								
Residential	\$ 12,099	\$ 11,677	\$ 8,431	\$ 7,192	\$ 8,457	\$ 12,353	\$ -	\$ -
Commercial	\$ 7,966	\$ 7,720	\$ 6,641	\$ 7,122	\$ 6,491	\$ 7,051	\$ -	\$ -
Industrial	\$ 8,854	\$ 9,043	\$ 8,460	\$ 9,143	\$ 8,894	\$ 8,681	\$ -	\$ -
Total	\$ 28,919	\$ 28,439	\$ 23,532	\$ 23,457	\$ 23,842	\$ 28,085	\$ -	\$ -
<b>CRES Revenues</b>								
Residential	\$ 13,973	\$ 13,486	\$ 9,737	\$ 8,306	\$ 9,767	\$ 14,267	\$ 15,919	\$ 12,442
Commercial	\$ 13,467	\$ 13,029	\$ 11,153	\$ 11,869	\$ 10,789	\$ 11,761	\$ 11,522	\$ 10,178
Industrial	\$ 9,461	\$ 9,610	\$ 8,979	\$ 9,779	\$ 9,511	\$ 9,250	\$ 8,967	\$ 9,095
Total	\$ 36,901	\$ 36,124	\$ 29,869	\$ 29,954	\$ 30,068	\$ 35,278	\$ 36,407	\$ 31,714

\$10 Impact

	Mar-15	Apr-15	May-15
SSO Rates			
Residential	23.78	23.78	23.78
Commercial	28.10	28.10	28.10
Industrial	18.24	18.24	18.24
Capacity Rates @ 146/MW-day			
Residential	11.82	11.82	11.82
Commercial	9.20	9.20	9.20
Industrial	6.48	6.48	6.48
Capacity Rates @ 245/MW-day			
Residential	19.86	19.86	19.86
Commercial	15.46	15.46	15.46
Industrial	10.90	10.90	10.90
Capacity Rates @ 356/MW-day			
Residential	28.83	28.83	28.83
Commercial	22.45	22.45	22.45
Industrial	15.82	15.82	15.82
SSO Revenues			
Residential	\$ -	\$ -	\$ -
Commercial	\$ -	\$ -	\$ -
Industrial	\$ -	\$ -	\$ -
Total	\$ -	\$ -	\$ -
CRES Revenues			
Residential	\$ 12,386	\$ 8,784	\$ 8,426
Commercial	\$ 11,479	\$ 10,586	\$ 11,658
Industrial	\$ 9,570	\$ 9,369	\$ 9,664
Total	\$ 33,435	\$ 28,740	\$ 29,748

\$10 Impact



	Jan-12	Feb-12	Mar-12	Apr-12	May-12	Jun-12
<b>Auction Capacity Revenue</b>						
Residential	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
Commercial	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
Industrial	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
<b>Total</b>	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
<b>Capacity Revenues at 356/MW-day</b>						
Residential						\$ 10,170
Commercial						\$ 17,255
Industrial						\$ 11,481
<b>Total</b>						\$ 38,905
<b>Target Revenues</b>	929000					\$ 77,413
<b>Credit for Shopped Load</b>						\$ 5,258
<b>Forecasted Revenues</b>						\$ 76,350
<b>Retail Stability Rider Revenue</b>					\$ 316,983	\$ 1,063
<b>Retail Stability Rider Revenue</b>					\$ 284,140	\$ 636
					\$ 32,842	

\$10 Impact

	Jul-12	Aug-12	Sep-12	Oct-12	Nov-12	Dec-12	Jan-13	Feb-13
<b>Auction Capacity Revenue</b>								
Residential	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
Commercial	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
Industrial	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
Total	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
<b>Capacity Revenues at 356/MW-day</b>								
Residential	\$ 15,799	\$ 18,153	\$ 14,698	\$ 13,799	\$ 18,246	\$ 28,598	\$ 33,975	\$ 26,299
Commercial	\$ 18,919	\$ 19,916	\$ 17,865	\$ 20,295	\$ 19,577	\$ 21,661	\$ 21,674	\$ 19,017
Industrial	\$ 12,516	\$ 14,259	\$ 14,625	\$ 17,321	\$ 18,248	\$ 18,686	\$ 18,660	\$ 18,890
Total	\$ 47,233	\$ 52,328	\$ 47,188	\$ 51,416	\$ 56,071	\$ 68,944	\$ 74,309	\$ 64,206
<b>Target Revenues</b>								
	\$ 84,212	\$ 84,977	\$ 71,244	\$ 72,524	\$ 73,142	\$ 81,556	\$ 86,113	\$ 76,098
<b>Credit for Shopped Load</b>								
	\$ 6,218	\$ 6,885	\$ 6,336	\$ 7,031	\$ 7,543	\$ 8,925	\$ 9,460	\$ 8,386
<b>Forecasted Revenues</b>								
	\$ 83,059	\$ 82,766	\$ 67,369	\$ 67,106	\$ 67,625	\$ 76,924	\$ 81,262	\$ 70,492
<b>Retail Stability Rider Revenue</b>								
	\$ 1,153	\$ 2,211	\$ 3,876	\$ 5,418	\$ 5,516	\$ 4,632	\$ 4,850	\$ 5,607
<b>Retail Stability Rider Revenue</b>								
	\$ 610	\$ 1,542	\$ 3,241	\$ 4,662	\$ 4,643	\$ 3,476	\$ 3,687	\$ 4,598

\$10 Impact

	Mar-13	Apr-13	May-13	Jun-13	Jul-13	Aug-13	Sep-13	Oct-13
<b>Auction Capacity Revenue</b>								
Residential	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
Commercial	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
Industrial	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
<b>Total</b>	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
<b>Capacity Revenues at 356/MW-day</b>								
Residential	\$ 25,259	\$ 17,991	\$ 17,655	\$ 20,914	\$ 27,365	\$ 26,481	\$ 18,463	\$ 16,242
Commercial	\$ 21,438	\$ 19,700	\$ 22,130	\$ 22,492	\$ 24,160	\$ 23,421	\$ 19,480	\$ 21,167
Industrial	\$ 19,873	\$ 19,530	\$ 20,273	\$ 17,774	\$ 17,737	\$ 18,057	\$ 16,667	\$ 18,323
<b>Total</b>	\$ 66,570	\$ 57,221	\$ 60,058	\$ 61,180	\$ 69,262	\$ 67,960	\$ 54,610	\$ 55,732
<b>Target Revenues</b>	\$ 79,119	\$ 69,608	\$ 72,995	\$ 77,882	\$ 86,279	\$ 85,162	\$ 70,101	\$ 72,551
<b>Credit for Shopped Load</b>	\$ 8,768	\$ 7,756	\$ 8,168	\$ 8,696	\$ 9,594	\$ 9,462	\$ 7,814	\$ 8,131
<b>Forecasted Revenues</b>	\$ 72,962	\$ 62,940	\$ 65,916	\$ 69,122	\$ 77,922	\$ 76,618	\$ 61,900	\$ 63,271
<b>Retail Stability Rider Revenue</b>	\$ 6,157	\$ 6,667	\$ 7,079	\$ 8,760	\$ 8,357	\$ 8,545	\$ 8,200	\$ 9,280
<b>Retail Stability Rider Revenue</b>	\$ 5,107	\$ 5,759	\$ 6,122	\$ 7,788	\$ 7,262	\$ 7,471	\$ 7,334	\$ 8,391

\$10 Impact

	Nov-13	Dec-13	Jan-14	Feb-14	Mar-14	Apr-14	May-14	Jun-14
<b>Auction Capacity Revenue</b>								
Residential	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
Commercial	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
Industrial	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
Total	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -
<b>Capacity Revenues at 356/MW-day</b>								
Residential	\$ 19,331	\$ 27,753	\$ 31,304	\$ 24,313	\$ 23,960	\$ 17,035	\$ 16,566	\$ 20,997
Commercial	\$ 19,529	\$ 20,970	\$ 20,815	\$ 18,267	\$ 20,455	\$ 18,882	\$ 20,987	\$ 23,226
Industrial	\$ 17,909	\$ 17,304	\$ 16,852	\$ 17,057	\$ 17,890	\$ 17,528	\$ 18,185	\$ 18,108
Total	\$ 56,769	\$ 66,027	\$ 68,970	\$ 59,638	\$ 62,305	\$ 53,445	\$ 55,738	\$ 62,331
<b>Target Revenues</b>								
	\$ 73,219	\$ 82,480	\$ 85,120	\$ 75,447	\$ 78,910	\$ 69,446	\$ 72,403	\$ 78,239
<b>Credit for Shopped Load</b>								
	\$ 8,151	\$ 9,114	\$ 9,377	\$ 8,336	\$ 8,759	\$ 7,748	\$ 8,114	\$ 8,723
<b>Forecasted Revenues</b>								
	\$ 64,473	\$ 74,574	\$ 74,976	\$ 65,199	\$ 68,004	\$ 58,656	\$ 61,037	\$ 67,428
<b>Retail Stability Rider Revenue</b>								
	\$ 8,746	\$ 7,906	\$ 10,143	\$ 10,248	\$ 10,906	\$ 10,790	\$ 11,367	\$ 10,812
<b>Retail Stability Rider Revenue</b>								
	\$ 7,847	\$ 6,868	\$ 9,338	\$ 9,549	\$ 10,170	\$ 10,152	\$ 10,697	\$ 10,067

\$10 Impact

	Jul-14	Aug-14	Sep-14	Oct-14	Nov-14	Dec-14	Jan-15	Feb-15
<b>Auction Capacity Revenue</b>								
Residential	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -	\$ 11,511	\$ 8,997
Commercial	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -	\$ 3,809	\$ 3,353
Industrial	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -	\$ 4,981	\$ 5,072
<b>Total</b>	\$ -	\$ -	\$ -	\$ -	\$ -	\$ -	\$ 20,300	\$ 17,422
<b>Capacity Revenues at 356/MW-day</b>								
Residential	\$ 27,241	\$ 26,290	\$ 18,983	\$ 16,193	\$ 19,041	\$ 27,813	\$ 47,744	\$ 37,315
Commercial	\$ 24,716	\$ 23,914	\$ 20,476	\$ 21,799	\$ 19,819	\$ 21,601	\$ 26,694	\$ 23,561
Industrial	\$ 18,005	\$ 18,297	\$ 17,097	\$ 18,609	\$ 18,099	\$ 17,608	\$ 24,288	\$ 24,669
<b>Total</b>	\$ 69,962	\$ 68,502	\$ 56,556	\$ 56,601	\$ 56,960	\$ 67,022	\$ 98,726	\$ 85,546
<b>Target Revenues</b>	\$ 86,043	\$ 84,763	\$ 71,470	\$ 72,630	\$ 72,543	\$ 82,661	\$ 84,476	\$ 75,273
<b>Credit for Shopped Load</b>	\$ 9,552	\$ 9,401	\$ 7,954	\$ 8,127	\$ 8,062	\$ 9,120	\$ 13,141	\$ 11,710
<b>Forecasted Revenues</b>	\$ 75,372	\$ 73,965	\$ 61,355	\$ 61,538	\$ 61,972	\$ 72,484	\$ 69,849	\$ 60,846
<b>Retail Stability Rider Revenue</b>	\$ 10,671	\$ 10,798	\$ 10,115	\$ 11,092	\$ 10,571	\$ 10,178	\$ 14,627	\$ 14,428
<b>Retail Stability Rider Revenue</b>	\$ 9,842	\$ 9,986	\$ 9,440	\$ 10,411	\$ 9,893	\$ 9,391	\$ 12,989	\$ 13,009

\$10 Impact

	Mar-15	Apr-15	May-15
Auction Capacity Revenue			
Residential	\$ 8,957	\$ 6,352	\$ 6,093
Commercial	\$ 3,783	\$ 3,492	\$ 3,816
Industrial	\$ 5,296	\$ 5,226	\$ 5,389
Total	\$ 18,035	\$ 15,070	\$ 15,297

Capacity Revenues at 356/MW-day

Residential	\$ 37,149	\$ 26,346	\$ 25,271
Commercial	\$ 26,575	\$ 24,514	\$ 26,945
Industrial	\$ 25,886	\$ 25,415	\$ 26,212
Total	\$ 89,610	\$ 76,275	\$ 78,428

Target Revenues

\$ 79,235 \$ 69,663 \$ 72,004

Credit for Shopped Load

\$ 12,326 \$ 10,837 \$ 11,201

Forecasted Revenues

\$ 63,796 \$ 54,646 \$ 56,246

Retail Stability Rider Revenue

\$ 15,439 \$ 15,017 \$ 15,757

Retail Stability Rider Revenue

\$ 13,952 \$ 13,752 \$ 14,457

\$10 Impact

	Jun-12	Jul-12	Aug-12	Sep-12	Oct-12	Nov-12	Dec-12	Jan-13
SSO Load								
Residential	772.1985	927.821219	838.78327	539.1603	402.8905	422.5136	519.9165	609.6103563
Commercial	538.939394	510.362723	462.306141	354.4214	342.2867	275.7136	249.6512	246.2517149
Industrial	952.108234	858.044057	812.221178	690.4179	673.5716	582.0137	486.3531	458.2230077
	2263.24613	2296.228	2113.31059	1584	1418.749	1280.241	1255.921	1314.085079
OAD Load								
Residential	338.878478	526.444014	604.905663	489.7716	459.83	608.0074	952.9348	1132.133519
Commercial	749.871954	822.188604	865.530356	776.3928	882.0125	850.7903	941.3533	941.918984
Industrial	664.032246	723.892987	824.71672	845.8604	1001.805	1055.432	1080.758	1079.240934
	1752.78268	2072.52561	2295.15274	2112.025	2343.648	2514.229	2975.046	3153.293437
Total Load	4016.02881	4368.7536	4408.46333	3696.024	3762.397	3794.47	4230.967	4467.378515
SSO Rates								
Residential	23.82	23.82	23.82	23.82	23.82	23.82	23.82	23.82
Commercial	28.10	28.10	28.10	28.10	28.10	28.10	28.10	28.10
Industrial	18.25	18.25	18.25	18.25	18.25	18.25	18.25	18.25
Capacity Rates @ 356/MW-day								
Residential	30.01	30.01	30.01	30.01	30.01	30.01	30.01	30.01
Commercial	23.01	23.01	23.01	23.01	23.01	23.01	23.01	23.01
Industrial	17.29	17.29	17.29	17.29	17.29	17.29	17.29	17.29
SSO Revenues								
Residential	\$ 26,466	\$ 34,641	\$ 34,389	\$ 24,509	\$ 20,550	\$ 24,547	\$ 35,083	\$ 41,488
Commercial	\$ 36,216	\$ 37,445	\$ 37,312	\$ 31,776	\$ 34,403	\$ 31,655	\$ 33,467	\$ 33,388
Industrial	\$ 29,495	\$ 28,870	\$ 29,874	\$ 28,037	\$ 30,576	\$ 29,883	\$ 28,600	\$ 28,059
Total	\$ 92,176	\$ 100,956	\$ 101,575	\$ 84,322	\$ 85,528	\$ 86,085	\$ 97,150	\$ 102,935
Capacity Revenues								
Residential	\$ 33,343	\$ 43,642	\$ 43,325	\$ 30,878	\$ 25,890	\$ 30,926	\$ 44,200	\$ 52,270
Commercial	\$ 29,656	\$ 30,662	\$ 30,554	\$ 26,020	\$ 28,171	\$ 25,921	\$ 27,405	\$ 27,340
Industrial	\$ 27,943	\$ 27,352	\$ 28,303	\$ 26,562	\$ 28,967	\$ 28,311	\$ 27,095	\$ 26,583
Total	\$ 90,942	\$ 101,656	\$ 102,181	\$ 83,461	\$ 83,029	\$ 85,158	\$ 98,701	\$ 106,192

Base G vs 355

	Feb-13	Mar-13	Apr-13	May-13
SSO Load				
Residential	471.8794	453.2185	322.8148	316.7792
Commercial	215.4163	242.9087	223.3882	249.0182
Industrial	465.2248	485.6865	479.7053	498.4513
	1152.521	1181.814	1025.908	1064.249
OAD Load				
Residential	876.3475	841.6916	599.5133	588.3042
Commercial	826.4688	931.6826	856.1431	961.7507
Industrial	1092.514	1149.389	1129.557	1172.551
	2795.33	2922.763	2585.214	2722.606
Total Load	3947.85	4104.577	3611.122	3786.855
SSO Rates				
Residential	23.82	23.82	23.82	23.82
Commercial	28.10	28.10	28.10	28.10
Industrial	18.25	18.25	18.25	18.25
Capacity Rates @ 356/MW-day				
Residential	30.01	30.01	30.01	30.01
Commercial	23.01	23.01	23.01	23.01
Industrial	17.29	17.29	17.29	17.29
SSO Revenues				
Residential	\$ 32,115	\$ 30,845	\$ 21,970	\$ 21,559
Commercial	\$ 29,277	\$ 33,006	\$ 30,335	\$ 34,023
Industrial	\$ 28,429	\$ 29,840	\$ 29,369	\$ 30,496
Total	\$ 89,820	\$ 93,691	\$ 81,674	\$ 86,077
Capacity Revenues				
Residential	\$ 40,460	\$ 38,860	\$ 27,679	\$ 27,162
Commercial	\$ 23,974	\$ 27,027	\$ 24,840	\$ 27,860
Industrial	\$ 26,933	\$ 28,270	\$ 27,824	\$ 28,892
Total	\$ 91,367	\$ 94,158	\$ 80,343	\$ 83,913

Base G vs 355



Jan-13

Dec-12

Nov-12

Oct-12

Sep-12

Aug-12

Jul-12

Jun-12

PY12/13

\$ 1,101,990

\$ 1,101,101

SSO Revenues

Capacity Revenues

Feb-13    Mar-13    Apr-13    May-13

SSO Revenues  
Capacity Revenues

2012 Ohio ESP II Refilling						
	Jan 2012	Feb 2012	Mar 2012	Apr 2012	May 2012	Jun 2012
CSP Residential	825.8368562	646.9339746	549.365047	363.1092089	337.4601797	401.110849
CSP Commercial	411.3201101	361.6440076	317.9152479	278.462941	298.8493511	289.4786746
CSP Other Industrial	178.7721071	185.660879	124.2856728	114.984838	117.4179275	105.3432203
CSP ORMET Industrial	180	180	180	180	180	180
CSP Street Lighting	4.229993485	3.577746326	4.529151461	4.757298358	4.231347647	4.139122523
CSP Cust Choice (OAD) Residential	16.85381339	13.20273418	85.00567703	85.72788491	111.2900593	176.0270632
CSP Cust Choice (OAD) Commercial	276.81255	251.4466911	370.4628877	364.8877287	441.1839783	482.8098541
CSP Cust Choice (OAD) Industrial	54.55836013	56.36933511	130.4081455	142.0297368	160.1481148	171.2059322
CSP Cust Choice (OAD) Street Lighting	0.469999276	0.39752737	0.503239051	0.528588706	0.470149739	0.459902503
OPCO Residentials	891.5956168	678.6124225	576.474229	353.0908747	327.0057995	371.0876511
OPCO Commercial	283.3059948	237.2376802	287.8258966	227.7614796	241.8793348	240.9111592
OPCO Other Industrial	692.5951709	704.5117051	684.9851909	589.734848	576.186834	486.7650134
OPCO ORMET Industrial	180	180	180	180	180	180
OPCO Street Lighting	7.087789565	5.632967708	5.955679005	4.961501092	4.791294105	4.410437765
OPCO Cust Choice (OAD) Residential	18.19582891	13.84923311	89.20040032	83.36261689	107.8423381	162.8514152
OPCO Cust Choice (OAD) Commercial	190.6608817	164.9484809	184.0198355	175.3561834	223.2732322	266.2702286
OPCO Cust Choice (OAD) Industrial	211.3688615	213.8999696	303.9137157	353.96566	444.1097279	492.8263143
OPCO Cust Choice (OAD) Street Lighting	0.533489537	0.423986817	0.448276914	0.373446319	0.36063504	0.331968434

Load Forecast

2012 Ohio ESP II Refilling							Jul 2012	Aug 2012	Sep 2012	Oct 2012	Nov 2012	Dec 2012
CSP Residential			477.5362099	422.1606347	289.1255581	206.9840708	210.010542					256.3245614
CSP Commercial			276.0784425	251.0755311	196.0633338	189.5635225	157.9179174					143.5481839
CSP Other Industrial			85.77595457	86.82642617	57.85075616	63.392316	46.95031119					31.50055281
CSP ORMET Industrial		180		180	180	180	180					180
CSP Street Lighting		4.318409026	3.958425015	3.54107761	4.872576871	4.356685734	3.67853137					
CSP Cust Choice (OAD) Residential		270.9531473	304.449752	262.6407742	236.2366375	302.2102921	469.8073407					
CSP Cust Choice (OAD) Commercial		522.2230862	541.3801064	485.108805	542.8162185	529.1827516	571.2182854					
CSP Cust Choice (OAD) Industrial		177.1839697	197.2195324	194.6051641	220.2120954	226.9503112	233.7637689					
CSP Cust Choice (OAD) Street Lighting		0.479823225	0.439825002	0.393453068	0.54139743	0.484076193	0.408255904					
OPCO Residential		450.2850086	416.6226349	250.0347199	195.9064016	212.5030785	263.5919425					
OPCO Commercial		225.6847133	202.4193253	149.6524688	141.5068514	106.8765017	95.19755471					
OPCO Other Industrial		412.2681022	365.3947517	272.5671872	250.1792601	175.0634165	94.85256555					
OPCO ORMET Industrial		180	180	180	180	180	180					
OPCO Street Lighting		4.281157715	4.852859669	5.164501751	6.343794748	6.562531417	7.226510136					
OPCO Cust Choice (OAD) Residential		255.490867	300.4559106	227.1307761	223.5933877	305.797113	483.1274414					
OPCO Cust Choice (OAD) Commercial		299.1634571	323.3451559	290.5018513	338.1773906	320.629505	369.1823122					
OPCO Cust Choice (OAD) Industrial		546.7090174	627.4971875	651.2552206	781.5933036	828.4813051	846.9946408					
OPCO Cust Choice (OAD) Street Lighting		0.322237677	0.365269007	0.388725938	0.477489927	0.493953978	0.54393087					

Load Forecast

2012 Ohio ESP II Refilling						
	Jan 2013	Feb 2013	Mar 2013	Apr 2013	May 2013	Jun 2013
CSP Residential	294.5721285	231.7533414	223.6705077	159.3771015	161.4721719	205.6294694
CSP Commercial	139.8189291	125.8484832	138.6034045	128.8960664	147.3661445	155.5121359
CSP Other Industrial	11.21070369	15.78764528	19.86073711	20.31914376	28.73713782	29.20030591
CSP ORMET Industrial	180	180	180	180	180	180
CSP Street Lighting	4.277611607	3.646089338	4.564449114	4.782435547	4.236680872	4.176602982
CSP Cust Choice (OAD) Residential	547.0625244	430.3990626	415.3880858	295.9860457	299.8768908	381.8833002
CSP Cust Choice (OAD) Commercial	559.2757163	503.3939328	554.4136182	515.5842657	589.4645778	622.0485437
CSP Cust Choice (OAD) Industrial	233.7019712	239.2960109	244.2742342	244.834509	255.1231684	255.6892628
CSP Cust Choice (OAD) Street Lighting	0.475290179	0.405121038	0.507161013	0.531381727	0.470742319	0.464066998
OPCO Residential	315.0382278	240.1261058	229.5480298	163.4377316	155.3069934	187.5819775
OPCO Commercial	95.35304639	80.51730762	94.0318761	84.87250232	92.8263637	101.0134842
OPCO Other Industrial	87.01230398	89.43714413	105.8257839	99.38620596	109.7141303	99.74016498
OPCO ORMET Industrial	180	180	180	180	180	180
OPCO Street Lighting	6.80212782	5.404419378	5.708943201	4.83717295	4.588971879	4.224289131
OPCO Cust Choice (OAD) Residential	585.0709945	445.9484823	426.3034838	303.5272159	288.4272734	348.3665296
OPCO Cust Choice (OAD) Commercial	381.4121855	322.0692305	376.1275044	339.4900093	371.3054548	404.0539368
OPCO Cust Choice (OAD) Industrial	845.5389626	853.2176231	905.1149822	884.7229855	917.4280794	885.8438558
OPCO Cust Choice (OAD) Street Lighting	0.75579198	0.600491042	0.634327022	0.537463661	0.509885764	0.469365459

Load Forecast

2012 Ohio ESP II Refilling						
	Jul 2013	Aug 2013	Sep 2013	Oct 2013	Nov 2013	Dec 2013
CSP Residential	267.6137527	253.1222691	186.4057864	151.3169208	180.8621566	260.7661152
CSP Commercial	164.7305432	159.9657871	137.5999976	145.9160951	137.6178974	143.2450079
CSP Other Industrial	25.05983032	32.31399197	17.55800255	30.45276042	26.43624997	22.44544464
CSP ORMET Industrial	180	180	180	180	180	180
CSP Street Lighting	4.418260562	3.998094294	3.577594799	4.9105432	4.378595744	3.702070895
CSP Cust Choice (OAD) Residential	496.9969693	470.0842141	346.1821748	281.0171386	335.8868623	484.2799282
CSP Cust Choice (OAD) Commercial	658.9221729	639.8631484	550.3999904	583.6643806	550.4715897	572.9800317
CSP Cust Choice (OAD) Industrial	250.6286815	259.4948791	241.4597809	257.2200405	252.3109722	247.4333212
CSP Cust Choice (OAD) Street Lighting	0.49091784	0.444232699	0.397510533	0.545615911	0.486510638	0.411341211
OPCO Residential	246.8753826	244.7525303	160.7249883	154.0416928	182.5874914	261.0253234
OPCO Commercial	110.8272089	107.1611198	84.53575689	95.41651363	85.01538208	95.8427901
OPCO Other Industrial	100.6008904	104.2875017	81.78578926	110.392038	103.5611683	92.81883354
OPCO ORMET Industrial	180	180	180	180	180	180
OPCO Street Lighting	4.143414918	4.681359079	4.900608473	6.074364993	6.282557488	6.997429849
OPCO Cust Choice (OAD) Residential	458.4828533	454.5404134	298.489264	286.0774295	339.0910555	484.7613149
OPCO Cust Choice (OAD) Commercial	443.3088357	428.644479	338.1430276	381.6660545	340.0615283	383.3711604
OPCO Cust Choice (OAD) Industrial	888.5694862	900.2437554	828.9883326	919.5747871	897.9436996	863.9263695
OPCO Cust Choice (OAD) Street Lighting	0.460379435	0.520151009	0.544512053	0.674929444	0.698061943	0.777492205

Load Forecast

2012 Ohio ESP II Refilling						
	Jan 2014	Feb 2014	Mar 2014	Apr 2014	May 2014	Jun 2014
CSP Residential	283.6713908	224.3891844	223.0551511	162.9552289	159.6340511	205.1325599
CSP Commercial	140.7523187	126.9612073	139.5397337	132.3491985	147.8443418	157.0799626
CSP Other Industrial	11.24585626	16.21527334	20.20364612	22.32486132	28.82163975	30.09289391
CSP ORMET Industrial	180	180	180	180	180	180
CSP Street Lighting	4.295389993	3.674791953	4.587208306	4.846810317	4.253267819	4.215843061
CSP Cust Choice (OAD) Residential	526.8182973	416.722771	414.2452806	302.625568	296.4632377	380.9604683
CSP Cust Choice (OAD) Commercial	563.0092748	507.8448293	558.1589346	529.3967942	591.3773673	628.3198504
CSP Cust Choice (OAD) Industrial	233.7449354	239.8186674	244.6933453	247.2859416	255.2264486	256.7802037
CSP Cust Choice (OAD) Street Lighting	0.477265555	0.408310217	0.509689812	0.53853448	0.472585313	0.468427007
OPCO Residentials	304.8728414	232.7290355	227.4117992	157.3230219	151.8158944	187.0355109
OPCO Commercial	96.55285588	81.31568115	93.67999196	82.93518902	91.48648403	101.3253935
OPCO Other Industrial	87.967724	90.21633016	105.5702866	97.41529111	108.2381622	100.3786298
OPCO ORMET Industrial	180	180	180	180	180	180
OPCO Street Lighting	6.769204929	5.371485998	5.65230379	4.758616113	4.528557421	4.200860179
OPCO Cust Choice (OAD) Residential	566.1924197	432.211066	422.3361985	292.1713264	281.943804	347.351663
OPCO Cust Choice (OAD) Commercial	386.2114235	325.2627246	374.7199679	331.7407561	365.9459361	405.3015741
OPCO Cust Choice (OAD) Industrial	848.5644593	855.6850455	904.3059077	878.4817552	912.7541803	887.8656611
OPCO Cust Choice (OAD) Street Lighting	0.752133881	0.596831778	0.628033754	0.528735124	0.503173047	0.466762242

Load Forecast

2012 Ohio ESP II Refilling						
	Jul 2014	Aug 2014	Sep 2014	Oct 2014	Nov 2014	Dec 2014
CSP Residential	264.8402329	250.8588963	190.1435269	151.2929327	177.6047496	260.3467195
CSP Commercial	164.9900382	160.4551285	141.1638402	147.8617239	137.0761533	144.4067786
CSP Other Industrial	25.20555327	32.6033468	19.55027567	31.43822333	25.73332703	22.6876812
CSP ORMET Industrial	180	180	180	180	180	180
CSP Street Lighting	4.439154869	4.028322261	3.649007755	4.975850642	4.380517628	3.735818258
CSP Cust Choice (OAD) Residential	491.8461469	465.8808075	353.1236927	280.9725892	329.8373921	483.5010505
CSP Cust Choice (OAD) Commercial	659.960153	641.8205141	564.6553606	591.4468956	548.3046132	577.6271143
CSP Cust Choice (OAD) Industrial	250.8067873	259.848535	243.8947814	258.4244952	251.4518442	247.7293881
CSP Cust Choice (OAD) Street Lighting	0.49323943	0.447591362	0.405445306	0.552872294	0.486724181	0.415090918
OPCO Residential	243.9391473	240.1636746	164.4083174	151.1452663	178.026571	259.129291
OPCO Commercial	110.0056641	105.6126343	86.6170586	94.58396402	83.33572802	95.83843884
OPCO Other Industrial	100.2096257	103.1791041	84.263165	109.8472782	101.8842186	93.25190337
OPCO ORMET Industrial	180	180	180	180	180	180
OPCO Street Lighting	4.053800142	4.628139905	4.895505578	6.020261822	6.205543703	6.949610565
OPCO Cust Choice (OAD) Residential	453.0298449	446.0182528	305.3297324	280.6983516	330.6207747	481.2401119
OPCO Cust Choice (OAD) Commercial	440.0226564	422.4505373	346.4682344	378.3358561	333.3429121	383.3537554
OPCO Cust Choice (OAD) Industrial	887.3304815	896.7338296	836.8333558	917.8497143	892.633359	865.297694
OPCO Cust Choice (OAD) Street Lighting	0.450422238	0.514237767	0.543945064	0.66891798	0.689504856	0.772178952

Load Forecast



2012 Ohio ESP II Refilling						
	Jan 2015	Feb 2015	Mar 2015	Apr 2015	May 2015	Jun 2015
CSP Residential	279.3921442	222.2619423	222.8897293	161.6841746	158.0852698	204.9666459
CSP Commercial	140.003311	127.0558491	140.4069218	132.7021617	147.7333511	157.8784184
CSP Other Industrial	10.05776262	15.64564128	20.03699094	21.64625394	27.73455037	29.54654566
CSP ORMET Industrial	180	180	180	180	180	180
CSP Street Lighting	4.305441937	3.699998907	4.62043251	4.871572801	4.270604546	4.25040582
CSP Cust Choice (OAD) Residential	518.871125	412.7721785	413.9380688	300.2706099	293.5869297	380.6523425
CSP Cust Choice (OAD) Commercial	560.0132442	508.2233965	561.627687	530.8086468	590.9334044	631.5136737
CSP Cust Choice (OAD) Industrial	232.292821	239.1224505	244.4896556	246.4565326	253.8977838	256.1124447
CSP Cust Choice (OAD) Street Lighting	0.478382437	0.411111099	0.51338139	0.541285867	0.474511616	0.472267313
OPCO Residential	300.2278459	230.7489639	228.1059396	158.159054	148.7061679	187.3694
OPCO Commercial	95.36222955	80.83787138	94.06688491	83.54690678	90.36723119	101.8143631
OPCO Other Industrial	87.09436332	89.90476223	106.0206203	98.01886223	106.860588	100.7185418
OPCO ORMET Industrial	180	180	180	180	180	180
OPCO Street Lighting	6.694400957	5.324698779	5.622543513	4.736157362	4.47290446	4.177724345
OPCO Cust Choice (OAD) Residential	557.5659995	428.5337901	423.6253164	293.7239575	276.1685976	347.9717429
OPCO Cust Choice (OAD) Commercial	381.4489182	323.3514855	376.2675396	334.1876271	361.4689248	407.2574523
OPCO Cust Choice (OAD) Industrial	845.7988172	854.6984137	905.7319642	880.3930637	908.3918619	888.9420492
OPCO Cust Choice (OAD) Street Lighting	0.743822329	0.591633198	0.624727057	0.526239707	0.496989384	0.464191594

Load Forecast

2012 Ohio ESP II Refilling						
	Jul 2015	Aug 2015	Sep 2015	Oct 2015	Nov 2015	Dec 2015
CSP Residential	263.4874331	250.0248851	188.1253016	149.9416578	177.3595694	259.2627155
CSP Commercial	165.0693142	160.7438536	140.8603506	147.6751943	137.7275669	144.8632921
CSP Other Industrial	24.23026261	31.70287509	18.18626134	30.00695373	24.77238235	21.58462578
CSP ORMET Industrial	180	180	180	180	180	180
CSP Street Lighting	4.464782315	4.05986759	3.672636682	4.991213034	4.416496346	3.77138727
CSP Cust Choice (OAD) Residential	489.3338043	464.3319294	349.3755601	278.4630788	329.3820574	481.4879002
CSP Cust Choice (OAD) Commercial	660.2772566	642.9754143	563.4414026	590.7007773	550.9102675	579.4531683
CSP Cust Choice (OAD) Industrial	249.6147654	258.7479584	242.2276528	256.6751657	250.2773562	246.3812093
CSP Cust Choice (OAD) Street Lighting	0.496086924	0.451096399	0.408070742	0.554579226	0.490721816	0.439082081
OPCO Residentials	240.1618231	238.8944218	162.6060444	148.1279341	177.7154451	256.9638174
OPCO Commercial	108.4410346	105.3141511	86.09045024	93.27614623	83.73589067	95.6344546
OPCO Other Industrial	98.48632069	102.7402537	83.50037127	107.9802487	101.7925903	92.6934213
OPCO ORMET Industrial	180	180	180	180	180	180
OPCO Street Lighting	3.951041858	4.590926695	4.849745995	5.950684751	6.162938152	6.892567646
OPCO Cust Choice (OAD) Residential	446.0148143	443.6610691	301.9826539	275.0947348	330.0429694	477.2185181
OPCO Cust Choice (OAD) Commercial	433.7641385	421.2566044	344.361801	373.1045849	334.9435627	382.5378184
OPCO Cust Choice (OAD) Industrial	881.8733488	895.3441367	834.4178424	911.9374541	892.3432025	863.5292334
OPCO Cust Choice (OAD) Street Lighting	0.439004651	0.510102966	0.538860666	0.661187195	0.684770906	0.76584085

Load Forecast

<b>Retail Non-Fuel Gen Revenues</b>	<b>2012</b>	<b>2013</b>	<b>2014</b>	<b>2015</b>	<b>Total</b>
Residential	\$ 105.4	\$ 121.9	\$ 120.2	\$ -	\$ 347.4
Commercial	\$ 76.8	\$ 83.4	\$ 83.7	\$ -	\$ 243.9
Industrial	\$ 92.2	\$ 105.6	\$ 105.6	\$ -	\$ 303.4
Total	\$ 274.4	\$ 310.8	\$ 309.5	\$ -	\$ 894.8
<b>CRES Capacity Revenues</b>					
Residential	\$ 58.8	\$ 158.4	\$ 141.2	\$ 59.1	\$ 417.5
Commercial	\$ 80.6	\$ 152.3	\$ 142.3	\$ 56.8	\$ 432.1
Industrial	\$ 64.3	\$ 128.3	\$ 114.5	\$ 47.7	\$ 354.7
Total	\$ 203.6	\$ 439.0	\$ 398.0	\$ 163.6	\$ 1,204.3
<b>Auction Capacity Revenues</b>					
Residential	\$ -	\$ -	\$ -	\$ 43.6	\$ 43.6
Commercial	\$ -	\$ -	\$ -	\$ 19.0	\$ 19.0
Industrial	\$ -	\$ -	\$ -	\$ 27.0	\$ 27.0
Total	\$ -	\$ -	\$ -	\$ 89.6	\$ 89.6
<b>Credit for Shopped Load</b>					
	\$ 48.2	\$ 103.5	\$ 103.3	\$ 59.2	\$ 314.2
<b>Retail Stability Rider</b>					
	\$ 18.8	\$ 78.2	\$ 118.9	\$ 68.2	\$ 284.1
<b>Total Revenues</b>	<b>\$ 545.1</b>	<b>\$ 931.6</b>	<b>\$ 929.7</b>	<b>\$ 380.7</b>	<b>\$ 2,787.0</b>

<b>2011 AEP Ohio Financial Data</b>	
Retail Non-Fuel Gen Revenues	\$967 M
CRES Capacity Revenues	\$54 M
Credit for Shopped Load	\$15 M
Total Revenues	\$1,036 M
<b>2011 ROE</b>	
2011 On-Going Earnings	\$537 M
2011 Equity	\$4,450 M
<b>Target ROE</b>	
Target ROE	10.50%
Earnings at 10.5% ROE	\$467 M
Revenue Reduction to Earn 10.5%	\$107 M
Revenue Target	\$929 M

<b>Retail Non-Fuel Gen Revenues</b>	<b>PY 12/13</b>	<b>PY 13/14</b>	<b>PY 14/15</b>	<b>Total</b>
Residential	\$ 157.2	\$ 120.7	\$ 69.5	\$ 347.4
Commercial	\$ 109.9	\$ 83.5	\$ 50.5	\$ 243.9
Industrial	\$ 135.8	\$ 105.6	\$ 62.0	\$ 303.4
Total	\$ 402.9	\$ 309.9	\$ 182.0	\$ 894.8
<b>CRES Capacity Revenues</b>				
Residential	\$ 127.9	\$ 148.5	\$ 141.1	\$ 417.5
Commercial	\$ 142.7	\$ 145.8	\$ 143.6	\$ 432.1
Industrial	\$ 120.8	\$ 118.7	\$ 115.3	\$ 354.7
Total	\$ 391.3	\$ 413.0	\$ 400.0	\$ 1,204.3
<b>Auction Capacity Revenues</b>				
Residential	\$ -	\$ -	\$ 43.6	\$ 43.6
Commercial	\$ -	\$ -	\$ 19.0	\$ 19.0
Industrial	\$ -	\$ -	\$ 27.0	\$ 27.0
Total	\$ -	\$ -	\$ 89.6	\$ 89.6
<b>Credit for Shopped Load</b>	\$ 90.7	\$ 103.3	\$ 120.2	\$ 314.2
<b>Retail Stability Rider</b>	\$ 44.1	\$ 102.9	\$ 137.2	\$ 284.1
<b>Total Revenues</b>	\$ 929.0	\$ 929.0	\$ 929.0	\$ 2,787.0

<b>Capacity Revenues @ Full Cost</b>	\$ 684.5	\$ 731.6	\$ 866.5	\$ 2,282.6
--------------------------------------	----------	----------	----------	------------

<b>Discount from Full Cost</b>	\$ 293.1	\$ 318.7	\$ 376.9	\$ 988.7
--------------------------------	----------	----------	----------	----------

	<b>PY 12/13</b>	<b>PY 13/14</b>	<b>PY 14/15</b>	<b>Total</b>
<b>Retail Non-Fuel Gen Revenues</b>	\$402.9 M	\$309.9 M	\$182.0 M	\$894.8 M
<b>CRES Capacity Revenues</b>	\$391.3 M	\$413.0 M	\$400.0 M	\$1,204.3 M
<b>Auction Capacity Revenues</b>	\$0.0 M	\$0.0 M	\$89.6 M	\$89.6 M
<b>Credit for Shopped Load</b>	\$90.7 M	\$103.3 M	\$120.2 M	\$314.2 M
<b>Sub Total</b>	\$884.9 M	\$826.1 M	\$791.8 M	\$2,502.9 M
<b>Retail Stability Rider</b>	\$44.1 M	\$102.9 M	\$137.2 M	\$284.1 M
<b>Total Revenues</b>	\$929.0 M	\$929.0 M	\$929.0 M	\$2,787.0 M

**This foregoing document was electronically filed with the Public Utilities**

**Commission of Ohio Docketing Information System on**

**4/13/2012 5:20:37 PM**

**in**

**Case No(s). 10-2929-EL-UNC**

Summary: Deposition Transcript of William Allen electronically filed by Ms. Lija K Kaleps-Clark  
on behalf of Retail Energy Supply Association