

BEFORE THE PUBLIC UTILITIES COMMISSION OF OHIO

- - -

In the Matter of the :  
Commission Review of the :  
Capacity Charges of Ohio : Case No. 10-2929-EL-UNC  
Power Company and Columbus:  
Southern Power Company. :

- - -

PROCEEDINGS

before Ms. Greta See and Ms. Sarah Parrot, Attorney  
Examiners, and Commissioner Andre Porter, at the  
Public Utilities Commission of Ohio, 180 East Broad  
Street, Room 11-A, Columbus, Ohio, called at 10:00  
a.m. on Monday, May 14, 2012.

- - -

VOLUME XI - REBUTTAL TESTIMONY

- - -

ARMSTRONG & OKEY, INC.  
222 East Town Street, Second Floor  
Columbus, Ohio 43215-5201  
(614) 224-9481 - (800) 223-9481  
Fax - (614) 224-5724

- - -

## 1 APPEARANCES:

2 American Electric Power Service Corporation  
3 By Mr. Steven T. Nourse  
4 Mr. Matthew J. Satterwhite  
5 and Mr. Yazen Alami  
6 One Riverside Plaza, 29th Floor  
7 Columbus, Ohio 43215

8 Porter, Wright, Morris & Arthur, LLP  
9 By Mr. Daniel R. Conway  
10 and Ms. Christen Moore  
11 41 South High Street  
12 Columbus, Ohio 43215

13 On behalf of the Ohio Power Company and  
14 Columbus Southern Power Company.

15 Jones Day  
16 By Mr. David A. Kutik  
17 and Ms. Allison Haedt  
18 North Point  
19 901 Lakeside Avenue  
20 Cleveland, Ohio 44114

21 Calfee, Halter & Griswold LLP  
22 By Mr. James F. Lang  
23 and Ms. Laura McBride  
24 1400 Keybank Center  
25 800 Superior Avenue  
Cleveland, Ohio 44114

Calfee, Halter & Griswold, LLP  
By Mr. N. Trevor Alexander  
Fifth Third Center  
21 East State Street  
Columbus, Ohio 43215

FirstEnergy Service Company  
By Mr. Mark A. Hayden  
76 South Main Street  
Akron, Ohio 44308

On behalf of the FirstEnergy Service  
Corporation.

## 1 APPEARANCES: (Continued)

2 McNees, Wallace & Nurick, LLC  
3 By Mr. Frank Darr  
4 and Mr. Samuel Randazzo  
5 Fifth Third Center, Suite 1700  
6 21 East State Street  
7 Columbus, Ohio 43215-4228

8 On behalf of the Industrial Energy Users  
9 of Ohio.

10 Whitt Sturtevant, LLC  
11 By Ms. Melissa L. Thompson  
12 and Mr. Andrew John Campbell  
13 PNC Plaza, Suite 2020  
14 155 East Broad Street  
15 Columbus, Ohio 43215

16 On behalf of the Interstate Gas Supply,  
17 Inc.

18 Duke Energy Ohio, Inc.  
19 By Ms. Jeanne W. Kingery  
20 155 East Broad Street, 21st Floor  
21 Columbus, Ohio 43215

22 Duke Energy Ohio, Inc.  
23 By Ms. Amy B. Spiller  
24 139 East Fourth Street  
25 Cincinnati, Ohio 45202

On behalf of the Duke Retail Sales and  
Duke Energy Commercial Asset Management.

Vorys, Sater, Seymour & Pease, LLP  
By Mr. M. Howard Petricoff  
and Ms. Lija Kaleps-Clark  
52 East Gay Street  
P.O. Box 1008  
Columbus, Ohio 43216-1008

On behalf of the Exelon Generation  
Company, Constellation NewEnergy, Inc.,  
Constellation Energy Commodities Group,  
Inc., Retail Energy Supply Association,  
Direct Energy Services, and Direct Energy  
Business, LLC.

## 1 APPEARANCES: (Continued)

2 Office of the Ohio Consumers' Counsel  
3 By Ms. Kyle L. Kern  
4 and Ms. Melissa Yost  
5 Assistant Consumers' Counsel  
6 10 West Broad Street, Suite 1800  
7 Columbus, Ohio 43215

8 On behalf of the Residential Customers of  
9 Ohio Power Company and Columbus Southern  
10 Power Company.

11 Taft, Stettinius & Hollister  
12 By Mr. Zachary D. Kravitz  
13 and Mr. Mark Yurick  
14 65 East State Street, Suite 1000  
15 Columbus, Ohio 43215

16 On behalf of the Kroger Company.

17 Boehm, Kurtz & Lowry  
18 By Mr. Michael L. Kurtz  
19 and Ms. Jody M. Kyler  
20 36 East Seventh Street, Suite 1510  
21 Cincinnati, Ohio 45202

22 On behalf of the Ohio Energy Group, Inc.

23 Bricker & Eckler, LLP  
24 By Mr. Thomas O'Brien  
25 100 South Third Street  
Columbus, Ohio 43215-4291

Ohio Hospital Association  
By Mr. Richard L. Sites  
155 East Broad Street, 15th Floor  
Columbus, Ohio 43215

On behalf of the Ohio Hospital  
Association.

Bricker & Eckler, LLP  
By Ms. Lisa Gatchell McAlister  
100 South Third Street  
Columbus, Ohio 43215-4291

On behalf of Ohio Manufacturers

## 1 APPEARANCES: (Continued)

2 Bailey Cavalieri  
3 By Mr. Dane Stinson  
4 10 West Broad Street  
5 Columbus, Ohio 43215

6 On behalf of the Ohio Association of  
7 School Business Officials, Ohio School  
8 Boards Association, Buckeye Association  
9 of School Administrators, and Ohio  
10 Schools Council.

11 Bell & Royer Co., LPA  
12 By Mr. Barth E. Royer  
13 33 South Grant Avenue  
14 Columbus, Ohio 43215

15 On behalf of Dominion Retail, Inc.

16 Ice Miller, LLP  
17 By Mr. Christopher L. Miller  
18 Mr. Asim Haque  
19 Mr. Gregory J. Dunn  
20 250 West Street  
21 Columbus, Ohio 43215

22 On behalf of the Association of  
23 Independent Colleges and Universities of  
24 Ohio and the City of Grove City.

25 Exelon Business Services Company, LLC  
By Ms. Sandy Grace  
101 Constitution Avenue, NW  
Suite 400 East  
Washington, DC 20001

Eimer, Stahl, Klevorn & Solberg, LLP  
By Mr. David M. Stahl  
224 South Michigan Avenue, Suite 1100  
Chicago, Illinois 60604

On behalf of Exelon Generation Company,  
LLC.

## 1 APPEARANCES (Continued):

2           Kegler, Brown, Hill & Ritter  
3           By Mr. Roger P. Sugarman  
4           Capitol Square, Suite 1800  
5           65 East State Street  
6           Columbus, Ohio 43215

7                   On behalf of National Federation of  
8                   Independent Business, Ohio Chapter.

9           Mike DeWine, Ohio Attorney General  
10          By William Wright, Section Chief  
11          Public Utilities Section  
12          Mr. Werner L. Margard, III  
13          Mr. Steven Beeler  
14          Mr. John Jones  
15          Assistant Attorneys General  
16          180 East Broad Street, 6th Floor  
17          Columbus, Ohio 43215-3793

18                   On behalf of the staff of the Public  
19                   Utilities Commission of Ohio.

20                   - - -

## INDEX

Witness	Page
William A. Allen	
Direct Examination by Mr. Nourse	2310
Cross-Examination by Mr. Sugarman	2322
Cross-Examination by Mr. Kurtz	2326
Cross-Examination by Mr. Darr	2334
Cross-Examination by Mr. Lang	2359
Cross-Examination by Mr. Petricoff	2390
Cross-Examination by Mr. Jones	2407
Redirect Examination by Mr. Nourse	2456
Recross-Examination by Mr. Kurtz	2461
Recross-Examination by Mr. Lang	2466
Philip J. Nelson	
Direct Examination by Mr. Conway	2479
Cross-Examination by Mr. Kurtz	2481
Cross-Examination by Mr. Randazzo	2501
Cross-Examination by Mr. Petricoff	2572
- - -	
AEP Exhibit	Identified Admitted
142 - Rebuttal Testimony of W. Allen	2310 2472
143 - Rebuttal Testimony of P. Nelson	2480 --
- - -	
IEU Exhibit	Identified Admitted
120 - Workpaper provided by W. Allen	2349 2472
121 - AEP 1Q12 Earnings Release Presentation 4-20-12	2501 --
122 - Direct Testimony of P. Nelson in Case No. 11-346-EL-SSO, et al.	2534 --
123 - Excerpts of KDP-3 and KDP-4	2538 --
- - -	

2307

## INDEX (Continued)

- - -

## IEU Exhibit Identified Admitted

124 - 11-4-11 memo from  
Mr. Baird and Mr. Pennino 2558 --

- - -

## FES Exhibit Identified Admitted

122 - FES Exhibit Scenario 1  
and Scenario 2 Estimate  
of Ohio Power's Earnings 2361 2477

123 - Base G vs. 355 2366 2477

124 - Summary of Long-Term  
Commodity Price Forecast  
Scenarios 2376 2477

125 - Estimate of Ohio Power's  
Earnings 2467 2477

- - -

## Staff Exhibit Identified Admitted

106 - Forward Power Prices -  
On Peak 2417 2478

107 - Kentucky Power Company's  
Application, Case No.  
2011-00401 2420 2478

108 - EIA Short-Term Energy  
Outlook 2427 2478

109 - Appalachian Power Company,  
Case No. PUE-2011-00037 2453 2478

- - -

## RESA Exhibit Identified Admitted

103 - AEP Co., Inc., 10-K 2395 2477



1 Monday Morning Proceeding,

2 May 14, 2012.

3 - - -

4 EXAMINER SEE: Let's go on the record.

5 Let's take brief appearances in the  
6 capacity case, 10-2929. We'll start with the  
7 company.

8 MR. NOURSE: Thank you, your Honor. On  
9 behalf the Ohio Power Company Stephen T. Nourse,  
10 Matthew J. Satterwhite, Yazen Alami, Daniel Conway,  
11 and Christen Moore.

12 MR. PETRICOFF: Thank you, your Honor.  
13 On behalf of Constellation NewEnergy, Constellation  
14 Energy Commodities Group, Direct Energy, Exelon  
15 Generation, LLC, and the Retail Energy Supply  
16 Association, Howard Petricoff and Lija Kaleps-Clark.

17 MR. HAYDEN: On behalf of FES Mark Hayden  
18 and Jim Lang.

19 MS. KINGERY: Good morning, your Honor.  
20 On behalf of Duke Energy Retail Sales and Duke Energy  
21 Retail Asset Management, Jeanne Kingery and Amy  
22 Spiller.

23 MR. DARR: On behalf of Industrial Energy  
24 Users-Ohio, Frank Darr and Sam Randazzo.

25 MR. KURTZ: For the Ohio Energy Group,

1 Mike Kurtz.

2 MR. YURICK: On behalf of the Kroger  
3 Company, Mark Yurick.

4 MR. SUGARMAN: Roger Sugarman on behalf  
5 of National Federation of Independent Businesses of  
6 Ohio.

7 MS. THOMPSON: On behalf of Interstate  
8 Gas Company, Mark Whitt, Andrew Campbell, and Melissa  
9 Thompson.

10 MS. KERN: On behalf of Office of the  
11 Ohio Consumers' Counsel, Kyle Kern and Melissa Yost.

12 MR. JONES: On behalf of the staff of  
13 Commission Steve Beeler and John Jones.

14 EXAMINER SEE: I think there's some other  
15 counsel in the room.

16 MS. McALISTER: On behalf of Ohio  
17 Manufacturers Association, Lisa McAlister.

18 EXAMINER SEE: Is there any other counsel  
19 that wishes to enter an appearance today?

20 (No response.)

21 EXAMINER SEE: We're taking appearances.

22 MR. SITES: Thank you, your Honor.  
23 Richard Sites and Tom O'Brien on behalf of the Ohio  
24 Hospitals Association.

25 EXAMINER SEE: Thank you. Let's go on to

1 our first rebuttal witness.

2 MR. NOURSE: Your Honor, the company  
3 calls William Allen.

4 EXAMINER SEE: Mr. Allen, you presented  
5 testimony earlier in this proceeding?

6 MR. ALLEN: Yes, I did.

7 EXAMINER SEE: I remind you that you  
8 continue to be under oath, have a seat.

9 MR. NOURSE: Thank you, your Honor. Just  
10 checking exhibit numbers, I believe we're up to 142.  
11 I'd like to mark Mr. Allen's rebuttal testimony AEP  
12 Ohio Exhibit 142.

13 (EXHIBIT MARKED FOR IDENTIFICATION.)

14 - - -

15 WILLIAM A. ALLEN

16 being previously duly sworn, as prescribed by law,  
17 was examined and testified as follows:

18 DIRECT EXAMINATION

19 By Mr. Nourse:

20 Q. Mr. Allen, do you have the document  
21 that's been marked Exhibit 142 in front of you?

22 A. Yes, I do.

23 Q. Is this your rebuttal testimony prepared  
24 by you or under your direction?

25 A. Yes, it is.

1 Q. And you're the same William Allen that  
2 testified?

3 A. Yes, I am.

4 Q. And do you have additions, changes, or  
5 updates you'd like to make to your written testimony  
6 at this time?

7 A. Yes, I do. On page 6, line 6, the words  
8 "if not" should be replaced by the word "and" such  
9 that the parenthetical reads "and conservative."

10 And then on page 18 --

11 EXAMINER SEE: I'm sorry, Mr. Allen.  
12 Repeat that last one, please. Page 6, line 6, you  
13 said?

14 THE WITNESS: Page 6, line 6, the words  
15 "if not" in the parenthetical should be replaced by  
16 the word "and."

17 EXAMINER SEE: Okay.

18 A. On page 18, line 18, a sentence should be  
19 added. The sentence to be added is "Adding in the  
20 trapped costs of \$20.11 per megawatt day described by  
21 Company Witness Nelson, the capacity rate would be  
22 \$291.58 per megawatt day." Those are the only  
23 additions I have.

24 MR. NOURSE: Everyone clear on the  
25 additional sentence there? That's the same one I

1       emailed out on the weekend.

2               Q.     Mr. Allen, with that addition and  
3       correction, if I were to ask you the same questions  
4       in testimony under oath this morning, would your  
5       answers be the same?

6               A.     Yes, they would.

7               MR. NOURSE:   Thank you, your Honor.   The  
8       witness is available for cross-examination, and I'd  
9       like to move the Exhibit 142 to be admitted.

10              EXAMINER SEE:   Exhibit is so marked.

11              (EXHIBIT MARKED FOR IDENTIFICATION.)

12              EXAMINER SEE:   And, Mr. Darr, you have?

13              MR. DARR:   Motion to strike, your Honors?

14              EXAMINER SEE:   Go ahead.

15              MR. DARR:   Thank you, your Honor.   The  
16       motion to strike is in two pieces.   The first one  
17       addresses three particular points, page 1, lines 13  
18       through 15; page 2, line 9; page 21, lines 11 through  
19       22 -- excuse me, page 21, line 11 through page 22,  
20       line 2.

21              EXAMINER SEE:   One more time, Mr. Darr.

22              MR. DARR:   The last one?

23              EXAMINER SEE:   Uh-huh.

24              MR. DARR:   Page 21, line 11, through page  
25       22, line 2.   And we also move to strike rebuttal

1 Exhibit 8 attached to this testimony. Would you like  
2 me to go to grounds on this one before I go to the  
3 second one?

4 EXAMINER SEE: Just a minute.

5 Okay. Let's cover the grounds in this  
6 one.

7 MR. DARR: Thank you, your Honor. This  
8 testimony is not proper rebuttal testimony. It is  
9 premised on a question raised by Commissioner Porter  
10 at the conclusion of Mr. Allen's testimony. It in no  
11 way addresses anything that was presented by an  
12 intervenor in this case.

13 And, in fact, if you go back to the  
14 transcript, Volume III, page 722, the question that I  
15 believe that Mr. Allen is responding to is "How am I  
16 to understand, if you could help me before a decision  
17 is made, what the ROE would be at 355 rate? Is that  
18 in the record anywhere? Answer: No."

19 Clearly the direct case was deficient on  
20 this point as pointed out by Commissioner Porter.  
21 AEP is attempting through his testimony to  
22 rehabilitate his direct case, not to respond to the  
23 intervenor testimony. It is improper rebuttal as we  
24 understand that term, and these references that I  
25 indicated should be stricken.

1  
2 MS. KERN: Your Honors, OCC will join  
3 in IEU's motion to strike for the same reason  
4 indicated by Mr. Darr.

5 MR. HAYDEN: Your Honor, FES would join  
6 in those as well.

7 MR. JONES: Staff will join in that  
8 motion as well.

9 MS. KINGERY: Duke Retail and Duke Energy  
10 Retail Asset Management will also join.

11 MR. NOURSE: You want me to respond as we  
12 go, your Honor?

13 EXAMINER SEE: Yes.

14 MR. NOURSE: Okay. Your Honor, on that  
15 point, you know, it is true that this is not  
16 traditional rebuttal. I think while I certainly  
17 disagree that our presentation and our direct  
18 testimony was deficient in any way, certainly was a  
19 question that came up, and Commissioner Porter  
20 indicated that he thought it would be helpful if that  
21 information were in the record. So, therefore, we  
22 tried to be helpful and provided it.

23 So that one piece and the areas of  
24 testimony that Mr. Darr picked out were related to  
25 that. If it's more appropriate to call it a

1 supplemental exhibit or something like that, it's not  
2 important to us. We were just trying to be helpful  
3 in responding to the observation the Commissioner  
4 made and provide the information that he wanted to  
5 see.

6 EXAMINER SEE: Your next grouping?

7 MR. DARR: The other portion that I seek  
8 to strike today relates to page 15, line 4, through  
9 page 17, line 10. This testimony relates to  
10 adjustments to the cost of service calculation  
11 presented by the staff witnesses. The reliance and  
12 the argument is based almost exclusively on a Staff  
13 Report in a distribution case which has absolutely  
14 nothing to do with the generation rates associated  
15 with the calculation of a capacity charge under  
16 either the company's proposal or the staff's  
17 proposal.

18 That distribution case was resolved  
19 through a stipulation. The stipulation specifically  
20 provides that it is not to be used in any manner in  
21 any other proceeding other than enforcement. And we  
22 were led once again to the problem of the company  
23 relying on evidence which is not presented, i.e., the  
24 Staff Report, that was resolved through a matter that  
25 was -- resolved itself through a stipulation. The



1 stipulation which provides -- a stipulation which  
2 provides that it shall not be used in other  
3 proceedings.

4 And it's just improper. Reliance on that  
5 information is just improper by the terms of the  
6 agreement that AEP entered into.

7 On that basis we would request that this  
8 be stricken as well.

9 EXAMINER SEE: And that was through page  
10 17, line 4?

11 MR. DARR: Page 15, line 4, I believe  
12 until page 17, line 10.

13 MR. NOURSE: Your Honor, may I respond?

14 EXAMINER SEE: Mr. Nourse, please do.

15 MR. NOURSE: Your Honor, the reference to  
16 the Staff Report and that Staff Report does reflect  
17 what the decision was in the rate case in the  
18 distribution rate case and so it does reflect the  
19 reality of the situation with AEP Ohio, and I believe  
20 Mr. Smith refers to the Staff Report in his  
21 testimony, but the main point of the rebuttal in this  
22 section starting on the question on line 4 of page 15  
23 is whether Mr. Allen agrees with Mr. Smith's  
24 exclusion of the prepaid pension asset, and the whole  
25 discussion about what happened in the rate case

1 really in support of Mr. Allen's disagreement with  
2 what Mr. Smith did and his testimony in this case.

3 To the extent that again -- to the extent  
4 that the stipulation reflects the Commission's  
5 decision, and that is the place and that does reflect  
6 reality I think it's fair to talk about. To the  
7 extent it would be considered an enforcement matter  
8 related to that stipulation, that's certainly also  
9 fair game to discuss and use in other proceedings.

10 So I believe it's clearly an issue  
11 Mr. Smith raised and we disagree with and Mr. Allen  
12 is providing testimony in support of. It's not the  
13 basis for the rebuttal testimony. The Staff Report  
14 is not the basis for raising the issue here. It's  
15 Mr. Smith's testimony.

16 MR. DARR: Your Honor, just to make clear  
17 there are some related arguments that's are in the  
18 exhibit as well. I believe it's WAAR-7 if the  
19 Commission does grant the motion to strike the  
20 testimony.

21 EXAMINER SEE: I'm sorry, you said WAA-7?  
22 I thought you said 8 earlier.

23 MR. DARR: Eight relates to the ROE  
24 adjustment, R-7 relates to the cost of service  
25 adjustments.

1 MR. NOURSE: You're referring to page 1  
2 of R-7?

3 MR. DARR: 1 through 5, I believe.

4 MR. NOURSE: Well, there are other  
5 matters addressed in the other pages.

6 MR. DARR: Right. And I believe the  
7 testimony that I've asked to have stricken relates to  
8 all of the cost-of-service adjustments.

9 MR. NOURSE: I'm not sure I understood  
10 that last point. I understood you were moving page  
11 15, line 4 through page 17, line 10, which is a  
12 subset of the cost of service discussion in  
13 Mr. Allen's testimony. Subset of his --

14 MR. DARR: What I'm saying, the related  
15 exhibit should be removed as well.

16 EXAMINER SEE: Did you want to respond to  
17 that aspect, Mr. Nourse?

18 MR. NOURSE: Your Honors, again, I'm not  
19 clear on Mr. Darr's statement. Certainly if he's --  
20 he seems to be making a broader statement about the  
21 exhibits than his argument in his motion to strike  
22 was in the text of the testimony.

23 The text of the testimony and the basis  
24 for his motion was related to the prepaid pension  
25 asset adjustment specifically that Mr. Smith made and

1 Mr. Allen's rebutting, but then the exhibit itself  
2 covers all of the other matters discussed in  
3 Mr. Allen's cost-of-service adjustment section of his  
4 testimony, which actually starts on page 15 and goes  
5 through the bottom of page 18.

6 So there's a mismatch of what Mr. Darr's  
7 saying here.

8 MR. DARR: If the Commission grants the  
9 motion, page 1 of 5 would be appropriate.

10 MR. NOURSE: And, Your Honors -- I'm  
11 sorry. I was just going to point out that the Staff  
12 Report excerpts that are in the record already as  
13 exhibits that have been admitted in this case being  
14 relevant, 129-A, 129-B. Thank you.

15 EXAMINER SEE: IEU's motion to strike  
16 portions of Mr. Allen's testimony are denied.

17 Who wants to -- let's start on this side.  
18 Mr. Smalls, any cross-examination?

19 MR. SITES: Your Honor --

20 MR. JONES: Before we begin I have a  
21 motion to strike as well. I move to strike a portion  
22 of Mr. Allen's testimony on page 21, lines 1 through  
23 10.

24 EXAMINER SEE: I'm sorry, speak up,  
25 please.

1 MR. JONES: Page 21, lines 1 through 10,  
2 where the company attempts to address current  
3 shopping levels as of April 30, 2012. This is trying  
4 to introduce some new evidence into the record that  
5 was not previously presented in the case earlier when  
6 we had the opportunity to do that and, now, they're  
7 trying to introduce new evidence into the case. I  
8 move to strike on that basis.

9 MR. NOURSE: Your Honor, if I may  
10 respond.

11 EXAMINER SEE: Hold on just a minute,  
12 Mr. Nourse.

13 Go ahead.

14 MR. NOURSE: Yes, I believe during  
15 Ms. Medine's cross and through her written testimony  
16 it was indicated and confirmed that a level of  
17 shopping was built into the modeling and was assumed  
18 to remain constant throughout the period, the  
19 three-year period in question at a 26 percent level,  
20 and Ms. Medine indicated that she had not -- she  
21 didn't have an opinion and didn't consider whether  
22 that 26 percent level would be realistic or  
23 appropriate as a projection of shopping going into  
24 the future. So this testimony simply shows what the  
25 current levels are to demonstrate that assuming a

1 static level based on a data point, a single data  
2 point, that was already stale is inappropriate.  
3 That's the purpose of the testimony.

4 MR. JONES: Your Honor, if I may.  
5 Witness Medine didn't contest that those shopping  
6 could fluctuate from 26 percent but this is an  
7 attempt to introduce new evidence. I think Mr. Allen  
8 testified on his earlier direct examination that the  
9 projected shopping levels would increase up from  
10 26 percent. So they've already made that  
11 presentation to this court and now they're trying to  
12 introduce new evidence as the shopping levels as of  
13 April 30, 2012, and I think that's inappropriate.  
14 Thank you.

15 MR. NOURSE: Your Honor, again, Mr. Allen  
16 did project shopping levels. Those projected  
17 shopping levels were contested and so this is  
18 additional evidence in support of his original  
19 position that shopping is going to increase and shows  
20 that, in fact, has increased already. So it supports  
21 our original position and rebuts the testimony and  
22 assumptions that were built into staff's testimony.

23 EXAMINER SEE: Staff's motion to strike  
24 page -- to strike portions of Mr. Allen's testimony  
25 is also denied.

1 Are there any others?

2 So we can start with cross-examination of  
3 this witness. Mr. Smalz, any questions? I'm sorry,  
4 no wonder.

5 Mr. Sites.

6 MR. SITES: No questions, your Honor.

7 EXAMINER SEE: Ms. Kern?

8 MS. KERN: No questions.

9 EXAMINER SEE: Ms. Thompson?

10 MS. THOMPSON: No questions, your Honor.

11 EXAMINER SEE: Mr. Sugarman?

12 MR. SUGARMAN: Just a few, your Honor.

13 - - -

14 CROSS-EXAMINATION

15 By Mr. Sugarman:

16 Q. Can you hear me, Mr. Allen?

17 A. I can hear you.

18 Q. Great. There's a lot of testimony --

19 EXAMINER SEE: Just a moment,

20 Mr. Sugarman. It's the button at the back of the  
21 mic, small switch. Thank you.

22 MR. SUGARMAN: Thank you, your Honor.

23 Q. There was quite a bit of testimony when  
24 you first appeared in cross-examination about what  
25 was a reasonable rate of return and what was an

1 acceptable rate of return. I just wanted to clarify  
2 your use of the word "reasonable" at page 22 at line  
3 2 of your rebuttal testimony, sir. You have that  
4 reference?

5 A. Yes, I do.

6 Q. I take it would your testimony be the  
7 12.2 percent in 2013 is an acceptable rate of return?

8 A. Yes, I would.

9 Q. And when you testified earlier, I thought  
10 I had heard you say that earning a reasonable rate of  
11 return today is typically in the 10 to 12 percent  
12 range; is that the company's position?

13 A. I recall that being my testimony.

14 Q. And is that still your testimony today?

15 A. Yes.

16 Q. And when you earlier testified, you spoke  
17 about an opportunity to earn a rate of return. Do  
18 you recall that testimony as well?

19 A. Yes, I do.

20 Q. And the calculation that you're  
21 portraying in WAA-R8 not only responds to  
22 Commissioner Porter's inquiry his earlier reference  
23 but is that the company's portrayal of what it  
24 believes is a reasonable opportunity to earn a rate  
25 of return utilizing the capacity price reflected in



1 your exhibit?

2 A. I think what this exhibit does is it  
3 shows that if the company were to collect its full  
4 cost capacity rate, that the company would earn a  
5 reasonable rate of return.

6 Q. And which is different, is it not --  
7 following up on your last answer, that is what you  
8 just testified, that is different though, is it not,  
9 than providing the company a reasonable opportunity  
10 to earn a fair rate of return? Two different  
11 concepts, right?

12 A. No. I think a forecast that shows that  
13 the company would earn a return of 12.2 percent shows  
14 that the company has a reasonable opportunity to earn  
15 that return. There are a lot of changes that could  
16 occur to change that ROE; storms, recession, weather,  
17 things of that nature.

18 So a forecast based upon weather normal  
19 and things of that such, that nature, that shows a  
20 return of 12.2 percent would indicate that the  
21 company had a reasonable opportunity to earn that  
22 return.

23 Q. But under those circumstances even if the  
24 return was not 12.2 percent and it was in the 10, 9,  
25 or 8 percent range, that would still provide the

1 company, would it not, with a reasonable opportunity  
2 to earn a fair rate of return?

3 A. It would. The revenue streams would be  
4 commensurate with the company's projected costs and  
5 as such would be provided a reasonable opportunity  
6 during that return.

7 Q. So the company's opportunity to earn a  
8 fair rate of return is not predicated as it being at  
9 12 percent or above 12 percent; is that correct?

10 A. That's correct.

11 Q. And since you last appeared in the  
12 witness stand in this proceeding have you determined  
13 a bright line below which you believe a return on  
14 equity would not be a fair rate of return for the  
15 company?

16 A. No, I have not determined a bright line.

17 Q. And you're unaware of any other company  
18 witness that has testified as to what that bright  
19 line would be for purposes of this proceeding,  
20 correct?

21 A. That's correct.

22 MR. SUGARMAN: Thanks, Mr. Allen. I have  
23 no further questions.

24 MR. YURICK: I have no questions, your  
25 Honor.

1 EXAMINER SEE: Mr. Kurtz.

2 MR. KURTZ: Thank you, your Honor.

3 - - -

4 CROSS-EXAMINATION

5 By Mr. Kurtz:

6 Q. Mr. Allen, do you have that exhibit in  
7 front of you, Exhibit 8?

8 A. Yes, I do.

9 Q. Just so I understand it, the very first  
10 line you have projected earnings two-tier capacity  
11 pricing 2012, 10.4 percent, 2013, 7.3 percent; is  
12 that correct?

13 A. Yes, I see that.

14 Q. What is the two-tier capacity pricing  
15 you're referring to?

16 A. That would have been the RPM for the  
17 first 21 or 31 percent in the two periods in 2013,  
18 and 255 for all shopping above that level.

19 Q. Do these financial forecasts include the  
20 revenue associated with the RSR charge that you're  
21 asking for in the ESP case?

22 A. No, they do not.

23 Q. So if the Commission thought that a  
24 10.4 percent after tax return on equity -- these are  
25 after tax numbers, correct?

1           A.     They're after tax, yes.

2           Q.     So if the Commission thought that a  
3     10.4 percent after tax return on equity in 2012 was  
4     appropriate, they would not -- they would not award  
5     AEP an RSR.

6           A.     That's not correct.

7           Q.     Well, these numbers don't include the  
8     revenue from an RSR so if we include RSR revenue, all  
9     else equal, your return on equity would go up,  
10    wouldn't it?

11          A.     The return would go up, but you're  
12    referring to just 2012. If you look to 2013, you'll  
13    see that the return under the two-tiered pricing  
14    structure is only 7.3 percent so that would indicate  
15    that an RSR would be needed to bring the return up to  
16    a level such as 10.4 percent.

17          Q.     Let me -- I'll repeat the question. If  
18    the Commission thought for 2012 that 10.4 percent  
19    after tax return on equity was appropriate, they  
20    would not need to award an RSR for 2012; isn't that  
21    correct?

22          A.     No, I wouldn't agree with that. The RSR  
23    provides for a variety of different changes for the  
24    company such as changes in load, changes in shopping  
25    levels, where the -- this analysis has a fixed

1 assumption around the level of shopping.

2 Q. Let me ask the question again. If the  
3 Commission thought that a 10.4 percent after tax  
4 return on equity was appropriate or reasonable or  
5 proper, and they gave you an RSR on top of the  
6 revenue stream, you project for 2012, then all else  
7 equal, AEP Ohio would earn more than 10.4 percent;  
8 isn't that true as a matter of pure mathematics?

9 A. It is. And if you were to refer to my  
10 testimony in the ESP case, you'll notice that for the  
11 first 12-month period the planning year '12-'13  
12 period, the RSR level that would be necessary just to  
13 cover that 12-month period is relatively small.

14 Q. Okay. Now, if the Commission thought  
15 that, excuse me, a 7.3 percent after tax return on  
16 equity for 2013 were appropriate and they gave you an  
17 RSA on top of it, then your return on equity  
18 mathematically by definition, would be higher than  
19 7.3 percent; isn't that true?

20 A. That's correct.

21 Q. Can you turn to your Exhibit 5. Here you  
22 address the member load ratio sharing of off-system  
23 sales profits as I understand it for the merged  
24 company you have a 40 percent ratio.

25 A. That's not what I'm attempting to do on

1 WAA-R5. What I'm attempting to do in that exhibit is  
2 to correct for staff's failure to include the  
3 Wheeling Power load from their energy credit  
4 calculation. So I addressed just that single item  
5 within staff's calculation.

6 Q. So how much of the member load ratio in  
7 this column plays into your analysis?

8 A. The way staff performed the analysis is  
9 that for all off-system sales margins, 40 percent of  
10 those margins would be retained by AEP Ohio, whereas,  
11 the margins associated with the firm requirements of  
12 AEP Ohio in their term in that reflected the  
13 74 percent of the nonshopped load, that would be  
14 retained 100 percent by AEP Ohio.

15 Q. Okay. But does this reflect the  
16 off-system sales sharing on the member load ratios  
17 basis in this exhibit?

18 A. This exhibit is just utilizing staff's  
19 approach in making an adjustment. Staff will have to  
20 support their methodology. I've tried to make  
21 specific corrections to their methodology for some of  
22 the deliberate assumptions that staff had included in  
23 the analysis there were inappropriate.

24 Q. Let me just to be clear, the AEP -- do  
25 you address the interconnection agreement in your

1 testimony, or is Mr. Nelson the better person?

2 A. Mr. Nelson is the primary witness on  
3 that.

4 Q. I'll save it for him.

5 Let me just ask you this final couple  
6 questions. Are you familiar with the Ohio  
7 Commission's pleading at FERC where the Commission  
8 set out a two-part goal in this case and one is to  
9 provide for the utility's ability to attract capital  
10 as well as promote the development of a competitive  
11 market?

12 A. I'm familiar with the Commission's  
13 pleading. I don't recall the specifics of the  
14 pleading though.

15 Q. Is there anywhere in your testimony here  
16 where you indicate, describe, forecast the effect on  
17 competition, the effect of the competitive market if  
18 the Commission were to adopt your proposed capacity  
19 number?

20 A. During my cross-examination we had as I  
21 recall significant discussion of the headroom that  
22 would be available for different classes of customers  
23 if the company were to charge its full capacity to  
24 CRES providers, and in that testimony I indicated  
25 that for the various calculations there was an

1 opportunity for the customers to shop and CRES  
2 providers to earn margins at the company's full cost  
3 of capacity.

4 Q. Now, those customer classes would  
5 primarily be the commercial class, correct?

6 A. No, I described that there were  
7 opportunity for the commercial and industrial classes  
8 under the scenario where the previous provider was  
9 purchasing energy in the market and I indicated that  
10 for the residential class there was an opportunity  
11 for CRES providers to earn a margin if they were to  
12 provide that power from their own generating units  
13 depending upon the cost structure of those generating  
14 units.

15 Q. Do you have evidence or testimony, other  
16 quantification of the headroom available to GS-4  
17 industrial customers at your capacity -- at your  
18 capacity proposal?

19 A. The testimony that I provided previously  
20 was related to the industrial class overall.  
21 Obviously for each customer based upon their unique  
22 operating characteristics the headroom's going to  
23 vary. And for certain customers that have very high  
24 load factors, they may have more difficulty obtaining  
25 competitive offers in the market and that's due to



1 the low energy prices that AEP provides to those  
2 customers under their tariffs.

3 Q. Now, your industrial load is served under  
4 GS-2, GS-3, and GS-4; isn't that correct?

5 A. That's correct.

6 Q. So when you say there may be industrial  
7 headroom, that could be for the very smallest  
8 industrials on GS-2, not for the very largest on  
9 GS-4; is that correct?

10 A. That's correct. The analysis I did was  
11 on an aggregate basis, not on an individual customer  
12 or customer rate schedule basis.

13 Q. Do you think that the second prong of the  
14 Commission's standard is important, the effect of  
15 this case on the development of a competitive market?  
16 Do you think that is equally as important as the  
17 effect of this case on AEP's ability to track  
18 capital?

19 A. I think the primary role of the  
20 Commission in this case should be ensuring that the  
21 company receives fair and reasonable compensation for  
22 the capacity that the company is providing to CRES  
23 providers for their use.

24 Secondly, shopping can occur and is  
25 occurring at capacity prices well above RPM and the

1 current RPM prices, and the RPM prices that are  
2 projected into the future. Shopping for shopping  
3 sake should not be the Commission's objective. Fair  
4 competition and balanced competition should be what  
5 the Commission is striving for.

6 Q. Now, if the Commission were to put its  
7 equal emphasis on both parts of the test rather than  
8 primary emphasis on AEP's financial interest, then  
9 the Commission could reach a different conclusion  
10 than the one you're proposing; isn't that right?

11 A. No. I think this case here is about an  
12 appropriate price for capacity for the company.  
13 That's what this case is about. That's what the case  
14 was initially premised upon. Other parties have  
15 brought in the question of can they compete with AEP  
16 if AEP charges these prices to them.

17 This is a contract that the company had  
18 with PJM. The CRES providers were well aware of it.  
19 They had the opportunity to provide their own  
20 capacity if they chose to and avoid paying the  
21 company's cost-based capacity. That was a choice of  
22 theirs.

23 So what we're here to do today is to  
24 determine what the appropriate cost of capacity is  
25 for the company.

1           Q.    Now, you would agree, wouldn't you, that  
2   there's nowhere in the -- and the Commission has  
3   stated that the primary emphasis of this case should  
4   be on the financial interest of the AEP rather than  
5   the development of a competitive market.  There's no  
6   document you can point to where the Commission  
7   adopted that position, is there?

8           A.    I think the Commission can decide what  
9   they think their primary focus is.  What I've  
10   indicated is what I believe the primary focus of this  
11   case should be based upon how the case started out.

12           MR. KURTZ:  Thank you, your Honor, no  
13   more questions.

14           EXAMINER SEE:  Mr. Darr?

15           MR. DARR:  Thank you, your Honor.

16                   - - -

17                   CROSS-EXAMINATION

18   By Mr. Darr:

19           Q.    Couple follow-ups and then we'll get back  
20   to your testimony in some new areas.

21                   Turning to your Exhibit R5 to your  
22   testimony today.

23           A.    I see that.

24           Q.    Line 22 contains a calculation of the 5  
25   CP.  What is the source of the information for that?

1           A.    This information was presented in the --  
2   in Kelly Pearce's testimony.

3           Q.    And do you know the year of the 5 CP  
4   calculation?

5           A.    This would have been based upon the 2010  
6   cost-of-service study, so it should have been summer  
7   2010.

8           Q.    I want to turn your attention to your  
9   Exhibit R8.

10          A.    I see that.

11          Q.    In response to some questions from  
12   Mr. Kurtz, you indicated that this exhibit does not  
13   contain any representation or any valuation for the  
14   RSR; is that correct?

15          A.    That's correct.

16          Q.    Are there in this calculation any  
17   assumptions made about any of the other proposals or  
18   additional riders contained in the modified ESP?

19          A.    No.

20          Q.    So from that I would take it that there  
21   is no valuation for the proposed GRR; is that  
22   correct?

23          A.    That's correct.

24          Q.    There is nothing in there for the  
25   proposed, if necessary, and I obviously put that

1 qualification on it, pool termination rider.

2 A. That's correct.

3 Q. And is there any representation in  
4 there -- in this calculation for the deferral  
5 accounting, your deferral accounting, affect that  
6 might occur from the storm damage mechanism that  
7 you're proposing?

8 A. No. And that one wouldn't be necessary  
9 because the projected storm expenses and the  
10 distribution revenues are equivalent. It would only  
11 be if I were to project a large storm in 2013 and not  
12 include the deferral. So I have a normal level of  
13 storms which would be consistent with what was in the  
14 distribution rates.

15 Q. With regard to this WAA-R8, this was in  
16 response to Commissioner Porter's questions with  
17 regard to calculating a return on equity, correct?

18 A. It was primarily in response to  
19 Commissioner Porter's question but there were also  
20 questions throughout the proceeding from Howard  
21 Petricoff. He asked some questions about what would  
22 be the return and we went through a discussion of how  
23 one would do that calculation and this just reflects  
24 actually doing that calculation.

25 Q. Well, if we look at your testimony, you

1 specifically are responding to Commissioner Porter's  
2 request, correct?

3 A. I am. But there were others that asked  
4 similar questions throughout the proceeding.

5 Q. And I noticed you made the calculation  
6 for 2013. You're not providing a number today for  
7 2012, are you?

8 A. No, I'm not.

9 Q. Or for 2014?

10 A. That's correct. The only testimony I  
11 presented in the case was 2012 and 2013. The reason  
12 I didn't present additional testimony for 2012 is  
13 it's a partial year that we would have this new rate  
14 in place and there would be a lot of question about  
15 at what point in time would you implement the higher  
16 capacity rate of 355. So what I did is looked at the  
17 year that it would be in place for a full year which  
18 is the most representative value that I could provide  
19 to the Commission for their understanding.

20 Q. And is it fair to say that you didn't  
21 provide a similar calculation for the first five  
22 months of 2015 either, correct?

23 A. That's correct.

24 Q. I want to return to something that you  
25 said with regard to a question that Mr. Sugarman

1 asked you a few minutes ago. You indicated that some  
2 of the modeling or forecasting you did would be  
3 subject to additional factors. I think his question  
4 to you was to the affect this was just that you --  
5 was this a guaranteed rate of return or was it an  
6 opportunity to earn a rate of return, and you  
7 indicated it was an opportunity because other things  
8 could happen. Correct?

9 A. Yes, that's correct.

10 Q. And you listed some of those other things  
11 that might affect the forecast as recession or  
12 weather. Do you recall that?

13 A. Yes. Change in shopping level I think I  
14 also indicated. There are a variety of items that  
15 could impact these earnings.

16 Q. Would the effect of fuel cost affect this  
17 calculation as well?

18 A. To the extent that fuel cost impacted the  
19 margins received on off-system sales, it would have  
20 an impact. Fuel costs would not have an impact on  
21 the earnings as they related to retail customers of  
22 the company because there is an over/underrecovery  
23 mechanism for those customers.

24 Q. And there you're talking about the fuel  
25 clause or the fuel adjustment clause, correct?

1           A.     The FAC, yes.

2           Q.     Now, with regard to the calculation of  
3     the energy credit, that is a difference between the  
4     LMP or an estimated LMP and total fuel cost and a  
5     number of other factors, correct?

6           A.     That's correct.

7           Q.     So to the extent that you're using on an  
8     aggregated basis the LMP, does it matter whether it's  
9     the FAC or off-system sales related earnings? For  
10    calculating the energy credit?

11          A.     It depends. Under staff's approach they  
12    had a view that the margin received from retail  
13    customers were at market, which I don't think is a  
14    valid assumption. If you look at all of the sales  
15    from AEP Ohio against the market, which I think is  
16    consistent with the analysis that Company Witnesses  
17    Pearce, Nelson, and Meehan have done, then the amount  
18    of revenues coming through the FAC aren't relevant in  
19    that sense.

20          Q.     So it depends on what your starting  
21    assumption is, correct?

22          A.     It depends upon the methodology you're  
23    employing, yes.

24          Q.     Okay, and when I say starting assumption,  
25    you understood that to mean the methodology?



1           A.    Yes, I did.

2           Q.    Now, with regard to the fuel prices,  
3 would the fuel prices have any affect on the LMPs?

4           A.    The fuel prices of AEP's coal units  
5 should not have an impact on LMPs. The fuel prices  
6 of AEP's gas units would typically move in a manner  
7 similar to the LMPs.

8           Q.    And can you explain why that occurs?

9           A.    Typically the market prices for  
10 electricity are set based upon the cost of gas. So  
11 as gas prices go up, market prices go up. As gas  
12 prices go down, market prices go down. There's a  
13 fairly good correlation between the two.

14                   So the gas units don't have a significant  
15 impact on LMP. The LMP --

16           Q.    Did you mean to say the coal units?

17           A.    No, I don't think I meant to say the coal  
18 units. The gas units are going to move consistently  
19 with the LMP. So they're not going to ride the LMP  
20 on an individual basis. The aggregate cost of gas  
21 for the -- it's the marginal units, the marginal gas  
22 units that set the LMPs. AEP units may or may not be  
23 those marginal units in any given hour.

24           Q.    Are there any other factors that would  
25 affect the forward -- your expectation of the

1 forecasted margins other than the ones we've just  
2 talked about? Economic, environment, relative fuel  
3 costs, weather?

4 A. I want to make sure, we've bounced around  
5 a little bit, are you talking about the ROE and the  
6 earning of AEP Ohio that I've described in Exhibit 8?

7 Q. No. I'm talking specifically about your  
8 calculation of or your forecast of margins. Is there  
9 anything else that would affect those other than the  
10 things that we've just talked about?

11 A. The margins from AEP's generating units  
12 in the sense of an energy credit calculation?

13 Q. Yes.

14 A. The variable O&M.

15 Q. Can you hold on a second, I think we just  
16 lost the microphone again.

17 EXAMINER SEE: Mr. Conway, is that mic  
18 working?

19 MR. NOURSE: This one is. Want to use  
20 this?

21 EXAMINER SEE: Yes, until we can get this  
22 one ready. Thank you.

23 Mr. Darr, go ahead.

24 MR. DARR: Thank you, your Honor.

25 Q. (By Mr. Darr) Are we back on the mic?

1           A.     Yes.

2           Q.     Good.

3           A.     The elements that would impact the  
4 margins achieved by AEP's generating units would be  
5 first the market price of electricity, variable O&M,  
6 emissions cost, fuel costs, the actual generation  
7 output of those units, the heat rate of those units,  
8 those would be the primary drivers of the margins for  
9 those units.

10          Q.     In looking at the fuel costs  
11 specifically, would you expect over the course of the  
12 period mid-year 2012 through 2015 that those fuel  
13 costs would vary from year to year?

14          A.     Yes, I would. In general the fuel costs  
15 for AEP's coal units goes up over time.

16          Q.     And would it also be true that the LMPs  
17 would be affected by such things as the bidding  
18 strategies of the individual companies that provide  
19 generation into that market?

20          A.     They may. The actual bidding strategies  
21 of various companies in PJM, that's outside the scope  
22 of my testimony in this proceeding.

23          Q.     Well, you have been involved in  
24 forecasting the financial affairs of this company as  
25 part of several of your positions, correct?

1           A.    Yes, I have.

2           Q.    And in that you've been sensitive to the  
3 fact that part of the financial forecasting is  
4 looking at the operation of these markets in which  
5 you're operating, correct?

6           A.    Yes. And typically we look at the  
7 forward-price curves in those markets, not the  
8 underlying strategies that have created those  
9 forward-price curves.

10          Q.    One of the factors you would look at  
11 though would be how bidding strategies would affect  
12 those prices, correct?

13          A.    That's not something that I would look  
14 at.

15          Q.    In your role.

16          A.    That's correct.

17          Q.    Are you aware how those bidding  
18 strategies might affect when they're not your  
19 company's AEP generation units would play in these  
20 markets, in these bids?

21          A.    I'm generally aware but not specifically.

22          Q.    And in terms of defining where the LMP  
23 clears on a day-to-day, did you look at whether or  
24 not there were demand resources and how those might  
25 affect the LMP?

1           A.    No.  I just used the forward price curves  
2   that exist today.

3           Q.    With regard to the cost-of-service  
4   adjustments that you calculated to the staff  
5   testimony, you have sought to include construction  
6   work in progress, correct?

7           A.    Yes, I did.

8           Q.    And did you make any attempt to address  
9   in your testimony whether or not that  
10   cost-of-service -- or, excuse me, construction work  
11   in progress would clarify under Section 4909 and the  
12   provisions in Chapter 4909?

13          A.    No, I did not.

14          Q.    And, in fact, if I understand it  
15   correctly, you're basically using or basically making  
16   the arguments to the staff testimony, the staff  
17   testimony relied on the Pearce testimony, so  
18   everything goes back to the Pearce testimony,  
19   correct?

20          A.    And ultimately to the company's FERC Form  
21   1.  Yes.

22          Q.    And that brings us back to the point of a  
23   series of questions that was raised earlier which is  
24   that there was no attempt to comply with the  
25   requirements of Chapter 4909 in preparing this

1 testimony or in preparing the supporting schedules  
2 that you have used for purposes of this hearing,  
3 correct?

4 MR. NOURSE: I object. Sounds like  
5 Mr. Darr is asking about the procedure or substantive  
6 requirements of RC Chapter 4909 which is beyond the  
7 scope of this testimony -- witness's testimony and is  
8 a legal matter.

9 MR. DARR: Your Honor, if I may respond.

10 EXAMINER SEE: Go ahead.

11 MR. DARR: The whole point of this matter  
12 is to set an increased rate. There has to be some  
13 legal basis for it and I'm trying to figure out what  
14 the legal basis of it is. And we've been on this  
15 trail since day one, in fact, before day one of this  
16 hearing. This issue is clearly relevant to how the  
17 Commission ultimately decides this matter.

18 MR. NOURSE: Well, your Honor, Mr. Darr  
19 can ask a specific question like he did with the CWIP  
20 area or they could have presented their own witness  
21 to explain other technical matters, but he's just  
22 asking a blanket question about the requirements of a  
23 very complex and lengthy chapter in the Revised Code.

24 MR. DARR: If I may respond, your Honor,  
25 because there's a factual assertion made there that

1 is inaccurate in Mr. Nourse's response. We did point  
2 out testimony we pointed out through Mr. Hess. In  
3 fact, there was no compliance with generally  
4 understood and statutorily required requirements for  
5 setting a rate under 4909. And that is exactly the  
6 point of this cross-examination.

7 EXAMINER SEE: And I think the witness  
8 has already started to indicate whether or not he  
9 based a portion of his testimony on statutory factors  
10 so the objection is sustained.

11 You may move on, Mr. Darr.

12 Q. (By Mr. Darr) Have you provided an  
13 operating statement of OP or Ohio Power's and  
14 Columbus Southern Power's last fiscal year?

15 A. No, I have not.

16 Q. Have you provided a statement of the  
17 income and expenses anticipated if the proposed rate  
18 increase is approved?

19 A. That would be my Exhibit WAA-R8.

20 Q. Anything else?

21 A. No. That's my complete answer.

22 Q. And have you provided a statement of  
23 financial condition other than RR -- excuse me R8 for  
24 Ohio Power and CSP summarizing assets, liabilities,  
25 and net worth?

1           A.    No, I have not.

2           Q.    I'd like to turn your attention to your  
3 rebuttal Exhibit 1, please.

4           A.    I see that.

5           Q.    I want to make sure the record's clear  
6 about what you were doing here to create this  
7 \$70 adjustment. You start with the staff's projected  
8 cost of fuel; is that correct?

9           A.    I used staff's -- I think it's their  
10 third revised fuel cost estimate, yes.

11          Q.    And then you adjust that or let's back up  
12 a second. You create a calculation of what you  
13 believe the actual fuel costs were based on 2011,  
14 correct?

15          A.    What I've done is taken the actual fuel  
16 costs for 2011 on a dollars per megawatt hour basis  
17 and applied that rate to the forecasted generation  
18 that Staff Witness Medine presented in her workpapers  
19 to determine what the fuel costs would be if we  
20 simply used historic 2011 fuel cost for AEP Ohio's  
21 generating units and applied that to those kilowatt  
22 hours to come up with the rate -- with the dollar  
23 amount.

24          Q.    And then the next calculation next to the  
25 under statement of fuel cost, that's the difference



1 between column 1 and column 2, correct?

2 A. The columns aren't numbered so just for  
3 the record it's the difference between the fuel cost  
4 based on actual 2011, that column, and the column  
5 entailed staff projected fuel costs.

6 Q. And then you adjust that to come up with  
7 a megawatt per day calculation, correct?

8 A. That's correct.

9 MR. DARR: I'm not sure what we're up to  
10 in terms of our numbered exhibits. Could I have a  
11 little assist from the Bench, please?

12 EXAMINER SEE: I have your last exhibits  
13 were IEU Exhibits 102-A and 102-B.

14 MR. NOURSE: That's what we have as well,  
15 your Honor.

16 EXAMINER SEE: I'm sorry, I have IEU  
17 111 --

18 MR. DARR: I've got 119 so I think this  
19 is 120.

20 MR. LANG: I've got 119 as your last  
21 exhibit.

22 EXAMINER SEE: Okay.

23 MR. DARR: I would like to have this  
24 marked as IEU Exhibit 120.

25 EXAMINER SEE: 120.

1 (EXHIBIT MARKED FOR IDENTIFICATION.)

2 EXAMINER SEE: Exhibit is marked IEU 120.

3 MR. DARR: Thank you, your Honor.

4 Q. (By Mr. Darr) Do you have in front of you  
5 what's been marked as IEU Exhibit 120?

6 A. Yes, I do.

7 Q. Do you recognize this exhibit?

8 A. Yes. It appears to be one the workpapers  
9 that I provided to the parties in the case.

10 Q. And was this workpaper developed by you  
11 or under your direction?

12 A. It was prepared by myself.

13 Q. And is this part of the support for what  
14 we have been presented as your rebuttal Exhibit 1?

15 A. Yes, it is.

16 Q. Now, to assist the record, you, me, maybe  
17 the rest of the folks in the room, across the top  
18 I've added some labels in brackets, listed 1 through  
19 8. Do you see that?

20 A. I see that, yes.

21 Q. The first column, would you describe  
22 what's in the first column for us, please? The  
23 column bracketed 1.

24 A. Yes, I see that. That column provides  
25 the list of plants that were provided in the

1     workpapers of Staff Witness Medine.

2             Q.     And would you describe what's listed in  
3     the column bracketed by 2?

4             A.     Column 2 provides the fuel costs used by  
5     Staff Witness Medine for calendar years 2012, 2013,  
6     2014, and 2015, and also provided in her workpapers.

7             Q.     And what is contained in column 3?

8             A.     Column 3 provides the actual fuel costs  
9     for 2011 from the company's FERC Form 1.

10            Q.     Column 4?

11            A.     Column 4 is simply a variance between  
12     column 3 and column 2 for each year 2012 through  
13     2015.

14            Q.     Column 5?

15            A.     Column 5 is the projected generation for  
16     the coal units of AEP Ohio as presented in the  
17     workpapers of Staff Witness Medine.

18            Q.     Column 6?

19            A.     Column 6 would be the staff's fuel costs  
20     multiplied by the kilowatt hours of generation.

21            Q.     Column 7?

22            A.     Column 7 would also be the fuel costs for  
23     the generating units of AEP Ohio based upon the  
24     generation provided by Staff Witness Medine  
25     multiplied by the company's 2011 fuel costs.

1 Q. And then column 8.

2 A. Column 8 is the excess margin on an  
3 annual basis produced by staff's understated fuel  
4 costs.

5 Q. Now, if I understand it correctly, the  
6 difference that you calculated here is based, as you  
7 described it, on the historic or cost for 2011 for  
8 fuel at each of these coal facilities, correct?

9 A. That's correct.

10 Q. And that number is a constant for the  
11 period 2012 through 2015 for each of those plants,  
12 correct?

13 A. That's correct. What I attempted to do  
14 was to provide a conservative estimate of the margins  
15 that would be produced by these units and my starting  
16 point was a value that was very transparent that all  
17 parties could easily review. And in light of the  
18 fact that fuel costs typically go up over time, this  
19 produces a conservative estimate.

20 Q. Now, you said fuel costs go up over time.  
21 You have not made any assertions today or provided  
22 any testimony today as to the trends or any  
23 forecast -- let me start over again.

24 Have you provided the Commission a  
25 forecast of fuel costs in this case?

1           A.    No.  I think that's being presented by  
2   Company Witness Meehan.  I have reviewed the  
3   company's forecasted fuel costs to confirm that use  
4   of 2011 actual fuel costs in this calculation is  
5   conservative.  What I attempted to do here is provide  
6   data that could stay in the public record that all  
7   parties could review and understand, whereas, the  
8   data that Company Witness Meehan presents his  
9   confidential data that won't be in the public record.  
10   So I tried to do a simple view that the public could  
11   see.

12           Q.   Well, I think we can agree it's simple,  
13   but I guess the question is is it accurate?  You  
14   would turn to Mr. Meehan then to address the  
15   direction of these coal costs?

16           A.   No, I would not.  I reviewed the  
17   company's coal costs, and I verified that the  
18   analysis I presented is a conservative estimate.  And  
19   when I say conservative, it means that the adjustment  
20   to staff's energy credit is less than it would have  
21   been had I included projected fuel costs in my  
22   analysis.

23           Q.   To at least close the circle on this  
24   question, it's fair to say that at least in your  
25   calculation where you come up with your \$70 per

1 megawatt day adjustment, you have assumed for  
2 purposes of that calculation that coal costs are  
3 fixed at 2011 levels.

4 A. That's a simplifying assumption I've  
5 provided here. And part of the reason is that the --

6 Q. Mr. Allen, I appreciate your answer, and  
7 I don't mean to interrupt. You'll certainly have an  
8 opportunity to expand on this on redirect. The  
9 answer to my question is either yes or no. What is  
10 the answer to my question?

11 A. I don't recall what your question was,  
12 but I have provided an answer to you.

13 Q. My question was you assumed for purposes  
14 of this calculation the fixed costs for coal based on  
15 historic 2011 prices, correct?

16 A. Yes, as a conservative assumption, yes.

17 Q. Could you turn your attention to rebuttal  
18 Exhibit No. 6, please.

19 A. I see that.

20 Q. Now, I'd like to ask you a few questions  
21 about this exhibit. With regard to let's take the  
22 first line, Conesville unit identified as 2840-3.  
23 You list the 2012 cost of that unit as \$33.80,  
24 correct?

25 A. That's correct. That information comes

1 from the workpapers of Staff Witness Medine.

2 Q. Now, to calculate that number, you would  
3 have added the actual 2011 fuel to this unit with the  
4 EVA estimated cost of emissions and variable O&M,  
5 correct?

6 A. No, that's not correct.

7 Q. How is that wrong?

8 A. In this calculation I used the exact  
9 values presented by Staff Witness Medine. The intent  
10 of this calculation was to address the fact that the  
11 errors presented in Staff Witness Medine's testimony  
12 were very significant on both the fuel cost side and  
13 the market side such that units that she had  
14 projected would dispatch, would not dispatch because  
15 the market price would be less than their unit cost.  
16 And so this was attempting to remove the negative  
17 margins that were produced by correcting the  
18 significant errors in the staff's testimony.

19 Q. In any case, you come up with a series of  
20 what amount to negative margins, correct?

21 A. That's correct.

22 Q. In each one of these cases that would  
23 indicate that the average variable cost of running  
24 the unit was in excess of the average LMP value for  
25 that particular unit?

1           A.    Yes, that's correct.

2           Q.    And that would indicate what to you in  
3 terms of outcomes?

4           A.    As I was trying to indicate previously,  
5 what staff did in their testimony, Staff Witness  
6 Medine, she understated the fuel costs significantly  
7 and overstated market prices significantly. As such,  
8 her forecast would have had units generating and  
9 earning margins that would not occur in the real  
10 world.

11                       So what I've done in this calculation is  
12 attempted to address the fact that I've corrected her  
13 fuel cost, that prices produces one adjustment to the  
14 energy credit, I've also corrected her overstated  
15 market prices, that produces a second adjustment.

16                       This adjustment's necessary to ensure  
17 that I'm not double counting the value of those  
18 adjustments, I'm removing the margins that are  
19 negative because those units would not operate.

20           Q.    Well, would you agree with me that in a  
21 market that uses LMP prices, the price would vary by  
22 hour?

23           A.    It would. The company was only provided  
24 limited workpapers from the staff. They only  
25 provided unit generation on a yearly basis, that was



1 discussed with Witness Medine while she was on the  
2 stand. And so what I attempted to do here is do the  
3 calculations to the best of my ability based upon the  
4 limited data that staff presented us in their  
5 workpapers.

6 Q. Would you also agree that in a market  
7 that utilizes LMP prices, the price can vary at each  
8 generation plus in the network?

9 A. Yes, that's correct.

10 Q. Isn't it true that the price of the  
11 generator bus may be above or below the average price  
12 for any hour of the year?

13 A. Yes, that's correct.

14 Q. Is it your belief that the generating  
15 units voluntarily run when the LMP at their bus is  
16 less than their marginal cost?

17 A. There could be circumstances but that's  
18 not something that I typically would deal with.

19 MR. DARR: If I could have just a moment,  
20 please.

21 EXAMINER SEE: Yes.

22 Q. Are you making any assumptions with  
23 regard to purchased power in terms of satisfying  
24 energy requirements?

25 A. No, I'm not.

1           Q.    On this exhibit there are some instances  
2 where there are positive calculations as well as  
3 negative calculations, correct?

4           A.    That's correct.

5           Q.    And those are not included in your  
6 adjustment; is that correct?

7           A.    That's correct. And they're not  
8 necessary. Those margins would have existed in Staff  
9 Witness Medine's original analysis and they would be  
10 reduced as appropriate to reflect more reasonable  
11 fuel costs and more reasonable market prices in other  
12 adjustments that I've done. So there's -- it's not  
13 necessary to -- it would be inappropriate to include  
14 those positive margins from this worksheet.

15          Q.    Now, in the real world that you're trying  
16 to replicate here to calculate your adjustments, it's  
17 fair to say that your company relies on purchased  
18 power to provide some of its generation needs,  
19 correct?

20          A.    I think you misstated your question, but  
21 the company uses purchased power to meet some of the  
22 demands of our customers.

23          Q.    And this calculation that you've made  
24 essentially assumes that all of the AEP Ohio  
25 requirements are being met by these particular

1 plants, correct?

2 A. And I want to clarify so that the  
3 record's clear and everyone understands what I've  
4 done here. What I've done is taken Staff Witness  
5 Medine's analysis and made adjustments to it to  
6 reflect more reasonable and appropriate assumptions.

7 Ms. Medine presented the dispatch for  
8 these units in her analysis.

9 Q. So you're just looking at that.

10 A. That's correct. The purpose of my  
11 testimony is to correct the significant errors that  
12 were included in her testimony so that we can produce  
13 a record that has reasonable results for the energy  
14 credit in this situation.

15 Q. Going back to my original question and  
16 that's based on the assumption that the energy needs  
17 are being satisfied internally by AEP Ohio designated  
18 plants, correct?

19 A. My recollection of Ms. Medine's analysis  
20 is that during certain hours the demands of AEP's  
21 retail customers were met by market purchases.  
22 That's my recollection of what a pretty lengthy  
23 workpaper that Ms. Medine had where she had the  
24 hourly generation for the fleet as compared to the  
25 hourly demands of AEP Ohio's nonshopping load. And

1 she fixed at the 74 percent.

2 Q. And is it fair to say that Ms. Medine  
3 relied on the assumptions made by Mr. Pearce in terms  
4 of beginning this calculation?

5 A. No. Ms. Medine, my understanding, did  
6 not rely on the testimony of Company Witness Pearce.  
7 Staff Witness Smith relied on Mr. Pearce's testimony  
8 for his cost-of-service analysis, but Ms. Medine and  
9 Mr. Harter performed their own independent analysis.

10 MR. DARR: Thank you. I have nothing  
11 further.

12 EXAMINER SEE: Ms. McAlister?

13 MS. McALISTER: No questions, your Honor.

14 EXAMINER SEE: Ms. Kingery?

15 MS. KINGERY: No questions, your Honor.

16 EXAMINER SEE: Mr. Lang?

17 MR. LANG: Thank you, your Honor.

18 - - -

19 CROSS-EXAMINATION

20 By Mr. Lang:

21 Q. Morning. I want to take you back to your  
22 Exhibit R8.

23 A. I'm there.

24 Q. Is one of the assumptions in this exhibit  
25 that existing standard service offer rates are in

1 place?

2 A. Yes, that's correct.

3 Q. And for your calculation for 2013 that  
4 you added where you removed the RPM capacity revenue  
5 at \$356 per megawatt day, how did you derive those  
6 numbers?

7 A. I removed \$70 million of capacity revenue  
8 that was included in the estimate of -- the estimate  
9 of February 23, 2013, ruling. I removed the  
10 70 million that was embedded in there for capacity  
11 providers and avoided back in the revenues that would  
12 be received at 356 which is the 355.72 rounded, and  
13 that \$753 million there was derived by applying that  
14 rate, the \$355.72, times the shopped load of AEP Ohio  
15 for 2013.

16 Q. So is that similar to the calculation  
17 that you did showing the impact of capacity at 355 or  
18 356 in your modified ESP testimony?

19 A. Yes. It would be consistent with that  
20 methodology.

21 Q. Now, the request in this case is to have  
22 the capacity charge implemented as of June 1, 2012;  
23 is that your understanding?

24 A. I don't think that's the company's  
25 request. The company's request was to have that rate

1 put in place over a year and a half ago. I think the  
2 Commission's goal in this case is to come up with the  
3 rate that they can put in place June 1, 2012.

4 Q. Now, with that understanding, the same  
5 calculation for 2012 starting with \$356 capacity as  
6 of June 1, 2012, would result in an equivalent return  
7 on equity of slightly over 12 percent, is that fair?

8 A. I haven't done that calculation. And  
9 it's not a calculation you can just easily derive by  
10 the -- by taking 7 out of 12 months. You have to  
11 recognize that in 2012 the shopping load is growing  
12 over the months and is not fixed in time.

13 Q. But that data was also -- you prepared in  
14 your modified ESP testimony that the similar data to  
15 what you used for 2013 to add the capacity revenue,  
16 correct?

17 A. Yes, that's correct.

18 MR. LANG: Your Honor, we'd like to have  
19 marked as FES Exhibit No. 122 a -- this is a revised  
20 ROE calculation.

21 EXAMINER SEE: The exhibit is so marked.

22 (EXHIBIT MARKED FOR IDENTIFICATION.)

23 Q. And, Mr. Allen, there's two pages here of  
24 the exhibit. I just want to ask you about the first  
25 page first. And on the first page of this exhibit

1 you'll see under the year 2013 there are no changes  
2 from what you've provided; is that correct?

3 A. That looks to be correct, yes.

4 Q. And then under year 2012, it's also the  
5 same as what you've provided down through the  
6 projected earnings all capacity RPM line; is that  
7 correct?

8 A. Yes, that's correct.

9 Q. So what's been added is below that line  
10 the equivalent calculation that you did for 2013 has  
11 been added to 2012 for removing the RPM capacity  
12 revenue and then adding capacity revenue at \$356 per  
13 megawatt day, making income tax adjustment to  
14 determine that capacity impact for 2012; is that  
15 correct?

16 A. I see the calculation you're referring  
17 to.

18 Q. And is the -- and in particular where the  
19 capacity revenue is added \$362 million, do you agree  
20 that that is equivalent to what you've prepared as  
21 part of the modified ESP as the impact of the  
22 \$356 per megawatt day rate for 2012?

23 A. I don't know that to be true. And the  
24 data that I presented in the ESP testimony would have  
25 only included seven months of capacity revenue for

1 2012 and the 362 looks relatively large for those  
2 seven months based upon the fact that shopping levels  
3 were projected to increase over that period. So as I  
4 compare 362 and 753, it appears that you may have  
5 more kilowatt hours shopped than what was included in  
6 my analysis, but I can't confirm that as we sit here  
7 today.

8 Q. Is the -- when you said you only had  
9 seven months in your modified ESP testimony, that  
10 would be June 1, 2012, through the end of the year?

11 A. That's correct.

12 Q. Is the -- if you had your base G versus  
13 355 workpaper in front of you from the modified ESP  
14 case, would that help you confirm that the numbers  
15 provided here are reasonable?

16 A. Yes, it would help me.

17 MR. LANG: Just have one copy of this,  
18 your Honor, but if I can show that to the witness.

19 EXAMINER SEE: Let's go off the record.

20 (Recess taken.)

21 EXAMINER SEE: Let's go back on the  
22 record.

23 Mr. Darr -- no, I'm sorry, Mr. Lang.

24 MR. DARR: I took a long time but.

25 EXAMINER SEE: You guys are all starting



1 to blend together at this point.

2 MR. DARR: I feel honored if I blend  
3 together with Mr. Lang.

4 EXAMINER SEE: Go ahead, Mr. Lang.

5 MR. LANG: Thank you, your Honor.

6 Q. (By Mr. Lang) Mr. Allen, we had your  
7 workpaper in front of you. Does the workpaper in  
8 front of you show for the months of 2012 a shopping  
9 load by class?

10 A. Yes, it does.

11 Q. And does it also show the capacity rate  
12 of \$356 per megawatt day by class for each month?

13 A. Yes, it does.

14 Q. So to derive the capacity revenue from  
15 the \$356 per megawatt day would the calculation be  
16 multiplying the shopping load by the capacity rate  
17 for each class and then the total would be the  
18 capacity revenue for that month?

19 A. The calculation you would perform is to  
20 take the OAD load for the residential class times the  
21 capacity rate at 356 per megawatt day for the  
22 residential class. And then you would add to that  
23 the same calculation for the commercial load and the  
24 industrial load. And then you would sum that across  
25 the seven months of 2012.

1           Q.    And thank you for that classification on  
2   that workpaper what's referred to as the OAD load is  
3   the shopping load?

4           A.    That's correct.  And to clarify, the data  
5   that indicates capacity revenues is the capacity  
6   revenues at 356 for both the SSO load and the OAD  
7   load.

8           Q.    Given that workpaper in front of you, are  
9   you able to confirm that the \$362 million for 2012 is  
10  a reasonable approximation?

11          A.    No, not without doing the calculation I  
12  described for a set of 21 different data points.

13          MR. LANG:  Your Honors, what I would  
14  propose is not only at this point I have one piece of  
15  that -- one copy of that workpaper.  But I'd like to  
16  mark the workpaper as FES No. 123 rather than having  
17  Mr. Allen do the math for as he said the 21 different  
18  data points, and then I'd like to mark that workpaper  
19  as Exhibit No. 123.

20                We will over the lunch break bring  
21  additional copies for everyone else and the Bench and  
22  then with that exhibit we'll be able -- that exhibit  
23  will then be the support for the calculation as  
24  Mr. Allen described for the \$362 number in  
25  Exhibit No. 122, if that's acceptable to the Bench.

1 EXAMINER SEE: That's fine.

2 (EXHIBIT MARKED FOR IDENTIFICATION.)

3 MR. LANG: Thank you, your Honor.

4 Q. (By Mr. Lang) Mr. Allen, with regard to  
5 the removal of RPM capacity revenue for 2012 that  
6 shows \$33 million, is that a fair approximation of  
7 pulling out the RPM capacity revenue in 2012?

8 A. I don't know.

9 Q. Would it be --

10 A. The RPM revenue for 2012 would be  
11 significantly higher than \$33 million.

12 Q. For year 2013 number of \$70 million for  
13 removing the RPM capacity revenue, how was that  
14 calculation done?

15 A. That's calculated by applying the RPM  
16 rate each month times the shopped load for the  
17 customer classes. For 2012 you have to recognize  
18 that the capacity rate of \$146 per megawatt day was  
19 in place for the first five months of the year. So  
20 that would produce a higher level in revenue than the  
21 RPM rate of \$20 a megawatt day that begins to occur  
22 in June.

23 Q. Is the -- for 2012 for the first five  
24 months of the year you mentioned the \$146 capacity  
25 charge, is that -- do you mention that as part of the

1 two-tiered capacity pricing that's on the first line  
2 of the exhibit?

3 A. It would be in the two-tiered  
4 calculation, yes. I didn't do the calculation you  
5 have here, so I'm having difficulty understanding  
6 when you say remove RPM capacity revenues, are you  
7 removing part of the year, all of the year? I just  
8 don't know what you've done.

9 Q. Well, and I think I started off with the  
10 exhibit, maybe -- I hope I did, that we were talking  
11 about the proposal from June 1 -- from June 1, 2012,  
12 through the end of the year, so the same time period  
13 as the workpaper that I gave you that we're marking  
14 as Exhibit No. 123.

15 A. So the 33 million represents, I'm  
16 guessing by your indication that represents the  
17 RPM-capacity revenues just for the last seven months  
18 of the 2012?

19 Q. Correct.

20 A. I can't confirm whether that's an  
21 accurate number or not.

22 Q. Is that also a number that can be  
23 calculated from the separate workpaper that you have  
24 in front of you?

25 A. No, it's not.

1           Q.    If I can ask you to turn to the second  
2 page of FES Exhibit No. 122, the heading at the top  
3 of this says "Scenario 2." And you'll see this is  
4 the same as the first page except it adds rider DIR  
5 revenue toward the top of the page. Do you see that?

6           A.    I see the heading, yes.

7           Q.    And with regard to rider DIR revenue, you  
8 testify with regard to the amount of the DIR revenue  
9 in your modified ESP testimony; is that correct?

10          A.    I testified to the maximum level of the  
11 DIR in that testimony.

12          Q.    And so can you tell us what the maximum  
13 number is that you calculate for the DIR in 2012 and  
14 2013?

15          A.    In 2012 the maximum DIR on an annual  
16 basis is capped at 86 million, the actual DIR  
17 revenues that the company will be able to collect in  
18 2012 will be less than \$86 million to the delay in  
19 implementation of the DIR. So the 86 million is an  
20 annual number. Assuming the company implemented  
21 halfway through the year, the revenues will be about  
22 half of that.

23          Q.    And for 2013?

24          A.    In 2013, the maximum revenues under the  
25 DIR are \$104 million.

1           Q.    So the rider DIR revenue reflected on  
2   this scenario 2 for 2013 of \$104 million, that's what  
3   you calculate in the modified ESP case.

4           A.    No.  If I were to look at the DIR revenue  
5   in the sense it's been included in this estimate of  
6   earnings, I would also have to include in the  
7   incremental distribution expenses that the company  
8   would incur as well as the capital investments that  
9   the company would have if rider DIR were approved in  
10  that case.

11          Q.    Well, the question I asked you not in  
12  addition to what -- what additional factors you would  
13  add in but just first is the \$104 million shown here  
14  for 2013 as the rider DIR revenue, the same number  
15  that you've calculated in your modified ESP testimony  
16  as the maximum rider DIR revenue?

17          A.    To clarify, I didn't calculate the DIR  
18  revenue in the ESP case.  I identified what the  
19  maximum level would be.  But you have to factor in  
20  the spending that goes with that maximum.  So there's  
21  no guarantee that the company would be able to  
22  collect \$104 million of DIR revenues in 2013.  It  
23  would be dependent upon the expenses.

24                So you have to have a matching of the two  
25  when you do any analysis like this and in this case

1 no matching has been included in the analysis.

2 Q. Well, and for 2012 this sheet shows a  
3 rider DIR revenue of less than the maximum that  
4 you've calculated and, again, is that a -- is that a  
5 fair approximation if you're running the ESP from  
6 June 1, 2012, through the end of the year?

7 A. No. The \$72 million to the -- as I  
8 recall in providing -- when I did this analysis, that  
9 \$72 million was eliminating the DIR revenues for the  
10 period March 1st through December of 2012. That's  
11 how the \$72 million was derived.

12 So in this case the \$72 million would  
13 significantly overstate the DIR revenues that the  
14 company could expect to recover in 2012 even if the  
15 company were able to obtain the maximum DIR revenues.  
16 But, once again, just like we talked about for 2013,  
17 there's no matching of the revenues and expenses in  
18 this calculation performed.

19 Q. So you believe that the \$72 million for  
20 2012 is overstated by three months?

21 A. I don't believe it's overstated, I know  
22 it's overstated by three months, plus it doesn't  
23 reflect what the company actually will recover. The  
24 company could recover less than that. And, in fact,  
25 one adjustment that the staff has proposed in the ESP

1 case is to adjust the calculation of the DIR revenues  
2 for ADIT which would also have an effect. So what  
3 the \$72 million that was removed from the analysis,  
4 that 72 million reflected what the company had  
5 proposed and what the Commission had approved in the  
6 last ESP, not what's being proposed in this case  
7 exactly.

8 Q. For --

9 A. I'm sorry, not in this case in the  
10 company's next proposed ESP -- ESP II.V as we refer  
11 to it.

12 Q. For 2013 if the maximum DIR of  
13 \$104 million is approved, does occur, that added to  
14 your -- the rest of your calculation for 2013 would  
15 result in an ROE for 2013 of approximately 13.7  
16 percent.

17 A. No. And that's what I indicated. You  
18 failed to include a matching of the revenues and  
19 expenses associated with the DIR. So I would not  
20 agree that it would produce a 13.7 percent.

21 Q. So are you saying that the DIR would have  
22 no impact on ROE?

23 A. It may have an impact on ROE, but it  
24 would be substantially less than the value that  
25 you've shown on this table.



1           Q.    Would the -- would be the difference be  
2   between the DIR revenue and the expenses that you  
3   mentioned?

4           A.    I haven't performed that calculation.  
5   And you haven't included any recognition of that.  As  
6   we've discussed in testimony in the ESP case, the DIR  
7   allows the company to invest incremental capital.  
8   Largely any incremental DIR revenue is offset by  
9   incremental expenses or through growth in the equity  
10  balance of the company such that the ROE would remain  
11  relatively constant as you add new distribution  
12  investment and get recovery through the DIR.  That's  
13  the structure of the DIR.

14          Q.    Is there a return on top of that for the  
15  DIR?

16          A.    There is.  And that's what I'm trying to  
17  describe to you is that your analysis has failed to  
18  take into account several aspects of the DIR.  You  
19  haven't included any of the expenses associated with  
20  the DIR, depreciation, taxes, A&G, O&M that's going  
21  to happen when we invest incremental distribution  
22  assets.  And based on failure to include that, I'm  
23  also assuming that you failed to include the  
24  incremental equity that would exist at AEP Ohio to  
25  fund that investment.

1           And you've also failed to include the  
2 interest expenses associated with those assets. So  
3 you've included the revenue stream but none of the  
4 associated expenses or the change in cap structure --  
5 not cap structure but overall equity of the company.

6           Q. But I guess your testimony is that the  
7 full \$104 million would not flow through to return on  
8 equity, but isn't it fair to say that some portion of  
9 that \$104 million would return -- would flow through  
10 to return on equity because otherwise you would make  
11 the investment?

12          A. No, I don't think that's accurate at all.  
13 The final result that we're talking about here is  
14 return on equity. Under the DIR if I invest in  
15 additional dollar in net plant, I have associated  
16 expenses that go with that that the DIR is intended  
17 to recover. And those are the ones we've just  
18 discussed with interest, depreciation, taxes and the  
19 like.

20               Also when I invest in this dollar of new  
21 distribution assets, I'm going to get a return on  
22 that. But I'm also going to have to increase the  
23 equity balance of AEP Ohio to fund that investment.  
24 So I would say I get an extra dollar -- or use a  
25 better example, an extra 10 cents on that dollar

1 investment that covers my return.

2 I also have increased my equity balance  
3 and the ROE would remain constant or nearly constant.  
4 You've got to change all the values in the numerator  
5 and all the appropriate values in the denominator and  
6 this calculation is very one-sided and is only looked  
7 at one item that increases the numerator value  
8 without looking at the items that would reduce its  
9 numerator and increase the denominator.

10 Q. Just clarifying I guess it's on both  
11 pages the 2012 -- where it shows for 2012 the  
12 capacity revenues of 194 million. That's also on  
13 your Exhibit 8, and how was that calculated?

14 A. Calculated by removing the capacity  
15 revenues recovered under the two-tiered capacity  
16 mechanism.

17 Q. So for 2012 and what years in here for  
18 the two-tiered capacity mechanism for 2012 is the RPM  
19 pricing for the first tier and 255 for the second  
20 tier?

21 A. Yes, that's correct. And it would have  
22 included a different set of shopping assumptions at  
23 that point in time.

24 Q. So with regard to -- with regard to the  
25 DIR, is it true that AEP does not -- or, AEP Ohio

1 does not include distribution investment in its  
2 projected earnings?

3 A. You're going to have to clarify which  
4 projected earnings are you referring to.

5 Q. Whenever AEP Ohio projects their earnings  
6 either in this case or for investors.

7 A. Yes, the company would include a  
8 projection of distribution expenditures and I think  
9 maybe the cause of the confusion is that the DIR  
10 allows the company to invest more in the distribution  
11 assets. So there's one level of spending included in  
12 this analysis if the DIR's approved that level of  
13 spending would be increased. And so there would be  
14 offsetting expenses associated with that.

15 Q. And your understanding is with regard to  
16 the DIR that it's essentially offsetting dollar for  
17 dollar so it doesn't have an impact on the ROE.

18 A. That's the design of the DIR is that for  
19 every dollar of incremental invested capital in the  
20 distribution system that the company would recover  
21 its costs and have a return on equity associated with  
22 that. And that return on equity, that final earnings  
23 value of it would be offset by an increase on the  
24 balance sheet. So it wouldn't impact the ROE, that  
25 was the design.

1 Q. Do you know AEP Ohio's service company  
2 employee Scott Weaver?

3 A. Yes, I do.

4 Q. He's managing director of resource  
5 planning and operational analysis?

6 A. He may be. I don't know his title. But  
7 that sounds consistent with what he does.

8 Q. He, I guess, works in the same building  
9 as you in Riverside Plaza?

10 A. Yes, he does.

11 Q. Are you aware of the testimony he filed  
12 recently in Kentucky regarding the economics of  
13 disposition options for the Big Sandy units?

14 A. No, I'm not.

15 Q. Well, let me see.

16 MR. LANG: Your Honors, I'd like to mark  
17 an exhibit as FES No. 124 and see if the witness  
18 recognizes it.

19 (EXHIBIT MARKED FOR IDENTIFICATION.)

20 EXAMINER SEE: The exhibit is so marked,  
21 Mr. Lang.

22 MR. LANG: Thank you, your Honor.

23 Q. (By Mr. Lang) Mr. Allen, the page that  
24 we've marked as Exhibit FES Exhibit No. 124 also says  
25 at the top of it Exhibit SCW-2, page 2 of 2. Do you

1 see that?

2 A. I see that. But I'm not familiar with  
3 this document.

4 Q. All right. And I also gave you the  
5 complete testimony that on the front of it says  
6 Direct Testimony of Scott C. Weaver, do you see that?

7 A. Yes. It appears to be testimony that  
8 Scott Weaver filed in 2011.

9 Q. And how can you determine it was filed in  
10 2011?

11 A. There's a verification page right before  
12 the appendix that says that it was filed on the  
13 28th day of November, 2011. So it's fairly dated  
14 with regard to market prices and the like.

15 Q. So there's a verification page affirmed  
16 by a notary and it shows that he signed it on  
17 November 28, 2011; is that right?

18 A. That's correct. And the case has a 2011  
19 caption as well. So that's additional confirmation  
20 it was filed in 2011.

21 Q. So that verification states that it's his  
22 testimony, the testimony information contained  
23 therein is true and correct to the best of his  
24 information, knowledge, and belief?

25 MR. NOURSE: Your Honor, I object.

1 There's already been an indication from this witness  
2 that he is not familiar with the testimony  
3 proceeding. Mr. Lang keeps asking questions and  
4 reading from this document Mr. Allen's not seen  
5 before. You know, this clearly relates to a  
6 forward-looking certificate for construction of an  
7 environmental facility in Kentucky. Which as the one  
8 page they pulled out indicates, there's a 20 plus  
9 year horizon for looking at information on a forward  
10 basis in that case. There's no relevance to this  
11 proceeding and looking at this three-year price that  
12 we're looking at in this case. I don't see any  
13 relevance, this witness has no knowledge about that  
14 testimony, and I don't think the questions should  
15 proceed with this exhibit.

16 EXAMINER SEE: Did you want to respond,  
17 Mr. Lang?

18 MR. LANG: Yes, your Honor. As  
19 Mr. Nourse suggests, this certainly is for  
20 impeachment. This is an example of AEP in Kentucky  
21 using exactly what they criticized staff for doing.  
22 And actually AEP using energy prices in Kentucky that  
23 are higher than the energy prices that they're  
24 criticizing staff for using.

25 So I believe that for purposes of

1 impeachment it is proper examination to use it in  
2 this case in response to Mr. Allen's rebuttal  
3 testimony, who again Mr. Allen is complaining that  
4 the numbers that staff is using are too high. This  
5 is an example of AEP entity going to another PJM  
6 state and providing PJM energy numbers that are  
7 actually higher than what staff calculated for the  
8 2011, 2012 , '13, '14, and '15 years.

9 MR. KURTZ: Your Honor, can I be heard on  
10 this?

11 EXAMINER SEE: Go ahead, Mr. Darr.

12 I'm sorry, Mr. Kurtz.

13 MR. KURTZ: This exhibit is attached to  
14 OED Witness Mr. Kollen's testimony in the ESP case  
15 for exactly the impeachment purposes Mr. Lang is  
16 representing that two weeks ago the AEP witness  
17 confirmed that these were still the AEP forecasts as  
18 of two weeks ago for on-peak and off-peak energy  
19 pricing in PJM even though it was submitted actually  
20 December 4, 2011, in Kentucky. These still represent  
21 AEP's current estimates of future market pricing PJM  
22 on-peak, off-peak. That was the testimony in  
23 Kentucky.

24 MR. NOURSE: Your Honor, I disagree.  
25 Number one, I don't think if Mr. Kurtz is going to be



1 allowed to testify here and it's not even his  
2 cross-examination. The fact is the issue in this  
3 case involves a decision for 2016 and following  
4 whether the investment that's on the table in this  
5 Kentucky proceeding really has nothing to do with  
6 energy prices in 2012 through 2015, and the modeling  
7 that's occurring in that case is for again a  
8 long-term horizon, not a short-term period. And the  
9 period that it applies to is -- does not overlap with  
10 the 2012 through 2015 period that's at issue in this  
11 case.

12 So the testimony that was referred to  
13 that's still being applicable addressed the period in  
14 question in that case which does not overlap the  
15 period in question in this case.

16 Furthermore, if it's being used for  
17 impeachment, it's Mr. Meehan that's testifying as to  
18 the forward energy prices in rebuttal of staff's  
19 testimony that should be relied upon or be used in  
20 lieu of staff's forward modeling, and again, if  
21 anyone, he's the witness that's defending that  
22 proposition for AEP Ohio in his rebuttal testimony.

23 MR. LANG: And, your Honor, these are AEP  
24 service companies Mr. Allen's employer, AEP Ohio  
25 Service Company, internal numbers that they're

1 pitching as the right numbers in Kentucky, and they  
2 include 2012, 2013, 2014, and 2015. So there is  
3 overlap here.

4 If the arguments that Mr. Nourse is  
5 making about whether they're relevant or not or  
6 whether they should be used in this case, I would  
7 suggest that goes to the weight of the numbers, does  
8 not go to the issue of whether they could be used for  
9 impeachment.

10 MR. JONES: Your Honor, could staff be  
11 heard as well?

12 EXAMINER SEE: Just a minute.

13 I'm sorry about that, go ahead,  
14 Mr. Jones.

15 MR. JONES: Yes, thank you, your Honor.  
16 Staff agrees with the statements made by Mr. Lang in  
17 his argument that this is proper impeachment  
18 material. Staff had the same exhibit that they were  
19 prepared to cross-examine Mr. Allen on as well. So  
20 we would ask that the Bench would consider this as  
21 appropriate impeachment material for this witness.

22 EXAMINER SEE: The objection is  
23 overruled.

24 MR. LANG: I believe I had a pending  
25 question. Can you help me out?

1 (Record read.)

2 A. That's correct. That's his affirmation  
3 based on his knowledge and belief as of November 28,  
4 2011.

5 Q. Now, the -- what is his Exhibit SCW-2,  
6 page 2 of 2, that's attached to his testimony, the  
7 heading on this is "Summary of Long-Term Commodity  
8 Price Forecast Scenarios." Do you see that?

9 A. I see that title, but I'd like a moment  
10 to look at his testimony to understand the context of  
11 that document.

12 Q. Okay. To assist you, on page 20 of his  
13 testimony he discusses Exhibit SCW-2.

14 A. I've taken a cursory review of the  
15 document. And some of the observations I would have  
16 regarding the document, first of all, it's describing  
17 long-term commodity price forecasts, not short-term  
18 forecasts.

19 Q. Could I ask you before we get to your  
20 observations, I just want to step through this. And  
21 I think the question I have for you is for this  
22 particular exhibit the title is "Summary of Long-Term  
23 Commodity Price Forecast Scenarios." Isn't that  
24 right, Mr. Allen?

25 A. That's correct.

1           Q.    Yeah.  And then underneath that it says  
2   the source is AEP fundamental analysis.  Is that  
3   correct?

4           A.    That's correct.

5           Q.    And then also on -- in Mr. Weaver's  
6   testimony as I referred you to page 20, it says this  
7   was created internally within AEP SC.  So by AEP  
8   fundamental analysis that means this is the AEP  
9   internal -- AEP internal estimates of these commodity  
10  price forecasts, correct?

11          A.    It goes on to discuss some of the  
12  verifications and the peer reviews that the company  
13  does of these analysis, one of those being comparison  
14  to U.S. Department of Energy Information  
15  Administration, EIA, data, the same data that I've  
16  discussed in my testimony.  And as I indicated  
17  previously, this is a dated analysis, it's  
18  approximately six or seven months old, and the  
19  natural gas prices have changed substantially since  
20  then.  Even as Staff Witness Medine acknowledged  
21  their forecast for natural gas prices has come down  
22  from the analysis they used in their testimony.

23          Q.    So are you -- you're not aware that AEP  
24  witnesses as recently as two weeks ago were affirming  
25  these analyses, these estimates, in the Kentucky

1 proceeding?

2 MR. NOURSE: I object to that statement  
3 by Mr. Lang and without foundation.

4 MR. LANG: I'm asking him if he's aware  
5 of that.

6 MR. NOURSE: No. You stated what AEP  
7 witnesses stated, which is not correct, number one,  
8 and you haven't established what it was, number two.

9 MR. LANG: Well, I think your number one  
10 is incorrect, but I want know if he's aware of that,  
11 your Honors.

12 EXAMINER SEE: The witness can answer the  
13 question.

14 A. I wasn't at the hearing. As I recall, I  
15 was here at the hearing. So I can't testify what  
16 they may or may not have stated in Kentucky. But  
17 what I do know is that it's a long-term forecast and  
18 that the focus of any forecast would have been on the  
19 years in which the Big Sandy Scrubber would have been  
20 operational which wouldn't have been 2012, 2013,  
21 2014.

22 Additionally, long-term commodity  
23 forecasts like this are developed based upon  
24 fundamentals for long-term analysis. Short-term  
25 analysis when there are forward prices available on

1 the market, those forward prices are more appropriate  
2 to use.

3 Q. For the energy prices shown on this  
4 exhibit, there are energy prices shown under  
5 different scenarios for 2012, 2013, 2014, and 2015;  
6 isn't that correct?

7 A. I'm sorry, can you repeat that question?

8 Q. For the energy prices shown on this  
9 exhibit for years 2012, 2013, 2014, and 2015, it  
10 shows both on-peak and off-peak energy prices. Do  
11 you see that?

12 A. It does based on a set of environmental  
13 assumptions, and my recollection is that since this  
14 analysis was done some of those environmental  
15 regulations have been delayed. So those near-term  
16 dollars are going to produce different answers.

17 Also this would have been based upon one  
18 set of economic forecasts as far as energy demand in  
19 2012, 2013. That information has changed since then.  
20 The forward market price curves that I present in my  
21 testimony reflected combined wisdom of all the market  
22 participants about what the near-term power prices  
23 are going to be. Long-term prices are not liquid and  
24 traded, so you have to do the analysis in a different  
25 way. If you're focused on the short term, it's more

1 appropriate to look at the forward price curves that  
2 reflect that combined wisdom

3 Q. So are you saying that the near-term  
4 energy prices that Mr. Weaver is using in Kentucky,  
5 that he swore to as being accurate and correct, are  
6 neither accurate nor correct?

7 MR. NOURSE: I object your Honor.

8 EXAMINER SEE: On what basis, Mr. Nourse?

9 MR. NOURSE: Mr. Lang's characterization  
10 of testimony in a different proceeding with a  
11 different purpose without any knowledge of the  
12 context and the testimony given in that proceeding.

13 MR. LANG: Your Honors, the witness has  
14 been spending time on his own differentiating between  
15 the energy prices shown here and what he thinks  
16 should be the energy prices. And instead of moving  
17 to strike his answer on the basis it wasn't  
18 responsive to my question, I simply followed up with  
19 what he said to confirm that I think his testimony is  
20 that he's saying the short-term internal fundamental  
21 analysis numbers that AEP is using here, his  
22 testimony is that those are neither accurate nor  
23 correct.

24 EXAMINER SEE: The witness can answer the  
25 question.

1 THE WITNESS: Can I have the question  
2 reread, please.

3 EXAMINER SEE: Sure.

4 (Record read.)

5 A. That's not my testimony. And to clarify  
6 the record, and as I indicated previously, I wasn't  
7 at the hearing, I don't know what Mr. Weaver  
8 testified to or did not testify to. What I did  
9 indicate is that this data is dated, it's based upon  
10 a set of assumptions that may not be accurate today.

11 When I look at an analysis like this I  
12 see that it's a 20-year forecast and you have a  
13 choice when you do a 20-year forecast like that you  
14 can either use two sets of data using forward market  
15 price curves for the near-term data and using  
16 fundamental analysis for the long-term period, or you  
17 can use a consistent methodology throughout. You can  
18 use a fundamental analysis through the entirety of  
19 the period because forward price curves don't exist  
20 for this 20-year period that we're talking about in  
21 Mr. Weaver's testimony.

22 So for consistency he may have chosen to  
23 use a single methodology, especially in recognition  
24 of the fact that in the early years the Big Sandy  
25 Scrubber wouldn't be operational so the distinction



1 between the forward-market price curves and the  
2 fundamental analysis may not be important to that  
3 analysis.

4 Q. (By Mr. Lang) So for purposes of his  
5 energy prices for 2012 through 2015, your testimony  
6 would be that using forward-price curves instead of  
7 fundamental analysis for those years that you believe  
8 the forward curves are more reasonable to use.

9 A. For the purposes of the analysis that's  
10 being performed in this case when we're looking at a  
11 relatively short period, three years, my testimony is  
12 that using forward-price curves is a more appropriate  
13 and correct methodology.

14 Q. Now, the internal AEP numbers for energy  
15 pricing over the next three years are approximately  
16 \$4 per megawatt hour higher than staff's energy  
17 prices in this case; isn't that correct?

18 A. I think you're characterizing the  
19 company's current forecast. This is a forecast, as I  
20 indicated previously, is approximately six months old  
21 which is in terms of energy markets and gas markets,  
22 especially volatile as they've been today, that's a  
23 fairly dated analysis.

24 So I can't testify that these are the  
25 company's current projections of market prices. I

1 know that the -- if this were the company's  
2 projections of market price, we'd be earning a lot  
3 more this year than we are. These are not the market  
4 prices that we're experiencing in 2012.

5 Q. So these were the -- so an issue you have  
6 with this exhibit these energy prices are outdated  
7 because they're from November of last year.

8 A. That's one issue I have with this,  
9 especially as we -- as you try to apply it to this  
10 case.

11 The other issue I had with it is its  
12 purpose is very different than what we're here for  
13 today. What we're here for today is looking at  
14 capacity prices three years out. What we're looking  
15 at in this case --

16 Q. Thank you, I didn't ask you for all the  
17 issues.

18 MR. NOURSE: Your Honor, I object.

19 MR. LANG: My question was simply if the  
20 one issue was they're outdated. And, your Honors,  
21 he's answered that question. And we don't need the  
22 next 20 minutes of the answer.

23 MR. NOURSE: Your Honor, I object to  
24 Mr. Lang interrupting his answer. It was a proper  
25 answer to the question. He was continuing with the

1 answer. Mr. Lang kept interrupting. It's  
2 inappropriate.

3 EXAMINER SEE: In this instance the  
4 witness did answer the question. Let's move on to  
5 the next.

6 Q. (By Mr. Lang) Mr. Allen, with regard to  
7 the data provided to Mr. Meehan in this case, did AEP  
8 SC provide any of its fundamental analysis data to  
9 Mr. Meehan?

10 A. The data provided to Mr. Meehan was  
11 provided by Company Witness Nelson so he would be the  
12 individual to discuss that with.

13 Q. Okay. So you don't know.

14 A. I wasn't involved in that portion of this  
15 case.

16 Q. So you don't know.

17 A. I indicated that I wasn't involved in  
18 that portion of the case, so I don't know.

19 MR. LANG: Thank you.

20 Thank you, your Honor, that's all I have.

21 EXAMINER SEE: Mr. Petricoff?

22 MR. PETRICOFF: Thank you, your Honor.

23 - - -

24 CROSS-EXAMINATION

25 By Mr. Petricoff:

1           Q.    I'd say good morning but it's good  
2   afternoon, Mr. Allen.

3           A.    Good afternoon.

4           Q.    Mr. Allen, in your original testimony you  
5   indicated that you were -- your job title was a  
6   Director of Regulatory Cases?

7           A.    Director of Regulatory Case Management, I  
8   think.

9           Q.    Case management, thank you, yes. So are  
10   you managing other cases besides -- I realize you  
11   could make a career of this case, but are you  
12   managing other AEP cases for electric distribution  
13   utilities?

14          A.    Unfortunately I think your distinction is  
15   correct, I've pretty much made a career out of this  
16   case at this point, but I am managing some of our  
17   other cases as well.

18          Q.    And did you -- we've spent some time here  
19   talking about the case that's going on in Kentucky  
20   now. Do you have responsibility for that proceeding?

21          A.    One of the individuals that reports to me  
22   is managing that case, but he's doing that case on  
23   his own. I've not been involved in that.

24          Q.    But you have responsibility to oversee  
25   that case as well.

1           A.     That's correct. Just as I have  
2     responsibility to oversee other cases like our  
3     Indiana base case that's ongoing, both of which I've  
4     not been able to monitor because of all the work I've  
5     done on this case.

6           Q.     Let's talk about that Indiana case. In  
7     2011, did you complete, you being AEP, or did one of  
8     your affiliates complete a rate case in Indiana?

9           A.     No.

10          Q.     How about Michigan?

11          A.     We may have. Our most recent one was  
12     completed in 2012. We may have also completed one in  
13     2011, or it was late 2010. I don't recall.

14          Q.     Virginia?

15          A.     We completed a case in 2011, yes.

16          Q.     And West Virginia?

17          A.     I think early 2011 is my recollection.

18          Q.     Do you recall, did the company ask -- the  
19     company, when I'm saying the company here, this would  
20     be the AEP individual electric utility affiliate. Do  
21     you recall what rate of return they asked for in  
22     those cases?

23          A.     Typically the ROEs that the company has  
24     requested in the other jurisdictions has been in the  
25     11 plus percent. Virginia may have been closer to

1 12 percent. The Indiana case also would have  
2 included an increment for fair value which is an ROE  
3 adder essentially.

4 Q. Do you recall what the state commissions  
5 in those proceedings awarded the AEP?

6 MR. NOURSE: Your Honor, I object,  
7 relevance.

8 MR. PETRICOFF: Your Honor, we have  
9 before us in this rebuttal a rate of return figure  
10 that has been calculated for a year or two. I think  
11 it's important for the Commission to be able to put  
12 this into perspective to see how this matches up with  
13 other AEP affiliates for their investment.

14 MR. NOURSE: Trust me, your Honor,  
15 there's nothing that compares to Ohio as far as the  
16 other AEP East operating jurisdictions and the  
17 regulatory regime that's in place in those states. I  
18 don't think it's relevant.

19 EXAMINER SEE: I'll allow it.

20 A. My recollection in Virginia the approval  
21 was 10.9 percent for a large portion of the assets  
22 and a higher return for new generation in the state.  
23 So the generation business unit would have had an ROE  
24 of probably north of 11 percent.

25 Michigan was approved at 10.2 percent,

1 but the company excludes off-system sales margins, a  
2 portion of those from that calculation. Virginia is  
3 similar, 25 percent of the off-system sales margins  
4 are excluded from that calculation as well. So the  
5 actual earned return based on the Commission order  
6 would be higher than that 10.9 percent.

7 Q. In the 10-K that AEP Corp. files, do you  
8 list what these returns are for all of the EDUs,  
9 electric distribution affiliates?

10 A. I don't know that we list the earned  
11 returns but calculate the earned returns.

12 Q. In the area where you had -- when you  
13 talk about some of them excluded the off-system  
14 sales, do you know whether those off-system sales  
15 revenues are shared directly with the customers?

16 A. In those states a portion of the  
17 off-system sales margins would be shared with  
18 customers. And the way the analysis I performed  
19 here, I've included all the off-system sales margins  
20 in the calculation, so from an ROE perspective, it's  
21 equivalent to a calculation performed as if the AEP  
22 Ohio were providing 100 percent of the off-system  
23 sales margins to our customers.

24 MR. PETRICOFF: Your Honor, I'd like to  
25 have marked as RESA, R-E-S-A, exhibit I think we're

1 up to 103, a document that is an excerpt from the  
2 American Electric Power 10-K.

3 (EXHIBIT MARKED FOR IDENTIFICATION.)

4 Q. Mr. Allen, you're familiar with the AEP  
5 Corp. 10-K document?

6 A. Generally, yes. I don't read it cover to  
7 cover.

8 Q. And, in fact, when you were calculating  
9 the rate of return figures that appear on your  
10 Exhibit 8 of your rebuttal testimony, you used the  
11 equity figure as the denominator for the calculation  
12 of the rate of return from the 10-K?

13 A. No, I did not.

14 Q. What was the basis for the equity figure  
15 that you used in the rate of return calculation in  
16 your Exhibit 8?

17 A. It would have been the -- to the best of  
18 my recollection it's the projected 2012 equity  
19 balance. What you may be confused with is the  
20 calculation I presented in the ESP II case in the RSR  
21 calculation for 2011 we used an equity balance from  
22 the 10-K in that calculation. But they would be  
23 relatively close. They would be nearly the same.

24 Q. And a great deal of attention goes to the  
25 filing the 10-K to make sure that it is accurate?



1           A.    Yes.

2           Q.    Now, if you would turn to what we've had  
3 marked as Exhibit 103, and this is page 21 from the  
4 last, the most recent 10-K, the one that was filed in  
5 February. And as you can see, there are rates of  
6 return listed for all of the EDU affiliates.

7                   Are these rate of return figures to the  
8 best of your knowledge accurate?

9           A.    These are the authorized returns, is that  
10 your question?

11          Q.    That's my question.

12          A.    They look correct.

13          Q.    And you'll agree with me that, now  
14 turning to your exhibit -- Rebuttal Exhibit 8 --  
15 actually let me withdraw that question.

16                   Please turn to Exhibit 8.

17          A.    I'm there.

18          Q.    First, let me do a little bit of  
19 background before we get to the ROE number, so I make  
20 sure that we have a complete record here.

21                   If you will, under the projected earnings  
22 two-tiered capacity pricing, you see that line, that  
23 row going across?

24          A.    Yes.

25          Q.    And the 471 million figure, that is your

1 calculation of what the two-tiered capacity cost  
2 would bring in along with all the other projected  
3 income for 2012?

4 A. No, that was the projected earnings after  
5 assuming that the stipulation was rejected and only  
6 maintaining the two-tiered capacity pricing structure  
7 in that calculation.

8 Q. I want to -- let's start with something  
9 more basic. This is an overall net return figure,  
10 correct, the 471 million?

11 A. It's an after tax return number, yes.

12 Q. And this is a projection that you have  
13 made.

14 A. Yes.

15 Q. So this is not a number out of the 10-K  
16 or a number that was done for other regulatory  
17 purposes.

18 A. That's correct.

19 Q. And in coming up with the 471 million  
20 projection for 2012, you're assuming that we have the  
21 two-tiered pricing that is in place in accordance  
22 with the Commission's March 7th entry?

23 A. No. In accordance with the detailed  
24 implementation plan filed by the company on December  
25 28th of 2011.

1           Q.    So this is the December, I guess it was  
2   December 14th -- take it back. This was the DIP,  
3   the detailed implementation plan, that was filed in  
4   January?

5           A.    It was filed December 28th. It was the  
6   company's interpretation of the December 14th  
7   order.

8           Q.    Okay. So this figure still has in it --  
9   well, under this figure, this 471 million, do you  
10   recall what the percentage of the commercial class  
11   was shopping?

12          A.    I don't recall.

13          Q.    But it's less than what's authorized in  
14   the March 7th entry.

15          A.    It would have had shopping levels greater  
16   than the first tier of capacity.

17          Q.    I think we're on the same -- I think  
18   we're on the same plane here. And the rate of return  
19   that you show here, the 10.4, in that case the  
20   471 million is the numerator and what was the  
21   denominator?

22          A.    To the best of my recollection without  
23   having the spreadsheet in front of me is 4.5 billion.

24          Q.    And there were no workpapers that were  
25   filed with this exhibit; is that correct?

1           A.     The exhibit was filed as part of my  
2     direct testimony, and I think there were workpapers  
3     included there. And I've answered quite a few  
4     discovery responses with regard to that.

5           The only thing that's been included as  
6     part of the rebuttal exhibit are just the couple  
7     lines at the bottom, the one that says remove RPM  
8     capacity revenue and add capacity revenue at 356,  
9     those are the two new lines, they're just totaled,  
10    tax affected, and divided by the same equity balance  
11    that had been previously used.

12          Q.     But there were no workpapers that were  
13    filed with that testimony.

14          A.     With the rebuttal testimony?

15          Q.     With the rebuttal testimony, that's  
16    correct.

17          A.     That's my understanding.

18          Q.     And, in fact, you might recall our former  
19    cross-examination on this subject there were no  
20    workpapers that detailed how the rate of return was  
21    calculated for this first row as well in the original  
22    Exhibit 8.

23          A.     I don't recall. It's been a while.

24          Q.     Okay. One last question. To the best --  
25    well, actually two last questions.

1           On this exhibit that we're looking at,  
2   WAA-R8. In that return on the 471 million, that does  
3   not include any DIR revenues?

4           A. That's correct. And it doesn't include  
5   any of the other expenses associated with the  
6   stipulation.

7           Q. Let's move over and look under 2013, that  
8   331 million figure that was there, that is based on a  
9   level of shopping that was 65 percent residential,  
10   80 percent commercial, 90 percent industrial as per  
11   your original testimony?

12          A. I'm sorry, you're talking about the  
13   \$331 million line?

14          Q. Right. That's under the -- in the row  
15   that's still labeled "Projected Earnings."

16          A. No. That was at a lower assumed level of  
17   shopping. That's why there's another line where you  
18   see the \$341 million reduction in revenues, that  
19   line's titled "Additional Switching, Net of  
20   Off-System Sales Margins and Capacity Revenues." So  
21   that's the impact of increasing the shopping levels  
22   up to 65 percent residential, 80 percent for  
23   commercial, and 90 percent for industrial.

24          Q. Let's go back because I think I want to  
25   make sure we have this correct. So the 331 million

1 represents the revenue if, in fact, \$255 per megawatt  
2 day was the tier-two rate and RPM was the tier-one  
3 rate in 2013.

4 A. That's correct. Based upon a set of  
5 shopping assumptions, yes.

6 Q. And then when we come down in the column  
7 that shows a negative of 341 million, that is the  
8 difference in revenue that would occur if everyone,  
9 both tier-one and tier-two customers, received RPM  
10 pricing in 2013.

11 A. That's partially what it represents. It  
12 also represents the additional loss of revenue due to  
13 increased levels of shopping that would occur at RPM  
14 and it's also consistent with the shopping behavior  
15 we're currently seeing today.

16 Q. And you'll agree with me that basically  
17 that the -- your estimated affects of going to RPM  
18 pricing is to basically go negative on the projected  
19 earnings under the two tiers. We'd have a negative  
20 number if you subtracted 341 from 331.

21 A. Well, that's partially but you have to  
22 recognize the capacity revenue that would be  
23 recovered from CRES providers.

24 Q. But we're talking about your overall  
25 income.

1           A.    I'm sorry, I misstated that. The 341  
2           represents the revenues from CRES providers as well.  
3           You have to recognize the reduced income taxes that  
4           the company would have to pay as a result of that  
5           significant reduction in earnings.

6           Q.    So your projection is that basically  
7           there would be negative revenue -- negative revenue  
8           as a result of the changes in the capacity pricing.  
9           We would now actually lose money at this capacity  
10          rate.

11          A.    AEP Ohio would not lose money at this  
12          capacity rate because I show that AEP Ohio would earn  
13          a 2.4 percent return. The generation function of AEP  
14          Ohio would lose money at this capacity rate though.  
15          And when I say this capacity rate, I mean all  
16          capacity priced at RPM.

17          Q.    So that's under your construct, that is  
18          the impact. And the 400 -- now moving down, the  
19          444 million that now assumes that all shopping  
20          customers have. The 355 or 356 dollar per megawatt  
21          day capacity charge?

22          A.    Right. It assumes that the company would  
23          charge it's full cost base capacity rate to CRES  
24          providers, yes.

25          Q.    What assumption of shopping did you have

1 for that figure?

2 A. That continues to include the shopping  
3 assumption at 65 percent for residential, 80 percent  
4 for commercial, 90 percent for industrial. And as  
5 I've indicated in some of the other testimony I  
6 presented in this case, the capacity revenues and the  
7 base generation revenues are essentially equivalent.  
8 So the impact of changing the shopping levels if the  
9 company receives its actual cost base capacity rate  
10 is greatly diminished.

11 Q. In terms of customers shopping is the  
12 factor known as price elasticity applicable in the  
13 real world?

14 Let me repeat that. First of all, you're  
15 familiar with the concept of price elasticity?

16 A. Yes, I am.

17 Q. And does -- price elasticity applies to  
18 electric wholesale -- I'm sorry, electric retail  
19 marketing?

20 A. I would suspect it does to a degree. But  
21 that assumes rational behavior of customers and I  
22 think we all recognize that individual customers,  
23 especially residential customers including myself,  
24 don't always act rationally and so individual  
25 customers don't do a price elasticity to determine if



1 they're going to shop. They look and see if there's  
2 a price lower than the price they're currently  
3 paying. And if it's worth their time and effort,  
4 they'll do it.

5 And as we've seen, some suppliers have  
6 said takes two minutes to switch, so obviously the  
7 cost is very low from a customer perspective to  
8 switch. So it wouldn't require a significant savings  
9 for the customer to undertake that limited effort to  
10 switch.

11 Q. Some of your customers are rational, your  
12 retail customers? You being AEP Ohio.

13 A. I would suspect especially the larger  
14 customers are going to do more detailed analysis, but  
15 I don't know that for those customers it's really a  
16 price elasticity question. It's an -- almost a  
17 binary decision, either they switch or they don't  
18 switch.

19 Q. But isn't the price elasticity concept  
20 basically the sum of all the binary transactions?

21 A. No. Going back to my MBA days, price  
22 elasticity really is more a function of how much a  
23 customer is going to consume of a product at a  
24 different price level. In this case the customer  
25 isn't deciding how much shopping to consider, the

1 customer is deciding do they consume shopping or do  
2 they not. It's a binary decision. So it's different  
3 than what you think of in traditional price  
4 elasticity. It's not how much am I going to use.  
5 It's which of these two decisions am I going to make.

6 Q. But you'd agree with me that as the price  
7 goes up, the volume of sales should go down.

8 A. For that portion of customers' usage that  
9 is discretionary, that can happen. It doesn't always  
10 happen though.

11 Q. And wouldn't you expect then that if the  
12 price went from \$20 to \$355, that there would be less  
13 shopping?

14 A. Not necessarily. It depends upon whether  
15 or not CRES providers can provide a competitive offer  
16 that's below the company's SSO rates. If they can, I  
17 think that same customer is going to choose to shop  
18 if the discount is 5 percent or if the discount's  
19 20 percent or in the case where the discount's just  
20 5 percent and the CRES pockets a large profit. In  
21 either of those cases, the customer's still going to  
22 shop, they're still going to make that decision if  
23 they want to move into that competitive marketplace.

24 Q. Is it your testimony that if the price  
25 moves from \$20 to \$355, it would have no affect on

1 shopping?

2 A. I don't know what impact it would have on  
3 shopping. It depends on what types of offers CRES  
4 providers could make. What we saw is that CRES  
5 providers made offers to customers at capacity prices  
6 of \$255 a megawatt day when energy prices were \$10 a  
7 megawatt hour higher than they are today.

8 Q. Isn't --

9 A. As the capacity price goes up, and we see  
10 an offsetting reduction in the energy prices that  
11 CRES providers see in the market, one would expect  
12 that those CRES providers can still make similar  
13 offers to the ones that they were making throughout  
14 the latter half of 2011.

15 Q. But for your testimony made to this  
16 Commission as per this exhibit, you have assumed that  
17 there would be no difference in shopping if the price  
18 went from RPM to \$355.

19 A. That's correct. And as I've indicated --

20 MR. PETRICOFF: Thank you. That answers  
21 the question.

22 I have no further questions, your Honor.

23 EXAMINER SEE: Mr. Jones?

24 MR. JONES: Thank you, your Honor.

25 - - -

## CROSS-EXAMINATION

By Mr. Jones:

Q. Good afternoon, Mr. Allen.

A. Good afternoon.

Q. Are you involved in coal procurement?

A. No, I'm not. But I've testified in various cases for the company on projected fuel prices for different affiliates of AEP.

Q. Do you consider yourself to be a fuel expert?

A. I would consider myself an expert on the fuel costs that AEP experiences and their impact on the different fuel cost recovery mechanisms that we have in various states and how those changes in fuel prices can impact margins that the company sees.

Q. And are you knowledgeable about the coal industry?

A. I'm knowledgeable about the prices that AEP pays for coal, the costs that AEP incurs to procure that coal. As part of my job, I do not typically monitor the coal markets, but from time to time as the company has different issues and we've seen issues with certain coal suppliers, I've been involved in some questions about regulatory recovery in those matters.

1           Q.    Can you explain your understanding of the  
2 difference between a forward-price curve and a  
3 forecast?

4           A.    Yes.

5           Q.    What is that difference?

6           A.    There's -- and I assume when you say  
7 forecast, you mean fundamentals forecast?

8           Q.    Yes.

9           A.    A forward-price curve is probably the  
10 simpler of the two to discuss. A forward-price curve  
11 is the price that willing buyers and sellers would  
12 transact at in the market. And as I mentioned  
13 earlier, that's essentially the combined wisdom of  
14 all the market participants.

15                   As some customers view the market prices  
16 going up, they'll be more willing to buy forward  
17 energy. If they see that the forward-energy price is  
18 less than what their projections are, that will have  
19 the effect of increasing the demand for the forward  
20 energy, and it will increase the price until we reach  
21 an equilibrium point. That equilibrium point is the  
22 price curve.

23                   A fundamentals analysis steps back from  
24 what is happening in the market and looks at  
25 fundamental-cost demand, production, drivers to

1 prices for that commodity. So in the case of a  
2 forward-price curve for -- I'm sorry, a fundamentals  
3 analysis of future electricity prices, you would  
4 start with looking at your expectations of future  
5 natural gas demand and supply in this country, you  
6 would look at your projections of environmental  
7 regulations and the constraints those would put on  
8 coal plants and gas plants, you would look at the  
9 expected demand growth for electricity within the  
10 country and within the specific subregions that  
11 you're concerned about.

12           You would look at projections of coal  
13 prices. You'd look at projections of unit  
14 retirements. And from all of that analysis you would  
15 in an iterative fashion because all of these items  
16 have impacts on each other, so as an example, if  
17 the -- your projected price of electricity is higher  
18 than what your initial run said due to the price  
19 elasticity we were just talking about with  
20 Mr. Petricoff, the expected demand for electricity  
21 would go down. And that would have an iterative  
22 impact to the forward price that you would expect  
23 using a fundamentals analysis.

24           Fundamental analyses are based on  
25 specific assumptions that that organization that's

1 doing the fundamental analysis has put in place for  
2 each one of these items. They are more effective at  
3 forecasting long-term prices than they are short-term  
4 prices in many cases. Because the fundamentals may  
5 not move in the long-term as quickly as they move in  
6 the short-term. Short-term energy prices are very  
7 susceptible to changes in all the input parameters.

8 Things can change it such as a cool  
9 winter will impact 2012 energy prices much more than  
10 it would impact 2015, 2016 energy prices because of  
11 storage issues that occur such that producers that  
12 are running their gas wells have to sell that,  
13 there's no place to store it for the future. So that  
14 can have an impact of driving down the near-term  
15 prices.

16 A fundamental analysis isn't going to  
17 focus on those near-term type scenarios. It's going  
18 to look at longer-term issues. So they are going to  
19 be different but one of the things when you do a  
20 long-term analysis that's important when you do these  
21 types of fundamental analysis is to test to see how  
22 well your results conform to the near-term  
23 projections, and to the extent that your fundamentals  
24 analysis doesn't conform to near-term projections you  
25 need to understand what's causing those and make sure

2411

1 that those causes are due to explainable items like  
2 the example I gave before that maybe gas storage is  
3 full. So the gas prices are being driven down in the  
4 near term.

5 You have to understand why you're seeing  
6 differences from the forward-price curves but the  
7 forward-price curves for near-term data are more  
8 reliable and that's what parties are willing to  
9 transaction in the market.

10 Q. See if I can't get you to agree with me  
11 on a short answer here.

12 A. You asked for a pretty complicated  
13 discussion there so I tried to do my best.

14 Q. You would agree that a forward-price  
15 curve is based upon what willing parties will buy and  
16 sell as of the date of the forward. Do you agree  
17 with that?

18 A. Yes.

19 Q. And would you further agree that a price  
20 forecast is based upon market fundamentals for  
21 transactions as the day they occur?

22 A. You're going to have to repeat that  
23 question.

24 Q. That a price forecast is based upon  
25 market fundamentals for transactions at the day they



1 occur.

2 MR. NOURSE: I object. Just to clarify  
3 are you saying the date the forecast occurs or the  
4 transactions occurs? I was confused by that.

5 MR. JONES: The date the forecast occurs.

6 A. Repeat your full question then.

7 MR. JONES: Can I have that reread  
8 please?

9 (Record read.)

10 A. No, I don't think fundamental analyses  
11 are transactional in nature. They're not  
12 transactional based. The forward-price curves are  
13 transaction based. Fundamental analyses are based  
14 upon usually one single market participant or one  
15 single consultant's view of what those future market  
16 driving events are. And thus they're projected  
17 prices into the future.

18 It doesn't mean that's a price that two  
19 parties would transact at.

20 Q. Do you know if the natural gas prices in  
21 staff's analysis for energy credit is based upon a  
22 forecast or a forward-price curve?

23 A. My understanding from Witness Medine's  
24 testimony was that those natural gas prices were  
25 based upon EVA's future price curves -- future

1 forecast of natural gas prices which she acknowledged  
2 were overstated and have come down since that point  
3 in time.

4 MR. DARR: Objection, misstated the  
5 testimony. He just misstated the testimony.

6 MR. NOURSE: Your Honor, I don't know how  
7 another attorney can interrupt cross and object to an  
8 answer --

9 MR. JONES: I object and ask to strike  
10 the last part of his answer to that question.

11 MR. NOURSE: I believe Mr. Allen  
12 responded to a question about what Ms. Medine did,  
13 and he gave his understanding. Certainly follow-up  
14 questions can be clarifying.

15 MR. JONES: Your Honor, the testimony is  
16 clear for the record, and I would like to rely on her  
17 testimony as stated and not the testimony -- Mr.  
18 Allen characterizing Ms. Medine's testimony.

19 EXAMINER SEE: Mr. Allen already gave his  
20 answer to the question. Proceed, Mr. Jones.

21 Q. (By Mr. Jones) So, Mr. Allen, you think  
22 it was -- you think it's more appropriate to use a  
23 forward-price curve analysis; is that your testimony?

24 A. Yes. As I described throughout the  
25 cross-examination today. In the short-run when

1 forward-market prices exist, forward-market prices  
2 are much more appropriate to use than long-term  
3 fundamentals analysis.

4 Q. And do you know, Mr. Allen, if the power  
5 prices in staff's analysis are based upon a  
6 forward-model results or a forward-price curve?

7 A. Based upon my recollection of  
8 Ms. Medine's testimony, the market prices were Aurora  
9 results and not forward-market prices that came from  
10 any published indices.

11 Q. And you disagree with the approach, the  
12 methodology, Staff was using, you have your own  
13 methodology of how you would approach that; is that  
14 correct?

15 A. Yes, as I've indicated, I think using  
16 forward prices when they exist are more appropriate  
17 to use as opposed to using fundamentals analysis.  
18 When you have certainty of data like fuel costs of a  
19 coal unit where there's contracts out there and  
20 things using actual data for those units would be  
21 more appropriate.

22 Q. I'll move on here to ask you about the  
23 Cross States Air Pollution Rule. Do you know what  
24 that is?

25 A. Generally.

1           Q.    It's referred to as CSAPR? C-S-A-P-R but  
2 it's pronounced Casper.

3           A.    Okay.

4           Q.    You've never heard of that before?

5           A.    Not sure if everybody calls it CSAPR, but  
6 it's the Cross State Air Pollution Rule.

7           Q.    And what's your understanding of the  
8 rule?

9           A.    It's an environmental regulation. Not  
10 very familiar with it.

11          Q.    So did you make it -- did you or AEP make  
12 any assumption for the Cross States Air Pollution  
13 Rule for your analysis of the energy credit?

14          A.    I want to be clear I'm talking about any  
15 analysis. The analysis that Witnesses Nelson and  
16 Meehan, they can speak for what they did. Since my  
17 analysis was based upon forward price curves, it  
18 reflects industry's wisdom about what's going to  
19 happen with that regulation.

20          Q.    So it's not included, right? It's not  
21 included in your analysis?

22          A.    I didn't say that it wasn't included.  
23 What I said is I didn't need to make any assumption  
24 regarding that because by using forward-price curves  
25 I'm using the assumption around the Cross State Air

1 Pollution Rule that the market as a whole is  
2 assuming.

3 Q. Mr. Allen, are you aware what AEP Ohio's  
4 plan is for in group 1 with respect to that rule?

5 A. As I indicated, I'm not familiar with the  
6 specifics of that rule.

7 Q. Fair enough. Mr. Allen, do you have an  
8 estimate as to what the emission allowance prices are  
9 for SO<sub>2</sub> in annual NO<sub>x</sub> and seasonal NO<sub>x</sub>?

10 A. No. From my analysis I maintain the  
11 assumptions that were included in the analysis  
12 performed by Staff Witness Medine.

13 MR. NOURSE: Your Honor, could I have  
14 that question and answer reread.

15 (Record read.)

16 MR. NOURSE: Thank you.

17 Q. Mr. Allen, do the forward-price curves  
18 for either natural gas forward power reflect the  
19 January 1, 2013, start?

20 A. As I indicated previously, those  
21 forward-price curves reflect the combined wisdom of  
22 the market as to what that environmental regulation  
23 what the outcome of that environmental regulation is  
24 going to be as well as other environmental  
25 regulations that may occur.

1 MR. JONES: Your Honor, I'd like to have  
2 an exhibit marked as Staff Exhibit 106, and may I  
3 approach to hand it to the witness, your Honor?

4 EXAMINER SEE: Yes.

5 (EXHIBIT MARKED FOR IDENTIFICATION.)

6 EXAMINER SEE: Mr. Jones.

7 MR. JONES: Sorry.

8 Q. Mr. Allen, what I've handed you there,  
9 that's Staff Exhibit 106, does it not show -- does it  
10 show the Forward Power Prices - On Peak that are  
11 provided from SNL and compare the forward power  
12 numbers between December 29, 2011, and one week later  
13 January 5, 2012; is that what that shows?

14 A. That's what this exhibit is labeled as.  
15 I don't know if the values are accurate.

16 Q. And it's comparing the AEP Dayton Hub  
17 between those two dates between that time period of a  
18 week of December 29th through January 5th, 2012?  
19 Is that what's depicted there?

20 A. That's what it depicts, yes.

21 Q. And does it show, Mr. Allen, that for  
22 this exhibit that there's volatility there shown for  
23 forward power prices between December 29, 2011, and  
24 January 5, 2012, as to a change occurring between  
25 those two dates with the AEP Dayton Hub?

1           A.     What it shows is that the price changed.  
2     What it doesn't indicate is whether or not there were  
3     any changes in rules or regulations that may have  
4     been promulgated at that point in time. My  
5     recollection is that late in 2011 or early in 2012  
6     there were some changes in the environmental  
7     regulations. There have been some delays so those  
8     type of events could have a -- can impact in a  
9     stepwise function the forward energy prices. So you  
10    have to understand the cause of it before you can  
11    make any conclusions regarding it.

12           Q.     Let me ask you what change is reflected  
13    there for January 12 between AEP Dayton Hub?

14           A.     It shows a 9 percent change.

15           Q.     And then also for July, '12?

16           A.     It shows a 7 percent change.

17           Q.     And January, '13?

18           A.     It shows a 6 percent decline.

19           Q.     And are these changes, are they  
20    significant?

21           A.     They're changes. Whether they're  
22    significant or not, they would impact the energy  
23    credit and margins that the company would project in  
24    a material way. It's not that the company would have  
25    projected but Ms. Medine may have projected.

1 Q. But my question is are they significant?

2 A. I don't have a definition of what a  
3 significant change is. They're changes of 3 to  
4 7 percent. So you can make your own determination  
5 whether it's significant or not, but I agree  
6 mathematically it looks like these are the changes.

7 Q. Mr. Allen, how often do the forward-price  
8 curves change for power and natural gas?

9 A. They change daily, if not hourly.

10 Q. And the forward-price curves as  
11 Ms. Medine testified are annual numbers for 2013 and  
12 '14; is that correct?

13 A. No. Ms. Medine presented monthly  
14 numbers.

15 Q. Do power prices vary by month?

16 A. Yes.

17 Q. And you've testified that Ms. Medine, she  
18 had done hourly prices for the analysis; is that  
19 correct?

20 A. Her analysis has hourly margins. I don't  
21 know if she had hourly market prices. I assume she  
22 would -- you would typically do an on-peak and  
23 off-peak periods and use two prices per day.

24 Q. And all things being equal, which is more  
25 accurate, annual or hourly prices?



1           A.     Either one of them's only as accurate as  
2     the input assumptions that you start with.

3           Q.     Mr. Lang had asked you some questions  
4     about the Kentucky application with Big Sandy. Do  
5     you recall those questions?

6           A.     I do.

7           Q.     And were you involved in the preparation  
8     of the company's avocation to the Kentucky Public  
9     Service Commission?

10          A.     No, I was not.

11          Q.     Are you aware that the company utilized  
12     the Aurora model for value the plant should be  
13     retrofit with a scrubber?

14          A.     In my cursory review of the testimony I  
15     saw a mention of that, but I also saw a mention of  
16     Strategist as well which is another model the company  
17     uses.

18                 MR. JONES: Your Honor, I have another  
19     exhibit I'd like to have marked. It would be Staff  
20     Exhibit No. 107.

21                 EXAMINER SEE: The exhibit is so marked.

22                 (EXHIBIT MARKED FOR IDENTIFICATION.)

23                 MR. JONES: Thank you.

24          Q.     Mr. Allen, would you just identify what I  
25     handed you marked as Staff Exhibit 107 for the

1 record?

2 A. It appears to be an excerpt of a document  
3 that is addressed to, I'll do my best with this name,  
4 Mr. Derouen, D-E-R-O-U-E-N, dated December 5, 2011.

5 Q. And the attachments to that cover letter?

6 A. The first page is titled "Application of  
7 Kentucky Power Company for Approval of its 2011  
8 Environmental Compliance Plan, for Approval of its  
9 Amended Environmental Cost Recovery Surcharge Tariff,  
10 and for the Grant of a Certificate of Public  
11 Convenience and Necessity for the Construction and  
12 Acquisition of Related Facilities," with a case  
13 caption of 2011-00401.

14 Q. And, Mr. Allen, is this the filing that's  
15 in the docket for the Kentucky Commission in regards  
16 to the scrubber for the Big Sandy?

17 A. It has a stamp it was received by the  
18 Public Service Commission of Kentucky, I assume. So  
19 I have no reason not to believe that to be the. But  
20 it is an excerpt; it's not the complete document.

21 Q. And would you please turn to page 10 of  
22 that document, that application. It's 10 of 14.

23 A. Page 10 of the exhibit which is an  
24 appendix total application?

25 Q. That's correct.

1           A.    Is that what you're referring to?

2           Q.    That's correct.

3           A.    Okay.

4           Q.    And under III A, would you first identify  
5 what III A is on that page, please?

6           A.    III A is entitled "The Aurora Model."

7           Q.    And for the record would you read that  
8 first paragraph that's underneath that caption?

9           A.    I'd love to actually. "The proprietary  
10 Aurora XMP model was developed by EPIS, Inc. in the  
11 mid 1990's and has been licensed for use by AEP since  
12 2002. Aurora XMP is primarily a production costing  
13 model using a fundamentals-based, multi-area,  
14 transmission-constrained dispatch logic in order to  
15 simulate real market conditions. At AEP it is used  
16 by the AEP Fundamental Analysis group primarily as a  
17 long-term optimization tool to forecast mid- and  
18 long-term power prices and other industry commodity  
19 pricing for all regions within the Eastern  
20 Interconnect." So that paragraph is consistent with  
21 the discussion we've previously had that market  
22 forward prices are more appropriate in the short-run  
23 and models like Aurora are more appropriate for the  
24 long run.

25          Q.    So the Aurora model that's been used by

1 your company in Kentucky, has the Aurora model been  
2 used in Ohio by AEP Ohio?

3 A. I don't know if it has or not.

4 Q. Who would know that?

5 A. Probably one of the individuals in our  
6 company that's responsible for running that model.

7 Q. Would Mr. Nelson know that?

8 A. I don't know if he would know that or  
9 not. He does not run the Aurora model, I know that.

10 Q. Do you know why, Mr. Allen, AEP Ohio did  
11 not provide an Aurora output for this case?

12 A. I think, as I've indicated, I don't think  
13 an Aurora model is appropriate. And as we indicated  
14 in this discussion here, Aurora is appropriate for  
15 mid- and long-term forecasting. It's not appropriate  
16 for short-term forecasting and the company believes  
17 it's more appropriate to use forward market prices  
18 for electricity and natural gas for these types of  
19 analysis, specially when we're looking at an analysis  
20 period of only 36 months.

21 Q. And, Mr. Allen, do you know whether AEP  
22 uses the nodal or zonal version of Aurora?

23 A. From my discussions with our Aurora group  
24 is that they do -- they do run nodal versions. They  
25 may also do zonal, but they do run nodal analyses.

1 Q. And they do run zonal analysis as well?

2 A. That's my recollection. They may run  
3 zonal models. It's really a time issue. You get  
4 more precise results with a nodal model than you do  
5 zonal.

6 Q. Do you know what heat rates the company  
7 used in its Aurora modeling runs?

8 A. I have not reviewed that data.

9 Q. Mr. Allen, I want to take you back to FES  
10 Exhibit 124. Do you still have that up there?

11 A. You'll have to remind me what that  
12 document is.

13 Q. That's the Summary of the Long-Term  
14 Commodity Forecast Price Scenarios that was AEP  
15 fundamental analysis?

16 A. I have that document.

17 Q. Okay. And under the natural gas Henry  
18 Hub part of that chart, I want you to please look at  
19 the base complete transition that's listed there for  
20 2013. Do you see that in the first column?

21 A. I see that.

22 Q. And what is that number?

23 A. It's 448.

24 Q. For 2013?

25 A. 494.

1           Q.    And what's the range that's provided for  
2   2013 for that 494? For the higher and lower.

3           A.    It lists a low 435 and a high of 543. I  
4   think as I've indicated, and as included in the same  
5   testimony we're referring to, the company does not  
6   rely upon Aurora for short-term analysis. So those  
7   first years would not be values that the company  
8   would be relying upon.

9           MR. JONES: Your Honor, could I move to  
10   strike the remainder of his answer that wasn't  
11   responsive to my question? He answered my question  
12   and went on to give more commentary.

13          MR. NOURSE: Your Honor, I think  
14   Mr. Allen is just giving a full answer for the -- for  
15   an accurate record.

16          MR. JONES: Not responsive, your Honor.

17          EXAMINER SEE: Motion to strike the  
18   remainder of his answer is denied.

19          Q.    Mr. Allen, for 2014 what number is  
20   provided there for the base?

21          A.    5.38.

22          Q.    And again, to the right of that what's  
23   the high and low band provided for that year?

24          A.    6.02 and 4.73.

25          Q.    And how do these numbers compare to

1 staff's assumptions?

2 A. You're speaking of Ms. Medine's  
3 assumptions?

4 Q. Yes. Sorry.

5 A. They appear to be in 2012 through 2014,  
6 the base appears to be slightly higher than the  
7 assumptions Ms. Medine used. 2015 appears consistent  
8 with Ms. Medine's analysis. But they would all be  
9 higher than the value that Ms. Medine indicated when  
10 she was on the stand that her current view is lower  
11 than the view she had presented in her testimony.

12 Q. Would you agree, Mr. Allen, that the  
13 forward-price curves for natural gas prices have been  
14 volatile?

15 A. I would agree that forward natural gas  
16 prices do change. I haven't done an analysis of the  
17 volatility of those markets but obviously they've  
18 declined substantially since the end of 2011.

19 Q. Okay. Mr. Allen, did AEP revise its  
20 analysis in Kentucky based upon the just released EIA  
21 revised natural gas price forecast?

22 A. I don't know.

23 Q. Would you -- subject to check, would you  
24 agree that they had not?

25 A. I don't know. And as you've probably

1     seen in testimony, I don't like to use subject to  
2     check.  If you want me to check it, I'll check it but  
3     I don't know.

4             Q.     Do you know when the hearing in Kentucky  
5     case was held?  Do you know when the hearing was held  
6     there in Kentucky on that case?

7             A.     It's been in the last two or three weeks.

8             Q.     Do you know -- do you know, Mr. Allen,  
9     whether EIA assumes the CSAPR starts in 2013?

10            A.     I do not.

11            Q.     Mr. Allen, the short-term outlook as by  
12     AEP, that contains a section on coal, does it not?

13            A.     I'm sorry, you're going to reference me  
14     to.

15            Q.     The short-term outlook, did AEP present  
16     evidence on the short-term outlook for coal?

17                   MR. NOURSE:  Sorry, your Honor, are we  
18     still talking about Kentucky?

19                   MR. JONES:  No, for this proceeding.  I  
20     withdraw that question.

21                   Your Honor, I have another exhibit I'd  
22     like to have marked for the record, please.  It's  
23     Staff Exhibit 108.

24                   EXAMINER SEE:  The exhibit is so marked.

25                   (EXHIBIT MARKED FOR IDENTIFICATION.)



1           Q.    Mr. Allen, would you identify Staff  
2 Exhibit 108 that I handed you for the record, please?

3           A.    It appears to be a document from the EIA  
4 website titled "Short-Term Energy Outlook." But I'm  
5 not sure that it's complete. When I look at page 1,  
6 it's titled page 1 of 1. Page 2 is titled page 2 of  
7 3. And then page 3 is page 3 of 3. So I'm not  
8 certain that the first page goes with the second two  
9 pages.

10          Q.    But you can tell from the bottom of the  
11 page it's from the same website, all three pages,  
12 correct?

13          A.    It does say that. I was just bringing up  
14 it causes me some concern about that it's complete.

15          Q.    So this is a short-term energy outlook  
16 from the EIA, U.S. Energy Information Administration  
17 on coal; is that correct?

18          A.    It appears to be.

19          Q.    Okay. And if you would turn to page 3,  
20 and I want to refer you there to "U.S. Coal Prices."  
21 Do you see that?

22          A.    Yes, I see that.

23          Q.    And I'd like for you to read for the  
24 record, please, that paragraph that's provided  
25 underneath that caption.

1 MR. NOURSE: Your Honor, I'm going to  
2 object at this point. I don't think there's been any  
3 foundation that this witness is familiar with this  
4 document. He's not testifying about the current coal  
5 prices. Unlike the prior exhibits in this case where  
6 witnesses have used information in their own  
7 testimony and are familiar with the data, he's not so  
8 indicated any familiarity with this data or this  
9 publication.

10 MR. JONES: Your Honor, he's already  
11 testified that he's a fuel expert and that he's been  
12 involved in and has knowledge about coal procurement  
13 and he's knowledgeable about the coal industry.

14 MR. NOURSE: Your Honor, I don't think he  
15 said he was a coal procurement expert.

16 MR. JONES: Not an expert but he's  
17 familiar with coal procurement. He did hold himself  
18 out as a fuel expert.

19 EXAMINER SEE: I'll allow it.

20 MR. JONES: Thank you, your Honor.

21 Q. (By Mr. Jones) Mr. Allen, would you read  
22 that paragraph, please?

23 A. Sure. "U.S. Coal Prices, delivered coal  
24 prices to the electric power industry had increased  
25 steadily over the last 10 years and this trend

1 continued in 2011, with an average delivered coal  
2 price of \$2.40 per MMBtu (5.8 percent increase from  
3 2010). However, EIA expects the decline in demand  
4 for coal to generate electricity will put downward  
5 pressure on coal prices and contribute to the shut-in  
6 of higher-cost production. Several companies have  
7 recently announced the curtailment of operations,  
8 particularly in Appalachia, where production costs of  
9 some older mines are high. EIA forecasts the average  
10 delivered coal price in 2012 will be 2.8 percent  
11 lower than the 2011 average price. EIA predicts the  
12 2013 average delivered coal price to be \$2.24 per  
13 MMBtu, or 3.8 percent lower than the previous year's  
14 price."

15 Q. So this is -- what this is stating then  
16 that the average delivered coal price is declining  
17 from 2011 to 2012 and again 2013; is that correct?

18 A. Well, what it's indicating is that  
19 average prices will decline. It's not indicating  
20 that the price for every plant -- coal costs of every  
21 plant will decline. You have to recognize that  
22 plants don't operate by just buying spot market coal.  
23 Each plant typically has contracts for the coal and  
24 those contracts have specific pricing provisions in  
25 those. Just because the spot market for coal

1 declines in the future does not equate into a  
2 reduction in actual coal prices paid for an  
3 individual plant. A plant such as Gavin that uses a  
4 significant amount of coal, it would be imprudent for  
5 that plant to be operating purely on spot market  
6 coal. A plant like Gavin has contracts out there for  
7 a coal, and they have specific prices. So this  
8 report would not be something I would use to guide my  
9 analysis of the expected fuel prices for specific  
10 units such as AEP's units that were used in the  
11 analysis Ms. Medine presented.

12 Q. I thought you said you weren't an expert  
13 on coal.

14 A. I understand the pricing and the  
15 regulatory construct around which AEP recovers its  
16 cost of coal, and I've testified as such in several  
17 jurisdictions.

18 Q. Mr. Allen, I want to refer you to your  
19 testimony on page 5. You state in your testimony  
20 that the only anomalous payment was one that occurred  
21 in 2008. Is that what your testimony reflects?

22 A. In this response I was responding to the  
23 anomalous event that Ms. Medine testified to on  
24 cross-examination or possibly on redirect.

25 Q. Are you aware, Mr. Allen, that throughout

1 all of 2009 the same supplier received a significant  
2 premium for tons shipped?

3 A. I don't recall whether it was in '8 or '9  
4 but I do recall that timeframe that the company did  
5 make additional payments to one or more coal  
6 suppliers to keep those coal suppliers in business so  
7 that they could continue to meet their contractual  
8 obligations for the quantity of coal they had  
9 committed to.

10 Q. And that occurred through 2009?

11 A. I don't know that it occurred throughout  
12 all of 2009.

13 Q. And these were significant payments made  
14 during that timeframe?

15 A. Once again, I don't know if I'd consider  
16 them significant, but they were in the millions of  
17 dollars that the company paid. Recognize that the  
18 analysis that I've done here looks at 2011 fuel costs  
19 and I've looked at those 2011 fuel costs in  
20 comparison to the 2012, '13, '14, and '15 projections  
21 that the company has and have verified that those are  
22 consistent and conservative.

23 Q. Do you know how the cost of coal  
24 purchases flows through inventory?

25 A. Generally, yes.

1 Q. And could you provide that explanation?

2 A. When you buy coal, the cost of that coal  
3 is added to the asset value of the coal pile. As the  
4 coal pile is burnt down, that asset is expensed.

5 Q. Okay. And are you aware that a  
6 significant portion of these costs would have  
7 affected the 2010 costs of the coal at Gavin?

8 A. A purchase and or payment in 2009 may  
9 have had an impact in Gavin's cost in 2010 as it  
10 flowed through the coal pile. Typically coal piles  
11 that would have 90 to 120 days of inventory,  
12 sometimes less, sometimes as low as 30, there were  
13 times they've been as low as 10 to 15 days. So those  
14 costs would flow through the pile and into fuel  
15 expense in a relatively short period of time.

16 Q. All right. Moving on here. When was the  
17 Conesville coal preparation plant closed?

18 A. I don't recall.

19 Q. Do you know when the decision was made to  
20 close the plant?

21 A. I don't. I've only been ancillary  
22 involved in that I know we talked about closing it.  
23 I'm not even sure that it's closed today.

24 Q. And when the decision was made to close  
25 the plant, how did the asset retirement obligation

1 change?

2 A. I don't know.

3 Q. Did that change increase the cost of coal  
4 at the Conesville in 2011?

5 A. I don't know.

6 Q. Would you consider the closure of that  
7 plant to be an anomalous event?

8 A. I don't know that I would define it as  
9 anomalous. When I used anomalous in my testimony, I  
10 was quoting Ms. Medine. I would point out that  
11 Conesville plant is a very small contributor to the  
12 margins of AEP Ohio in the analysis if you were to  
13 compare it to Gavin and some of the other larger  
14 plants. But I don't know that I would call it an  
15 anomalous event. Those costs were passed through and  
16 they were appropriate. It's just an event in that  
17 case.

18 Q. On page 6 of your testimony you testify  
19 you used more reasonable fuel cost assumptions; is  
20 that correct?

21 A. I'm sorry, you're going to have to be  
22 more specific.

23 Q. Let's see here, page 6.

24 A. Or rephrase your question. I just didn't  
25 catch what the question was.

1           Q.    That you use more reasonable fuel cost  
2           assumptions for your analysis.

3           A.    I think what I testified to is that I  
4           used more reasonable and actually conservative fuel  
5           price assumptions in my analysis, yes.  And when I  
6           say conservative fuel price assumptions, those  
7           conservative assumptions cause the energy margins to  
8           be higher, creating a higher energy credit, which  
9           would reduce the capacity price.  So all those being  
10          equal, my analysis would produce and the capacity  
11          rate that would be a little lower than if I used  
12          projected fuel costs in this analysis.

13          Q.    Well, Mr. Allen, in that same context  
14          you, in fact, all you did was assume the 2011 form  
15          prices without any changes; isn't that correct?

16          A.    That's correct.  That's what I assumed.  
17          And in making that assumption, and determining that  
18          it was a reasonable assumption, what I did was looked  
19          at projected fuel costs and made sure that they were  
20          reasonable in that regard.  And I confirmed that they  
21          were conservative, in fact.

22          Q.    Did you make any adjustments for the  
23          closure of the Conesville prep plant?

24          A.    I did not.

25          Q.    Did you review any of the costs to see if



1 they were reasonable going forward?

2 A. I think that's what I just testified to a  
3 moment ago. I believe they're actually conservative.

4 THE WITNESS: Your Honor, if we're going  
5 to be a lot longer, a break might be helpful to me.

6 MR. JONES: Your Honor, I still have a  
7 few questions to get through so it might be a little  
8 while.

9 EXAMINER SEE: Let's take a ten-minute  
10 break.

11 MR. JONES: Your Honor, would it be  
12 appropriate to take a lunch break at this time?

13 EXAMINER SEE: Mr. Allen, we're going to  
14 close out and go straight to a lunch break. We'll  
15 reconvene at 2:30.

16 (Thereupon, at 1:58 p.m., a lunch recess  
17 taken.)

18 - - -

19

20

21

22

23

24

25

2437

Monday Afternoon Session,

May 14, 2012.

- - -

EXAMINER SEE: Let's go back on the  
record.

Mr. Jones?

MR. JONES: Thank you, your Honor.

- - -

WILLIAM A. ALLEN

being previously duly sworn, as prescribed by law,  
was examined and testified further as follows:

CROSS-EXAMINATION (Continued)

By Mr. Jones:

Q. Mr. Allen, did staff only use the most  
efficient heat rate data for AEP Ohio plants?

A. To my recollection that was the testimony  
of Staff Witness Medine, yes.

Q. Staff didn't use the most efficient heat  
rate for all plants in the eastern interconnect?

A. Maybe I misunderstood your question. I  
was answering did staff use the most efficient heat  
rate for AEP's units. In that regard I would agree,  
yes --

Q. Only for AEP plants.

A. My understanding is she used the most

1 efficient heat rate for the entire eastern  
2 interconnect as well.

3 Q. If staff had changed the heat rates for  
4 only AEP Ohio plants, would that have biased results?

5 A. I think the methodology that staff used  
6 was incorrect, first of all, not to use realistic  
7 heat rates in their analysis. You wouldn't correct  
8 just one set of plants without correcting all the  
9 plants, but staff should have used correct data for  
10 all the plants in the eastern interconnect.

11 MR. JONES: Your Honor, I would like to  
12 move to strike the first part of his response. It  
13 wasn't responsive to my question. Not only didn't  
14 answer the question but started off by not answering  
15 the question.

16 EXAMINER PARROT: Motion to strike is  
17 denied.

18 Q. Mr. Allen, how much generation is  
19 expected to come from the Darby in staff's analysis?

20 A. Based upon a quick analysis here, in 2013  
21 the Darby unit was projected to produce 378,000  
22 megawatt hours in 2013.

23 Q. Okay. So over the three-year period that  
24 we're talking about from June, 2012, to June, 2015,  
25 would you accept, subject to check, that it's less

1     than 0.5 percent over that three-year period and  
2     that's excluding Amos and Mitchell?

3             A.    I've not done that calculation.  I can't  
4     confirm that.

5             Q.    Subject to check, would you accept that?

6             A.    No, I wouldn't.  Unless you want me to do  
7     the calculation here, I can't accept that.

8             Q.    Mr. Allen, if the OVEC capacity had been  
9     included, would the energy credit have increased or  
10    decreased?

11            A.    Without looking at numbers, I would  
12    suspect that including the OVEC plants would increase  
13    the energy credit, though not significantly.

14            Q.    Is OVEC part of PJM?

15            A.    I don't know if OVEC is a member of PJM.  
16    I know that the OVEC units operate in the PJM market.

17            Q.    Mr. Allen, the AEP severance program took  
18    affect on around May 3, 2010; is that correct?

19            A.    In that timeframe, yes.

20            Q.    And the purpose of the severance program  
21    was to help AEP manage its earnings in 2010; is that  
22    correct?

23            A.    No.  The severance program was -- had a  
24    couple of purposes.  It was -- to the best of my  
25    recollection, it was to reduce staffing levels and

1 expenses in light of a review the company had done of  
2 the expected rate increases that may be necessary in  
3 the future. And so the company was endeavoring to  
4 reduce its costs and those cost reductions had flowed  
5 through as a benefit to customers in the future. So  
6 we were trying to make sure that the rate increase in  
7 the future were held at a more reasonable level than  
8 what our current projections had been showing. And  
9 in light of some of the continued recessionary  
10 pressures that the company was seeing.

11 Q. And that wouldn't affect earnings?

12 A. The severance program --

13 Q. Reducing staffing levels and expenses  
14 associated with that?

15 A. In 2010, the severance program would have  
16 actually reduced earnings. The expenses that we  
17 incurred into 2010 to support the severance program  
18 were greater than the severance savings that we saw  
19 in 2010.

20 In subsequent years the savings that the  
21 company achieves through the severance program are  
22 flowed through to retail customers through reduced  
23 rates. So they don't have an impact in the long run  
24 of increasing earnings. What they do is have an  
25 impact on reducing the necessary rate increases that

1 the company would need to request in its various  
2 jurisdictions.

3 Q. The cost of the severance AEP has been  
4 realizing payable cost savings since June 1, 2010;  
5 isn't that correct?

6 A. The payroll expenses in 2011 would be  
7 less than what they would have been had the company  
8 not endeavored to incorporate a severance program.  
9 You have to recognize that in 2011, salary increases  
10 were made for employees as well as increased benefits  
11 cost and the like. So you'd have to factor all of  
12 those in to know whether or not 2011 employee  
13 expenses were less than they were in 2010. A  
14 severance program typically --

15 Q. Did you do that calculation?

16 A. I have not done that specific  
17 calculation, but a severance program typically is  
18 intended to slow the growth in payroll expenses. It  
19 doesn't necessarily result in a reduction in employee  
20 expenses.

21 Q. But it could result in a reduction; isn't  
22 that correct? Not just one way as you were trying to  
23 portray?

24 A. I didn't portray it as one way. I  
25 portrayed that depending on the factors it slows the

1 growth. In some cases that may result in a reduction  
2 in a single year, but over time employee expenses  
3 typically grow back above the level that we had seen  
4 in the first year when the severance was put in  
5 place.

6 Q. So the payroll savings realized by AEP  
7 from June 1, 2010, through June 1, 2012, have been  
8 more than sufficient for AEP to have fully amortized  
9 the severance costs prior in that timeframe; isn't  
10 that correct?

11 A. I don't know that to be true, no.

12 Q. And the severance program was based on  
13 the severed employees to receive two weeks of pay for  
14 each year of service; is that correct?

15 A. That's my general understanding of the  
16 severance program.

17 Q. And most of the employees who took the  
18 severance were long-term employees at or nearing  
19 retirement age; isn't that correct?

20 A. I haven't seen an analysis of the  
21 breakdown by age of those individuals.

22 Q. Well, for purposes of our discussion,  
23 Mr. Allen, I want you to assume that an employee who  
24 took the severance had an average life, service life,  
25 of 26 years and was paid for two weeks of pay for

1 each of the years of service. You understand that so  
2 far?

3 A. Two weeks of pay?

4 Q. Yes.

5 A. Twenty-six years of service?

6 Q. That's correct. So using this example  
7 would take AEP about one year to recoup the severance  
8 cost from the payroll savings; isn't that correct?

9 A. No, I wouldn't agree with that. In doing  
10 some analysis I testified on, the severance program  
11 in our Michigan jurisdiction, one of the things you  
12 have to recognize is that as part of the severance  
13 program there's also an add back. There were  
14 employees that left who needed to be replaced. The  
15 replacement employees may have been at or below cost  
16 but those employees in some cases were replaced.

17 Additionally there were incremental O&M  
18 expenses related to increased outside services that  
19 the company needed to purchase as a result of a  
20 reduced workforce. So it's not a one-for-one  
21 calculation as you've tried to portray it.

22 Q. Mr. Allen, the Virginia Commission  
23 addressed the same issue -- AEP issue here May 10th  
24 for their severance program in the Appalachian Power  
25 rate case in docket number PUE-2011-00037; isn't that



1 correct?

2 A. My recollection is that the Virginia  
3 Commission addressed the issue as well as the  
4 Michigan Commission's addressed the issue.

5 Q. And that Virginia Commission determined  
6 that there's no remaining severance costs to be  
7 amortized since AEP would have fully recouped  
8 severance costs from payroll savings prior to the  
9 establishment of the new rate for electric service,  
10 correct?

11 A. Are you reading from a Commission order?

12 Q. This is what the Commission determined in  
13 Virginia.

14 A. Do you have a copy of the order that I  
15 can reference? I can't confirm that the words are  
16 accurate as you've indicated.

17 Q. What's your understanding?

18 A. My understanding is that the company is  
19 not amortizing severance expense in the state of  
20 Virginia. I don't recall the exact language in that  
21 Commission order.

22 Q. Well, I said that they determined there  
23 was no remaining severance costs to be amortized.

24 MR. NOURSE: Your Honor, I object. The  
25 witness is asking if he's going to be directed to a

1 state commission decision from another jurisdiction  
2 in another case that he would be permitted to look at  
3 the language that's being read in order to be asked  
4 to agree with it.

5 MR. JONES: I can try to get that  
6 decision and come back to it, your Honor. So I'll  
7 move on for now.

8 Q. Mr. Allen, the AEP severance program  
9 costs, this issue was also addressed before the  
10 Indiana Michigan Power Company rate case. Do you  
11 have knowledge about that?

12 A. You'll have to be more specific as to  
13 which jurisdiction you're referring to. We operate  
14 in two jurisdictions in I&M. I think you mean the  
15 Michigan jurisdiction probably.

16 MR. JONES: I'll withdraw that question,  
17 your Honor.

18 Q. At pages 14 and 15 in your testimony, you  
19 address CWIP, construction work in progress, and rate  
20 base. And CWIP by definition is not currently  
21 providing service to customers, is it?

22 A. That's correct. It's construction work  
23 in progress. Those are projects that are currently  
24 under construction that will be in service in the  
25 future.

1           Q.    And you talk about the environmental  
2 investment carrying cost rider, the EICCR.  
3 Nonenvironmental CWIP is not recovered in that rider,  
4 is it?

5           A.    That's correct. That rider recovers CWIP  
6 for environmental investments. And I think that was  
7 the discussion in my testimony that including CWIP in  
8 the charge to CRES providers would provide a similar  
9 basis for the two. Nonshopping customers pay for  
10 environmental investments through the EICCR, and CRES  
11 providers and their customers will pay for those same  
12 environmental investments on those same plants  
13 through the capacity charge.

14          Q.    Your rationale for including  
15 environmental CWIP including carrying costs are  
16 included in the rider has no application to  
17 nonenvironmental CWIP?

18          A.    I was making a parallel for environmental  
19 CWIP. For nonenvironmental CWIP similarly those  
20 assets -- those investments are being made to  
21 maintain the long-term operability of the generating  
22 fleet, and as such, individual CRES providers that  
23 are utilizing that capacity should pay for the  
24 carrying cost on those.

25          Q.    And no CWIP was included in rate base for

1 either Columbus Southern Power or Ohio Power in their  
2 most recent distribution rate cases; is that correct?

3 A. That's my recollection, yes.

4 Q. All right. And at page 15 of your  
5 testimony, you refer to Staff Report for prepaid  
6 pension; is that correct, Mr. Allen? On that page  
7 you cite the Staff Report for that?

8 A. I cite the Staff Report to indicate the  
9 staff's recent view of prepaid pensions and their  
10 inclusion in rate base, yes.

11 Q. Mr. Allen, the purpose of making an  
12 unrequired funding contribution into the AEP pension  
13 trust was to produce cost savings; is that correct?

14 A. I don't recall the specific reasons that  
15 the company made this funding contributions -- this  
16 funding contribution decision. Typically in  
17 prefunding a pension as the company did at this point  
18 in time, it can produce additional flexibility in the  
19 future around future contributions, so you can make a  
20 contribution now when the cash is available and not  
21 have to make a contribution in the future when cash  
22 resources may be more constrained. So there are some  
23 other factors that have to be considered, but the  
24 prefunding of a pension does result in reduced costs  
25 going forward and that's why prefunded pension is

1 included in rate base typically, because it's an  
2 investment made by the company that produces cost  
3 savings that are passed on to customers in the  
4 future.

5 Q. AEP Ohio has not reflected any reductions  
6 in pension expense, has it?

7 A. In 2010, the prepaid pension asset that  
8 was on the company's books would have resulted in  
9 lower pension expense in 2010 than would have existed  
10 in the absence of that prepaid pension. So we have  
11 reflected lower pension expenses.

12 Q. Has -- AEP Ohio has not reflected any  
13 pension cost savings, has it?

14 A. Yes, they have. That's what I just  
15 indicated is that the prefunding of the pension does  
16 result in reduced costs that would have been  
17 reflected in the actual pension expense booked by the  
18 company in 2010.

19 Q. Mr. Allen, are you aware of how the claim  
20 for including a pension asset in rate base which was  
21 recently addressed by your affiliate Appalachian  
22 Power Company in a most recent Virginia rate case?

23 A. No, I'm not.

24 Q. Was the AEP pension asset, was it  
25 excluded from Appalachian Power's rate base in that

1 case?

2 MR. NOURSE: Your Honor, I object. He  
3 already indicated that he was not aware how it was  
4 handled in that case.

5 Q. So you don't know, Mr. Allen?

6 MR. NOURSE: Your Honor, object, it's  
7 already been answered.

8 MR. JONES: Clarifying, your Honors, if I  
9 can have an answer.

10 EXAMINER PARROT: The witness may answer  
11 if he knows.

12 A. I don't know.

13 Q. Mr. Allen, in your testimony on page 15,  
14 you refer to the Staff Report in AEP's distribution  
15 rate case, correct?

16 A. Yes, I do.

17 Q. And there AEP Ohio had recommended return  
18 on equity in that docket of 11.15 percent; is that  
19 correct?

20 A. Yes, that's correct.

21 Q. Okay. And do you know what the return on  
22 equity was recommended in the Staff Report for  
23 Columbus Southern Power in that case?

24 A. I don't recall off the top of my head.

25 Q. And how about the ROE recommended in the

1 Staff Report for Ohio Power, do you remember, do you  
2 know what that was?

3 A. I do not.

4 Q. And in the Commission's opinion and order  
5 dated December 14, 2011, in Docket Nos.  
6 11-351-EL-AIR, and the 532 docket, the Commission  
7 determined that the Columbus Southern Power and Ohio  
8 Power were entitled to return on equity in 10 and  
9 10.3 respectively; is that correct?

10 A. I think what the Commission did in that  
11 order was approved a stipulation that included those  
12 two ROEs. I don't know that the Commission  
13 explicitly authorized the ROEs.

14 Q. But those were the return on equities  
15 authorized by the Commission, correct, for those  
16 companies CSP and OP respectively?

17 A. As I indicated, I don't know if the  
18 Commission explicitly authorized those ROEs. Those  
19 were the REOs that were stipulated to by the parties,  
20 and the Commission ultimately approved that  
21 stipulation.

22 Q. And you're saying the Commission approved  
23 that stipulation, correct?

24 A. Yes, the Commission approved that  
25 stipulation.

1           Q.    Okay.  And these return on equities for  
2   CSP and OP were notably below -- and ROEs that were  
3   approved were below AEP Ohio's requested 11.15; is  
4   that correct?

5           A.    That's correct.  The ROEs included in the  
6   stipulation that included a number of elements had  
7   ROEs included in there that were less than the 11.15  
8   that the company had requested.

9           Q.    And if you know, were they higher than  
10  what staff had recommended --

11          A.    I don't recall.

12          Q.    -- in the Staff Report?

13          A.    That's what I'm referring to is the Staff  
14  Report, yes.  I do not recall.

15          Q.    Now, referring to your testimony at pages  
16  21 and 22, the revenues produced on the company's  
17  proposed capacity charge of \$355.72 are projected to  
18  produce a 2013 ROE of 12.2 percent; is that correct?

19          A.    That's correct.

20          Q.    Mr. Allen, what capacity charge rate  
21  would be necessary to produce a 2013 ROE of  
22  10 percent?

23          A.    I've not done that calculation.

24          Q.    Mr. Allen, on your Exhibit R8, WAA-R8, if  
25  you were to substitute a capacity charge of \$283.31



1 for the 355.72 that you used, that would change the  
2 revenue on the capacity revenue line from 753 million  
3 to about 600 million and would change the  
4 12.2 percent ROE to 10 percent? Wouldn't that be the  
5 case?

6 MR. NOURSE: I'm sorry, can I have the  
7 question read back.

8 (Record read.)

9 A. Yes, it would. Would it be helpful to  
10 the record to explain that calculation?

11 Q. No, no other question there, Mr. Allen,  
12 thank you.

13 MR. JONES: Your Honor, I have no other  
14 questions. Just a caveat here, I just -- Mr. Beeler  
15 went to get that Virginia Commission decision so he's  
16 not back yet. I guess I could -- if I could have one  
17 second.

18 Your Honor, could I ask for a five-minute  
19 break just to see if I could secure that decision  
20 during that five minutes?

21 EXAMINER PARROT: Let's take five  
22 minutes.

23 (Recess taken.)

24 EXAMINER PARROT: Let's go back on the  
25 record.

1 Mr. Jones.

2 MR. JONES: Thank you, your Honor. Your  
3 Honor, if I may approach the witness.

4 EXAMINER PARROT: You may.

5 MR. JONES: Your Honors, I'd like to mark  
6 this as an exhibit. I think I'm up to --

7 EXAMINER SEE: 109.

8 MR. JONES: -- 109. This is Staff  
9 Exhibit 109.

10 EXAMINER PARROT: So marked.

11 (EXHIBIT MARKED FOR IDENTIFICATION.)

12 Q. (By Mr. Jones) Mr. Allen, I've handed you  
13 what's marked as Staff Exhibit 109. Could you  
14 please --

15 EXAMINER PARROT: Mr. Jones, do you have  
16 copies for the Bench, the court reporter?

17 MR. JONES: Sorry. Your Honors, I do not  
18 have an extra copy.

19 MR. NOURSE: Might I suggest that you can  
20 probably ask him questions without marking it as an  
21 exhibit and then he'll respond based on that?

22 MR. JONES: Or we could have more copies  
23 made. Or I could ask for administrative notice of  
24 this decision by the Virginia State Commission  
25 regarding Appalachian Power Company.

1 EXAMINER PARROT: If you could get  
2 additional copies and bring them to the hearing room,  
3 please.

4 MR. JONES: Okay. Do you want me to wait  
5 or proceed?

6 EXAMINER PARROT: Please proceed.

7 MR. JONES: Thank you.

8 Q. (By Mr. Jones) Mr. Allen, as to this  
9 exhibit, would you please refer to page 12 of 24  
10 under the heading of "Prepaid Pension Asset."

11 A. First, for the record I'd like to  
12 indicate this is not the official order of the  
13 Commission. It doesn't look at all like a Virginia  
14 Commission order. It may be a different  
15 reproduction, but it's definitely not what the  
16 Virginia Commission would have ordered -- the  
17 Virginia orders always have very distinctive Virginia  
18 letterhead at the front, so.

19 MR. JONES: Your Honor, the one I handed  
20 Mr. Allen is a slip copy from the Virginia State  
21 Corporation Commission dated November 30, 2011,  
22 regarding Appalachian Power Company. It does say by  
23 the Commission. It does say final order on the face  
24 page of this document.

25 A. Just for the record when you look at the

1 web reference, this comes from the WesLaw. The  
2 Virginia Commission order would typically be in PDF  
3 format and come from the Virginia Commission. I  
4 can't vouch for the authenticity.

5 MR. NOURSE: Your Honor, I can advise  
6 Mr. Allen this is a legitimate format. It just  
7 doesn't look like what he's used to looking at.

8 THE WITNESS: Thank you.

9 Q. Yes, it was obtained from WesLaw.

10 A. Okay.

11 Q. Now, if you would, Mr. Allen, please  
12 refer to page 12/24 under the heading "Prepaid  
13 Pensions." Do you see that?

14 A. I see that.

15 Q. And would you read the first sentence of  
16 that paragraph, please?

17 A. "We reject the company's request to  
18 include rate base as prepaid pension asset in  
19 approximately \$56.9 million." Would you like me to  
20 go on to --

21 Q. No, that's all.

22 And, further, if you would refer to page  
23 10 of that same document. I'm sorry, I have the  
24 wrong page. Page 7/24 under the heading between  
25 "Employee Severance Program." Do you see that?

1           A.    I see that.

2           MR. JONES:  Your Honor, I withdraw that  
3 question.  And if I could just have one second, your  
4 Honor.

5           That's all the questions I have. thank  
6 you.

7           EXAMINER PARROT:  Any redirect,  
8 Mr. Nourse?

9           MR. NOURSE:  Yes, your Honor.

10                               - - -

11                               REDIRECT EXAMINATION

12       By Mr. Nourse:

13           Q.    Mr. Allen, let's start with the document  
14 you were just discussing with staff counsel, the  
15 Virginia 2011 State Corporation Commission decision.  
16 Do you still have that handy?

17           A.    Yes, I do.

18           Q.    And on page 12 when counsel asked you to  
19 read the statement into the record, was there an  
20 additional comment you wanted to add from page 12?

21           A.    Yes, I would.  The Virginia Commission in  
22 this order did not reject a full rate -- did not  
23 reject recovery of the prepaid pension asset in its  
24 entirety.  What the Commission did is instead of  
25 having both debt and equity component on that prepaid

1 pension asset, what the Commission stated in the next  
2 full paragraph on page 12 is "As a result, as opposed  
3 to full cost of capital recovery on this asset, we  
4 find that it is reasonable for ratepayers to pay and  
5 the company to earn a debt based return on prepaid  
6 pension assets."

7 So clearly the Virginia Commission  
8 recognizes that prepaid pension assets provide a  
9 benefit to ratepayers.

10 Q. Thank you, Mr. Allen. And briefly, you  
11 had discussed the distribution investment rider with  
12 multiple counsel earlier. Can you just clarify one  
13 item for us on the DIR? Does that mechanism as  
14 proposed allow for recovery of O&M relating to  
15 incremental distribution investment?

16 A. No, it does not.

17 Q. Okay. Now, earlier in questioning by  
18 Mr. Darr, you were asked about whether Exhibit R8  
19 reflects the RSR or the GRR or the full generation  
20 rider. Do you recall that?

21 A. Yes, I do.

22 Q. And can you explain whether R8, would it  
23 be appropriate to reflect those riders?

24 A. No, it would not. R8 was not intended to  
25 forecast all of the elements of the ESP proposal that

1 the company has. Specifically though with regard to  
2 the GRR, none of the expenses of the GRR are included  
3 in this estimate, so it would be inappropriate to  
4 include any revenues in that same calculation.

5 With regard to the PMR rider, the pool  
6 modification is expected to occur in 2014, and  
7 likewise no expenses are included in this forecast so  
8 it would be inappropriate to include any revenues as  
9 well.

10 Q. Okay, so in your Exhibit R8, you did not  
11 intend nor attempt to capture the outcome of the  
12 pending ESP case with respect to any of those rate  
13 proposals or the outcome of the standard service  
14 offer rates in general, correct?

15 A. That's correct.

16 Q. Earlier in -- I believe early on in your  
17 cross-examination with staff counsel you had made a  
18 point about projected prices and gas prices in  
19 particular relating to a "cool winter," I think was  
20 the phrase you used. Is that the phrase you intended  
21 to use?

22 A. No. If I stated "cool winter," I  
23 intended to state mild winter which would be a warmer  
24 than normal winter.

25 Q. Thank you. Let me ask you, do you still

1 have Staff Exhibit 106 on the stand with you? It's  
2 the forward power prices on peak.

3 A. I have it somewhere. I found it.

4 Q. You found it? Okay.

5 First of all, is in your opinion,  
6 Mr. Allen -- first of all, let me back up. I think  
7 staff counsel asked you some questions to make  
8 observations about volatility from -- based on this  
9 data, do you recall that?

10 A. Yes, I do.

11 Q. And in your experience and opinion is it  
12 appropriate to make a conclusion about volatility  
13 based on two data points?

14 A. No, it would not. Typically volatility  
15 calculations are performed with a large number of  
16 data points to come up with an average volatility.

17 Q. Now, these particular dates, the two  
18 dates that were -- these were selected by staff. Is  
19 that your understanding?

20 A. Yes, that's correct. That's my  
21 understanding.

22 Q. So they selected these dates and pulled  
23 them off of the website, the SNL forward website  
24 database to present this exhibit, correct?

25 A. That's my understanding, yes.



1           Q.    And are you aware of anything significant  
2   that may have happened on December 30th, 2011, to  
3   effect forward-power prices?

4           A.    Yes.  As I indicated during my rebuttal,  
5   I recalled that there was some changes in  
6   environmental regulations that occurred in late  
7   2011/early 2012.  During the lunch break I was able  
8   to verify that on December 30th, the U.S. Court of  
9   Appeals stayed the CSAPR regulations and that would  
10  have been the event that would have caused this  
11  change in forward prices.

12          Q.    Okay, so would that reaction to the DC  
13  Circuit's stay order confirm or tend to confirm your  
14  conclusion that these forward-power prices reflect  
15  environmental rules and compliance costs?

16          A.    Yes, they do.  And what it shows is the  
17  market moves very quickly to reflect new knowledge  
18  that the market has obtained like this stay of the  
19  CSAPR regulation.

20          Q.    And you were also discussing with staff  
21  counsel the question about in your testimony about  
22  conservative values that you had concluded or  
23  characterized your values as conservative in  
24  comparing it to fuel projections applicable to the  
25  company?

1           A.    Yes, I recall that.

2           Q.    And can you just elaborate on what it was  
3   that you looked at to make that comparison and reach  
4   that conclusion?  What projected fuel costs are you  
5   talking about and how are they developed?

6           A.    I looked at the projected fuel costs for  
7   AEP Ohio's generating units, and they are generated  
8   based upon the contracts that AEP Ohio has for those  
9   generating units, the coal contracts that we have as  
10   well as the projected burns for each one of those  
11   units.

12           MR. NOURSE:  Thank you.  That's all the  
13   redirect I have, your Honor.

14           EXAMINER PARROT:  Any recross, Ms. Kern?

15           MS. KERN:  No, thank you, your Honor.

16           EXAMINER PARROT:  Ms. Thompson?

17           MS. THOMPSON:  No, your Honor.

18           EXAMINER PARROT:  Mr. Kurtz?

19           MR. KURTZ:  Very briefly.

20                         - - -

21                         RECROSS-EXAMINATION

22   By Mr. Kurtz:

23           Q.    Mr. Allen, your Exhibit 8, the earnings  
24   forecast, you were fielding questions from Mr. Nourse  
25   about that.  Could I refer you to that exhibit?

1           A.    I see that.

2           Q.    The very top line, the two-tiered  
3 capacity pricing, is that the RPM first tier and then  
4 \$255-megawatt day second tier?

5           MR. NOURSE: Your Honor, I object to the  
6 scope. This doesn't relate to any questions I asked  
7 him about on redirect.

8           MR. KURTZ: He specifically asked about  
9 this exhibit. He asked about what about the DIR,  
10 what about the pool termination rider, et cetera.

11          MR. NOURSE: I asked him if it reflected  
12 ESP with respect to the particular riders. Had no  
13 questions about this area.

14          EXAMINER PARROT: Are you tying your  
15 questioning into the proposed ESP, Mr. Kurtz?

16          If that's where you're going, I'll allow  
17 it. Otherwise I agree with Mr. Nourse.

18          MR. KURTZ: Yes.

19          EXAMINER PARROT: All right then.

20          Q.    The two-tier capacity price, is this the  
21 RPM plus 255?

22          A.    Yes, it is.

23          Q.    So that was in the stipulation that was  
24 approved and then rejected.

25          A.    Yes.

1           Q.    The ESP as proposed is two-tier capacity  
2 pricing of 145 for the first tier and then 255,  
3 correct?

4           A.    That's correct.

5           Q.    So all else equal under the ESP as  
6 proposed, the earnings for AEP Ohio would be higher  
7 all else equal if you got the ESP approved by the  
8 higher tier 1 pricing with \$145 versus RPM the earned  
9 return or projected return in 2012 would be higher  
10 than the 10.4 percent in the projected ROE in 2012  
11 would be higher than the 7.3 percent; isn't that  
12 correct? All else equal.

13          A.    It's hard to say because there were a lot  
14 of interrelated items that would change.

15          Q.    Well, all else equal, if you can charge  
16 first-tier shopping customers \$145 a megawatt day  
17 rather than RPM in 2012 of \$20 a megawatt day, isn't  
18 that going to increase earnings rather than keep them  
19 the same or decrease earnings?

20          A.    One of the elements that has occurred  
21 though is that the projection of customers switching  
22 has increased substantially. And as I stated in some  
23 of the analysis I've performed here is that any price  
24 below 355 when a customer shops causes an earnings  
25 erosion for the company, so those increased shopping

1 levels in and of themselves even at 255 would cause a  
2 reduction from the 10.4 percent.

3 Q. Let me repeat the question. All else  
4 equal, charging the first-tier shoppers \$145 a  
5 megawatt day rather than \$20 a megawatt day will  
6 increase earnings; isn't that true?

7 A. Based upon that very narrow question,  
8 that would be correct.

9 Q. And, again, just with respect to the ESP  
10 modification, the new ESP case, charging customers an  
11 RSR, what does the RSR average per year for the three  
12 PJM planning years, about \$95 million?

13 MR. NOURSE: Your Honor, object for  
14 scope.

15 MR. KURTZ: Tying it to the ESP, this is  
16 my last question or two questions.

17 EXAMINER PARROT: All right, Mr. Kurtz.

18 Q. Does the RSR average about \$95 million  
19 per year pretax? \$2 a megawatt hour times  
20 48 million, I don't know --

21 A. \$2 a megawatt hour.

22 Q. Times 48 million megawatt hours retail  
23 load.

24 A. The average of the RSR would be in that  
25 \$90 million range.

1           Q.    Now, all else equal, if you add  
2   \$90 million of RSR revenue on top of the revenue  
3   projected here, your earnings would be higher than  
4   shown on this schedule all else equal. If you add  
5   \$90 million of revenue, you're going to make more  
6   profit, correct?

7           A.    Based upon how the RSR is designed, the  
8   company would not book the average revenue in 2013.  
9   The RSR is a flat revenue requirement over the three  
10  years in the company's proposal but that doesn't mean  
11  that the earnings are the same. Earnings influence  
12  is smaller in the first years, larger in the later  
13  years. The RSR is also coupled with the company  
14  having no rate increase proposed in the case as well  
15  as an option of the entirety of the company's load in  
16  2015. So there are other elements that the RSR is  
17  designed to compensate for that aren't reflected in  
18  this analysis.

19          Q.    For an RSR \$44.1 million of PJM 2012-'13  
20  planning year, 12.9 million in the next planning  
21  year, and 137.2 in the '14-'15 planning year all else  
22  equal adding that revenue to these earnings  
23  calculations will increase earnings; isn't that  
24  correct?

25          A.    It would increase the earnings, but I

1 don't agree with your premise that everything else is  
2 going to stay constant.

3 MR. KURTZ: Thank you, your Honor.

4 EXAMINER PARROT: Mr. Randazzo?

5 MR. DARR: No questions.

6 EXAMINER PARROT: Ms. Kingery?

7 MS. KINGERY: No questions, thank you.

8 EXAMINER PARROT: Mr. Lang?

9 MR. LANG: Thank you.

10 - - -

11 RECROSS-EXAMINATION

12 By Mr. Lang:

13 Q. With regard to the questions that  
14 Mr. Nourse asked you about the Exhibit 8, the DIR and  
15 what's in there, I'd like to show you an exhibit, a  
16 discovery response which I think you may have  
17 prepared that actually itemizes what is in that top  
18 line. So --

19 MR. NOURSE: Your Honor, I object. I  
20 only asked him one single very narrow question about  
21 the DIR, whether O&M is covered in the DIR for  
22 incremental investments. I don't think this is an  
23 opportunity to open up the scope again and go back  
24 into a broad discovery request.

25 MR. LANG: And also about what riders are

1 in the DIR. And that's actually what this discovery  
2 response shows is, I believe, which I'd like to ask  
3 Mr. Allen is the adjustments that he made to go from  
4 actually says the projected earnings under the ESP  
5 and backing out the ESP riders. So I think it would  
6 be helpful for the record and the Commission to show  
7 exactly what he did do to get to his top line  
8 \$471 million number for 2012 and \$331 million number  
9 for 2013.

10 MR. NOURSE: That goes beyond the scope  
11 of my redirect.

12 EXAMINER PARROT: I'll kind of see where  
13 you are going with it, Mr. Lang. Let's proceed for  
14 now.

15 MR. LANG: Your Honors, if I could have  
16 this marked as Exhibit FES No. 125, please.

17 EXAMINER PARROT: So marked.

18 (EXHIBIT MARKED FOR IDENTIFICATION.)

19 Q. (By Mr. Lang) Mr. Allen, do you have this  
20 Exhibit FES No. 125 with the heading "Estimate of  
21 Ohio Power's Earnings"?

22 A. Yes, I do.

23 Q. And there's a gray horizontal line across  
24 the middle of the page and below that line is the  
25 numbers on your Exhibit 8, not counting the capacity



1 adjustment that you did for 2013; is that correct?

2 A. Can you repeat the question?

3 Q. The horizontal gray line across the  
4 middle of the page, below that line where it starts  
5 projected earnings two-tiered capacity pricing,  
6 everything below that line also appears on your  
7 Exhibit R8; is that correct?

8 A. That's correct.

9 Q. And above that line is -- shows  
10 adjustments that you made including adjustments to  
11 riders MTR, DIR, EICCR, and other adjustments to  
12 determine -- to reach essentially the top line number  
13 that's on your Exhibit 8, the projected earnings for  
14 two-tiered capacity pricing; is that correct?

15 A. That's correct.

16 Q. And this is a discovery response that AEP  
17 provided to FES. Is this a response that you  
18 personally prepared?

19 A. Yes. I don't recall what the question  
20 was that I was responding to here but this is the --  
21 this is an attachment to a response. It doesn't  
22 include the text describing what the response was.

23 Q. And is the -- but you did prepare this?

24 A. Yes.

25 Q. And you believe it accurately reflects

1 the arguments that you made to calculate the  
2 projected earnings two-tiered capacity pricing?

3 MR. NOURSE: Your Honor, I object.  
4 Again, this has nothing to do with what I asked in  
5 redirect, and it could have been asked in the earlier  
6 round in cross-examination.

7 MR. LANG: And it is, it's simply about  
8 the adjustments. It's actually my last question I  
9 just want him to say that this does accurately  
10 reflect the adjustments that he's made since people  
11 have asked him about it.

12 MR. NOURSE: I did not ask him about  
13 adjustments, those adjustments at all. I asked him  
14 about whether Schedule R8 includes the outcome of the  
15 ESP, the pending ESP with respect to specific riders  
16 GRR, the PMR, and I did not ask him if this is a  
17 completely different calculation. Doesn't relate to  
18 what I asked him about.

19 EXAMINER PARROT: I'll allow the witness  
20 to answer the question.

21 THE WITNESS: Can you repeat the question  
22 please?

23 Q. I'm just asking you if what you provided  
24 here you believe is accurate.

25 A. The top line value projected earnings

1 before the February order would include certain  
2 elements consistent with the adjustments that I've  
3 made below the dollars that I reflected. For  
4 instance, the \$104 million for the DIR, what that  
5 projected earnings does not do to the top line of  
6 494 million does not reflect all of the incremental  
7 costs that would be associated with the DIR.

8 Q. Okay. So back to my question, is your --  
9 is the discovery response that you've prepared, do  
10 you believe it is accurate?

11 MR. NOURSE: Your Honor, I object. We  
12 didn't even get the question that this was answering  
13 and just to say it's accurate and then he wants to  
14 use it on brief for who knows what, it doesn't relate  
15 to my redirect, most importantly. And there's no  
16 context to what this is. It appears to be backing  
17 out adjustments --

18 EXAMINER PARROT: I've already overruled  
19 the objection.

20 Mr. Allen, please answer the question.

21 THE WITNESS: The projected earnings  
22 excluding capacity. So the line that's on my exhibit  
23 projected earnings two-tiered capacity pricing, that  
24 value is accurate and includes consistent revenues  
25 and expenses.

1           The revenues removed for the DIR, the  
2   104 million, the costs associated with those revenues  
3   are not reflected in the \$494 million starting point  
4   on this exhibit.

5           MR. LANG: Your Honor, if I could have  
6   help, if you could please direct the witness to  
7   answer my question. I think it was a simple  
8   question, and I think it's a yes or no question as to  
9   is the discovery response that he provided, does he  
10   believe it's accurate. I haven't heard -- I've  
11   gotten some responses, but I haven't heard a yes or  
12   no.

13           EXAMINER PARROT: I agree, Mr. Lang.  
14   Could we please get a direct.

15           A. The only way I could provide a direct  
16   answer is if I could see the question I'm answering.  
17   I don't know what I was answering to explain it. If  
18   you were asking for what were the revenue changes  
19   that I included in my analysis, this would list all  
20   of the revenue changes that I included in my  
21   analysis.

22           MR. LANG: Fair enough. Thank you, your  
23   Honor. That's all I have.

24           EXAMINER PARROT: Mr. Petricoff?

25           MR. PETRICOFF: No questions, your Honor.

1 EXAMINER PARROT: Mr. Jones?

2 MR. JONES: No questions, your Honor.

3 EXAMINER PARROT: Thank you very much,  
4 Mr. Allen. You're excused.

5 MR. NOURSE: Your Honors, renew my motion  
6 for admission of Exhibit 142, AEP Exhibit 142.

7 EXAMINER PARROT: Are there any  
8 objections to the admission of AEP Exhibit 142?

9 Hearing none AEP Exhibit 142 is admitted.

10 (EXHIBIT ADMITTED INTO EVIDENCE.)

11 EXAMINER PARROT: Mr. Darr?

12 MR. DARR: I move the admission of IEU  
13 Exhibit 120.

14 EXAMINER PARROT: Are there any  
15 objections?

16 MR. NOURSE: Let me find that first, your  
17 Honor.

18 MR. DARR: It's your workpaper.

19 MR. NOURSE: That was 120? No objection.

20 EXAMINER PARROT: IEU Exhibit 120 is  
21 admitted.

22 (EXHIBIT ADMITTED INTO EVIDENCE.)

23 EXAMINER PARROT: Mr. Lang?

24 MR. LANG: Yes, your Honor, we move FES  
25 Exhibits No. 122, 123, 124, and 125.

1 EXAMINER PARROT: Are there any  
2 objections to the admissions of FES Exhibit 122, 123,  
3 124, or 125?

4 MR. NOURSE: Yes, your Honor.  
5 Exhibit 122 is the exhibit that Mr. Allen repeatedly  
6 indicated was incomplete and had a misleading  
7 conclusion at the bottom. He challenged every number  
8 that was added by FirstEnergy to what was already in  
9 Exhibit R8. I don't think it has any probative value  
10 in being admitted into the record at this point.

11 EXAMINER PARROT: Is that your only  
12 objection?

13 MR. NOURSE: I'm reviewing the other  
14 exhibits, your Honor.

15 With respect to Exhibit 124, I object to  
16 the relevancy. This single page out of a 70 plus  
17 page piece of testimony in a record with a different  
18 purpose and voluminous amount of material in the  
19 record we're not able to have witnesses here that  
20 actually sponsored this and to explain it. Mr. Allen  
21 was not -- had not seen it before, was not familiar  
22 with it. So I think it's -- lacks any probative  
23 value and also is irrelevant based on -- in addition,  
24 I'm sorry, based on lack of foundation for this  
25 witness.

1           Exhibit 125 I think I would just be an  
2     objection -- never mind I -- we might object to that  
3     one. That's all.

4           EXAMINER PARROT: Response?

5           MR. LANG: Yes, your Honor, on  
6     Exhibit No. 122, which is the estimate of Ohio  
7     Power's earnings, it shows adjustments to Mr. Allen's  
8     Exhibit R8. We did have extensive testimony on it.  
9     Mr. Nourse is not correct that every number on it was  
10    challenged. In fact, the purpose of Exhibit 123  
11    which Mr. Nourse is not objecting to is that it does  
12    support calculations that appear on Exhibit No. 122,  
13    and we reviewed with Mr. Allen how those calculations  
14    would be done to support the capacity revenue on  
15    Exhibit 122.

16           I would also note that we received this  
17    testimony Friday evening, had very little time to  
18    prepare. I'm expecting that we will not have the  
19    opportunity for surrebuttal testimony so this is our  
20    opportunity to respond to this rebuttal testimony  
21    over the weekend.

22           And I think it's both a valuable part of  
23    the record and important to go to -- how the  
24    adjustments on ROE depending on what's added and  
25    what's not added affects the ROE.

1           And I would also note that in AEP's  
2 cross-examination of staff witnesses, there were  
3 illustrations used in which staff witnesses disagreed  
4 with parts of those illustrations and your Honors did  
5 admit them into the record.

6           I think as your Honors stated at that  
7 time, it goes to the weight of the exhibit, not the  
8 admissibility of the exhibit.

9           On Exhibit No. 124, we -- this is a  
10 document that is self-authenticating. Mr. Allen  
11 confirmed that this is an affidavit of Mr. Weaver,  
12 he's familiar with Mr. Weaver. He was not  
13 specifically familiar with this particular document  
14 but he did identify Mr. Weaver as the AEP SC person  
15 responsible for procuring this kind of information.  
16 Also identified that this data was supported by an  
17 affidavit from Mr. Weaver, that it is true, accurate  
18 and correct.

19           The estimates are from November of 2011,  
20 so again, I think Mr. Allen was making an argument  
21 that the weight of the consideration of the fuel  
22 prices and the energy prices that are in this exhibit  
23 should be affected but, again, it does not go to the  
24 admissibility of the document. There's no hearsay  
25 issue here. The admission against interest and again



1 we used it for impeachment of the witness using the  
2 sworn testimony of another AEP employee, AEP Service  
3 Company employee with regard to this witness.

4 And I believe that overcomes both of  
5 Mr. Nourse's objections.

6 MR. NOURSE: Well, your Honor, just  
7 briefly on Exhibit 124, I don't think I made a  
8 hearsay objection at all. The issue with impeachment  
9 is whether it's the same statement and whether it can  
10 be used as an inconsistent statement. And that all  
11 depends on the purpose and the context which is not  
12 part of this one page exhibit and not part of this  
13 docket in Ohio.

14 Finally, with respect to Exhibit 122, the  
15 key numbers that were added there clearly were  
16 contested by Mr. Allen and, therefore, he didn't  
17 agree with the ROE resulting from Mr. Lang's  
18 calculation and rejected also the DIR numbers that  
19 were taken to the bottom line earnings without  
20 considering any expenses or any other true impact.  
21 So I think it has prejudicial value as a piece of  
22 evidence. It could have been something that it's not  
23 really relating to the issues that were new on  
24 rebuttal anyway, their challenges relate back to the  
25 original calculation.

1 MR. JONES: Your Honor, for purposes of  
2 the FES Exhibit 124, staff would echo the same  
3 arguments Mr. Lang had made with the admission of  
4 that exhibit. It's proper impeachment material and  
5 it's admission against interest as to their attacking  
6 staff or having higher numbers yet they present  
7 higher numbers.

8 EXAMINER PARROT: With that, FES Exhibits  
9 122, 123, 124, and 125 are admitted.

10 (EXHIBITS ADMITTED INTO EVIDENCE.)

11 EXAMINER PARROT: Mr. Petricoff?

12 MR. PETRICOFF: Yes, your Honor. Move to  
13 admit RESA Exhibit 103.

14 EXAMINER PARROT: Any objection to the  
15 admission of RESA Exhibit 103?

16 MR. NOURSE: No objection.

17 EXAMINER PARROT: RESA Exhibit 103 is  
18 admitted.

19 (EXHIBIT ADMITTED INTO EVIDENCE.)

20 EXAMINER PARROT: And finally, Mr. Jones.

21 MR. JONES: Yes, your Honor. Staff moves  
22 for admission of Staff Exhibits 106, 107, 108, 109.

23 EXAMINER PARROT: Are there objections to  
24 the admission of Staff Exhibits 106 through 109?

25 EXAMINER SEE: Can we get a copy of 109?

1 MR. JONES: Oh, yes.

2 MR. NOURSE: Your Honor, when you're  
3 ready.

4 EXAMINER PARROT: Yes, Mr. Nourse.

5 MR. NOURSE: With respect to Exhibit 107,  
6 again, object on relevance and lack of context or  
7 claiming this is an impeaching document. With  
8 respect to Exhibit 109, the Virginia decision, you  
9 know, I don't think it's appropriate to admit a  
10 Commission decision into evidence. Don't oppose  
11 taking administrative notice of that decision with  
12 Mr. Allen's explanation of the context.

13 MR. JONES: May I respond?

14 EXAMINER PARROT: No, Mr. Jones, thank  
15 you. Staff Exhibits 106 through 109 are admitted.

16 (EXHIBITS ADMITTED INTO EVIDENCE.)

17 EXAMINER PARROT: Mr. Conway?

18 MR. CONWAY: Thank you, your Honor. At  
19 this time the company calls Phil Nelson.

20 EXAMINER PARROT: Please raise your right  
21 hand.

22 (Witness sworn.)

23 EXAMINER PARROT: Please be seated.

24 - - -

25

1 PHILIP J. NELSON

2 being first duly sworn, as prescribed by law, was  
3 examined and testified as follows:

4 DIRECT EXAMINATION

5 By Mr. Conway:

6 Q. Mr. Nelson, have you been sworn in?

7 MR. CONWAY: I'm sorry, your Honor. Have  
8 you swore him in?

9 EXAMINER PARROT: Yes.

10 Q. Mr. Nelson, could you state your name for  
11 the record.

12 A. Philip J. Nelson.

13 Q. And, Mr. Nelson, by whom are you  
14 employed?

15 A. American Electric Power Service  
16 Corporation.

17 Q. And what is your position?

18 A. Managing Director of Regulatory Pricing  
19 Analysis.

20 Q. Mr. Nelson, did you prepare rebuttal  
21 testimony that's been prefiled in this proceeding?

22 A. I did.

23 MR. CONWAY: And, your Honor, at this  
24 time I'd like to mark as AEP Ohio Exhibit No. I  
25 believe it's 143 Mr. Nelson's rebuttal testimony.

1 EXAMINER PARROT: So marked.

2 (EXHIBIT MARKED FOR IDENTIFICATION.)

3 EXAMINER SEE: Mr. Conway.

4 Q. Mr. Nelson, do you have with you a copy  
5 of what's been marked as AEP Ohio Exhibit No. 143 in  
6 rebuttal testimony?

7 A. I do.

8 Q. And do you have any changes, additions,  
9 corrections to make to your rebuttal testimony at  
10 this time?

11 A. No, I do not.

12 Q. If I were to ask you the questions in  
13 that document today, would your answers be the same  
14 as they appear in it?

15 A. They would.

16 Q. And are those answers true and correct to  
17 the best of your knowledge and belief?

18 A. They are.

19 MR. CONWAY: At this time, your Honor, I  
20 would move for the admission of AEP Ohio Exhibit No.  
21 143, and Mr. Nelson is available for  
22 cross-examination.

23 EXAMINER PARROT: Thank you.

24 Ms. Kern?

25 MS. KERN: No questions, your Honor.

1 MS. THOMPSON: No questions, your Honor.

2 MR. YURICK: No questions, your Honor.

3 MR. KURTZ: Thank you, your Honor.

4 - - -

5 CROSS-EXAMINATION

6 By Mr. Kurtz:

7 Q. Mr. Nelson, would you turn to your  
8 testimony on page 10, please. Here the first full  
9 question you describe how profits from off-system  
10 sales from energy that's freed up from shopping is  
11 shared among the AEP affiliates on a member load  
12 ratio basis and not retained 100 percent by AEP Ohio;  
13 is that correct?

14 A. That's there.

15 Q. Okay. And you indicate that staff's  
16 method is flawed because it assigns the margins that  
17 would flow to other pool members to AEP Ohio. Is  
18 that what you state --

19 A. Yes, I do.

20 Q. Okay. Now, the margins that flow to the  
21 other pool members on the member load ratio basis,  
22 some of those margins are retained by AEP  
23 shareholders; isn't that correct?

24 A. Yes.

25 Q. So let's just use a 40

1 percent/60 percent. 40 percent is AEP Ohio's member  
2 load ratio share, correct?

3 A. Yes.

4 Q. 60 percent is Appalachian Power, Indiana,  
5 Michigan, and Kentucky Power?

6 A. That's right.

7 Q. Do you have the --

8 A. That was the member load ratio in 2010,  
9 to be clear.

10 Q. Doesn't change much, does it?

11 A. It can change pretty significantly. For  
12 example, the APCo set pretty low peak this winter I  
13 believe.

14 Q. I guess if the Raven's Wood aluminum  
15 smelter goes back online, that would increase the  
16 West Virginia Appalachian member load ratio as well,  
17 things like that?

18 A. Yes, it can change.

19 Q. The 60/40 ratio is the number embedded in  
20 this record; is that fair?

21 A. Yes.

22 Q. Do you have the RESA Exhibit 103?

23 A. No.

24 Q. Or could counsel present that to you?  
25 This is the SEC statement that shows the sharing of

1 off-system sale profits. And we'll skip the old  
2 simple southwest and just talk about AEP East.

3 Do you see on page 21 of the Form 10 page  
4 2 of the document, can you turn to that?

5 A. Yes.

6 Q. The West Virginia portion, Appalachian  
7 Power is in Virginia and West Virginia, correct?

8 A. That's correct.

9 Q. And they're separately regulated, the  
10 rates are set by each Commission separately?

11 A. They are.

12 Q. Now, in West Virginia the Appalachian  
13 Power share of off-system sales profits is flowed  
14 through 100 percent to ratepayers, correct?

15 A. Yes, it's in a tracker.

16 Q. It's in the ENEC is what they call it in  
17 West Virginia?

18 A. Yes, and, of course, there's other  
19 benefits in that ENEC. It's somewhat of a tradeoff.

20 Q. Their version of a fuel adjustment clause  
21 on steroids?

22 A. Yes. That would be a good description.

23 Q. So assuming -- so for West Virginia  
24 Appalachian Power, the profits from off-system sales  
25 that are freed up from shopping in Ohio do flow to



1 those West Virginia ratepayers and none is retained  
2 by AEP shareholders. That's what this 100 percent  
3 means.

4 A. I'm always a little careful when there's  
5 a "none" involved but generally I think that's  
6 correct, 100 percent would flow through.

7 Q. So this tends to prove your point in West  
8 Virginia where all the freed up profits go to  
9 ratepayers in West Virginia and none is retained by  
10 AEP shareholders.

11 A. Yes.

12 Q. Virginia's different, their 25 percent of  
13 the profits from off-system sales go to AEP  
14 shareholders, correct?

15 A. Yes. That are 25 percent.

16 Q. Is that done on a flow-through basis? I  
17 don't know. Or is that a rate case matter?

18 A. No. It is in fuel costs.

19 Q. So on a real-time basis, 25 percent of  
20 the profits from off-system sales freed up in Ohio  
21 from shopping go to AEP shareholders through that  
22 realtime fuel adjustment clause, 25 percent sharing,  
23 correct?

24 MR. CONWAY: Could I have the question  
25 read back, please?

1 Q. I can rephrase.

2 For the Virginia portion of Appalachian  
3 Power, when energy is freed up in Ohio from shopping,  
4 and off-system sales are made, AEP, AEP shareholders  
5 keep 25 percent of that, correct?

6 A. There's a sharing mechanism of 75/25 on  
7 all off-system sales that are MLRed across the whole  
8 system.

9 Q. So AEP shareholders keep 25 percent of  
10 the profits from off-system sales made possible by  
11 shopping in Ohio, correct?

12 A. With respect to the fact that shopping  
13 occurs in Ohio and that energy is sold into PJM  
14 market that becomes off-system sales, that's shared  
15 among all the member companies, and in Virginia that  
16 would be shared 25/75 between AEP would retain  
17 25 percent, they would pass through 75 percent.

18 Q. So, now, this is the first chink in the  
19 60/40 armor. That right there shows that their 60/40  
20 member load ratio split is not exactly precise  
21 because AEP shareholders keep 25 percent of the  
22 Virginia portion; isn't that right?

23 A. No, I wouldn't agree with that. I don't  
24 know what you're characterizing. The MLR is the  
25 method sharing among the operating companies. How

1     ratemaking is done, that's another issue, but any  
2     off-system sales is shared on the member load ratio.  
3     So it happens to be 40 percent in Ohio, and the  
4     60 percent in the other jurisdictions. That's a  
5     function of the pool but not a function of the  
6     individual states' jurisdictions.

7             Q.     Well, if the Commission is to compensate  
8     AEP corporation for the financial loss from shopping  
9     in Ohio, you keep 25 percent of the member load ratio  
10    share of this allocation of profits from off-system  
11    sales in your Virginia jurisdiction on a real-time  
12    basis?

13            MR. CONWAY:   Objection. The question is  
14    misleading. The subject that's at issue here is AEP  
15    Ohio, it's not AEP Corporation. The question is what  
16    impacts on AEP Ohio.

17            MR. KURTZ:   Counsel is characterizing the  
18    issue as he sees fit. My question went to AEP  
19    corporate entity.

20            EXAMINER PARROT:   The objection is  
21    overruled.

22            THE WITNESS:   Could I have the question  
23    repeated?

24                    (Record read.)

25            A.     I don't think that's what this case is

1 about. This case is about what the proper capacity  
2 charge is the CRES providers. Of course, if I had  
3 any choice, I'd prefer to give to it to a ratepayer  
4 in Virginia as opposed to a CRES provider in Ohio.  
5 So I don't know where you're going with this, but the  
6 pool requires that that split be done, and we can't  
7 arbitrarily change that. So the 60/40 ratio is  
8 governed by the FERC agreement.

9 Q. That isn't the whole story, is it?  
10 Because in Virginia you keep 25 percent of those  
11 profits; isn't that true? Isn't that what this  
12 document shows?

13 MR. CONWAY: Objection. He keeps using  
14 the word "you." It's ambiguous, at least, at worst  
15 misleading.

16 Q. I'll rephrase. AEP the corporation keeps  
17 25 percent of the profits from off-system sales in  
18 Virginia; isn't that correct?

19 A. There's a sharing mechanism in Virginia  
20 at 75/25. That's all I can tell you.

21 Q. Okay. For the record --

22 A. All ratemaking in various jurisdictions  
23 is different across the jurisdictions and that's a  
24 fact of Virginia. But it doesn't affect the issue  
25 here. If you free up a kWh to sell in the off-system

1 sales market here, that AEP Ohio's only going to  
2 retain 40 percent.

3 Q. Okay. Now, just for the record, the  
4 Virginia portion of Appalachian Power is bigger than  
5 the West Virginia portion, correct? No, it looks  
6 like they're about the same, about the same.

7 A. About the same.

8 Q. About the same, okay.

9 Now, Indiana, there's a 50 percent  
10 sharing after a certain level. We go to footnote D.  
11 There was an amount established as 37.5 million in  
12 base rates of off-system sales profit see the amount  
13 built in the base rate. Then I&M keeps half, I&M  
14 shareholders, AEP shareholders keep half, and  
15 ratepayers get half. Is that how that works?

16 A. Yeah, except I don't think we've exceeded  
17 that threshold so we get zero.

18 Q. Well, that's a good point because when  
19 you're under the 37.5, AEP shareholders keep  
20 100 percent of the off-system sales and there's no --

21 A. No, I don't think that's the way it  
22 works.

23 Q. We're building in an off system doesn't  
24 exist so I think we're taking a hit on that, well,  
25 the amount based in the base rates according to this

1 footnote was 37-1/2 million as an offset to revenue  
2 requirements in your last rate case, but in between  
3 cases when the actual profit is less than  
4 37.5 million, you keep --

5 A. No, that's a threshold, Mr. Kurtz. So  
6 we --

7 Q. Let me give you a hypothetical. Suppose  
8 in the Indiana and Michigan jurisdiction the  
9 off-system sales profits of 20 million for a  
10 particular year. Now, they go to 21 million. Do the  
11 shareholders -- do the ratepayers in Indiana get any  
12 of that 1 million?

13 A. No, since they've got 37 million already.

14 Q. So from 20 million to 37-1/2 million,  
15 that whole 17.5 million increment is retained  
16 100 percent by shareholders, correct?

17 A. I'm not sure where this is headed, but  
18 there's ratemaking different in every state. There's  
19 regulatory lag and so forth. The other thing you  
20 have to remember is that in these markets if we free  
21 up a kilowatt hour for sale in the off-system sales  
22 market, there's no guarantee we're going to sell it.  
23 We used to turn around and sell most of the freed up  
24 energy in the market. And we had a high percentage.  
25 The percentage that we can turn around and resell in

1 the market today is very, very low. And there's no  
2 guarantee that we would actually have an off-system  
3 sales margin produced just by having a freed up  
4 kilowatt hour in the PJM market.

5 Q. Do you recall the ratemaking treatment  
6 that AEP routinely sought in Ohio when the  
7 off-system -- when the off-system sales market was  
8 higher than what you were charging retail customers?  
9 For example, the acquisition of Monongahela Power  
10 return on equity power, bringing Ormet back on the  
11 system. Did you MLR revenues and expenses that -- or  
12 did you argue for 100 percent of the delta revenue  
13 based on off-system sales? Were you involved in  
14 those proceedings?

15 A. The Mon Power proceeding?

16 Q. In the Ormet, when Ormet came back on.

17 A. No, I wasn't involved in those  
18 proceedings.

19 Q. Do you know when Ormet came back on  
20 system AEP said, oh, we're hurting because we were  
21 making more money in the off-system sales market.  
22 You didn't just take the MLR ratio, did you? You  
23 argued for 100 percent?

24 MR. CONWAY: Objection. Relevance in the  
25 first place. Secondly, he's testifying now. He's

1 not seeking --

2 MR. KURTZ: Asking a question.

3 MR. CONWAY: -- testimony from the  
4 witness.

5 MR. KURTZ: If he knows.

6 EXAMINER PARROT: Mr. Nelson, you may  
7 answer the question if you know.

8 A. I don't know all the particulars in that  
9 proceeding.

10 Q. Now, in Kentucky there was again a  
11 baseline amount built in the base rates 15.3 million,  
12 and then there's a sharing above or below the  
13 baseline 60 percent, correct?

14 A. Yes.

15 Q. So in that jurisdiction shareholders  
16 could get part of the additional profit from  
17 off-system sales from energy freed up from shopping  
18 in Ohio as well?

19 A. As I said, it will increase the -- if it  
20 increases the off-system sales on the system, the  
21 companies get their MLR share back.

22 Q. The AEP shareholders -- the AEP  
23 shareholders could get part of the profit from  
24 off-system sales from energy freed up from shopping  
25 in Ohio in your -- through the Kentucky ratemaking



1 process. Is that what this shows?

2 A. I would think that that would be the  
3 math.

4 Q. I'd like to ask you some questions about  
5 the capacity equalization payments that are received.  
6 This is discussed -- let's go to page 4 of your  
7 testimony. Do you have that?

8 A. Yes.

9 Q. 2010 Columbus Southern was a deficit  
10 member of the AEP pool, correct?

11 A. They went from deficit to surplus  
12 somewhere in between because they received payments  
13 in the year.

14 EXAMINER PARROT: Mr. Kurtz, we need a  
15 moment.

16 (Off the record.)

17 Q. That was puzzling.

18 EXAMINER PARROT: Mr. Kurtz, would you  
19 please repeat your prior question.

20 MR. KURTZ: I'll just start again. That  
21 was puzzling.

22 Q. In 2010, they were net deficit of looks  
23 like \$18-1/2 million on a dollar basis? Something  
24 like that.

25 A. Yes.

1           Q.    And Ohio Power was at capacity surplus  
2   and received 420 million of capacity equalization  
3   payments from the deficit members of the pool,  
4   correct?

5           A.    That's correct.

6           Q.    Those deficit members were at that time  
7   on balance Columbus Southern, Kentucky Power,  
8   Appalachian?

9           A.    Yes.

10          Q.    And the two surplus members of the pool  
11   were Ohio Power and I&M?

12          A.    Yeah, I'm not sure. I would think I&M  
13   was surplus, but I haven't checked it.

14          Q.    The Ohio Power was compensated by the  
15   deficit members of the pool based upon its average  
16   embedded costs of its fossil generation from the  
17   prior year under a formula included in the  
18   interconnection agreement; is that correct?

19          A.    Define "average."

20          Q.    Average embedded cost, sort of standard  
21   ratemaking net book costs, original costs less  
22   depreciation.

23          A.    No, that's not correct.

24          Q.    It's not correct. How was the capacity  
25   equalization -- do you know whether the capacity

1 equalization amount was for kW a month for 2010 for  
2 Ohio Power?

3 A. Not specifically. I can ballpark.

4 Q. Well, if it wasn't original cost less  
5 depreciation, how was it calculated?

6 A. It's not original costs.

7 Q. Not less depreciation?

8 A. That's correct.

9 Q. Are you sure about that?

10 A. Pretty sure.

11 Q. In any event, Ohio Power got 420 million  
12 of capacity equalization payments in the 2010 year;  
13 is that what this shows?

14 A. Yes, it does.

15 Q. And Mr. Pearce used that revenue in his  
16 \$355-megawatt day calculation, did he not?

17 A. He reduced the charge as I say on line  
18 10. He reduced it by \$125 million. Or, I'm sorry,  
19 \$125 per megawatt day based on the old capacity  
20 credit in 2010.

21 Q. Mr. Pearce did his calculation correctly,  
22 didn't he?

23 A. I believe so.

24 Q. So the 355 is the correct number to use,  
25 not the \$481; isn't that right?

1           A.    Yeah.  I believe that's the right.  When  
2   the pool's in place, it should be 355.

3           Q.    Is it your criticism then for some of the  
4   other witnesses who didn't take into account the  
5   member load ratio of off-system sales properly --

6           A.    My criticism goes around if you're going  
7   to reflect the pool, you should reflect the pool.  
8   You shouldn't pick and choose items.  All the  
9   witnesses were happy to take \$125 a megawatt day.  
10   But there was different treatments of in the energy  
11   credit and also like FES removed a bunch of plants,  
12   removed megawatts that drive the revenue 420 million  
13   but did not make any adjustment to that 420 million  
14   that was received, or I should say 401 million.

15          Q.    If this Commission wanted to go one step  
16   further and reflect the pool plus reflect the real  
17   world rate treatment in the other jurisdictions where  
18   AEP corporation keeps part of the profits freed up  
19   from off-system sales in Ohio made possible by  
20   shopping, then if that's what they wanted to do, then  
21   AEP's calculation here doesn't reflect that.  For  
22   example, it doesn't reflect the 25 percent in  
23   Virginia; isn't that true?

24          A.    I think that's a strange concept.  If it  
25   says that in Ohio whatever other states do and can

1 change the dynamics in another state --

2 Q. You think it's strange that the Ohio  
3 Commission might want to reflect the reality of how  
4 those off-system sales profits are really treated in  
5 the real world to AEP shareholders, that would be  
6 strange to you?

7 MR. CONWAY: Your Honor, I object. I'm  
8 not sure that he was done with his prior answer.  
9 Mr. Kurtz, I believe, interrupted him. If he was,  
10 fine, but I don't think he was done.

11 EXAMINER PARROT: Mr. Nelson, if you were  
12 not finished with your answer, please complete it.

13 THE WITNESS: Could I have it read, the  
14 question and answer please?

15 (Record read.)

16 A. Yeah. I don't see any rationale for  
17 reflecting. It's a FERC-approved interconnection  
18 agreement, and I don't think states go beyond their  
19 own borders ratemaking in other states. I don't  
20 think this Commission would appreciate a Virginia or  
21 West Virginia taking it into account what happens in  
22 another state. We could play the game because  
23 everybody pushes off cost of revenues to other states  
24 and so forth because the AEP pool, it just doesn't  
25 hold water in my opinion because it's not the way

1     ratemaking works.

2             What we're talking about here is  
3     compensation to AEP Ohio, not compensation to  
4     customers for AEP shareholders related to another  
5     state. What we've done, of course, is we've  
6     terminated the AEP pool, revenues that what's  
7     happening here in Ohio is driving the process that we  
8     do have to terminate this pool.

9             It's not working going forward and we  
10    need to reflect the pool, it's FERC approved  
11    agreement program is federal parameters we need to  
12    reflect the AEP pool while it's in existence.

13            And I think it's disingenuous just to  
14    start suggesting that we need to go into other  
15    jurisdictions and just pick pieces that we like and  
16    say, well, aren't you getting revenue from Virginia  
17    or West Virginia and applied it here. What I don't  
18    want to do is subsidize the CRES providers here. I  
19    mean, this is -- this would be outrageous to take  
20    this sharing and then to subsidize rate for CRES  
21    providers.

22            Q.    Assume hypothetically that 100 percent of  
23    the profits from off-system sales got flowed through  
24    the AEP shareholders and the other jurisdictions,  
25    Virginia, West Virginia, Kentucky, Indiana and

1 Michigan, so that everyone that was freed up in Ohio  
2 automatically went right to the shareholders of AEP.  
3 You think the Commission should ignore that?

4 MR. CONWAY: Your Honor, I object. It's  
5 clearly not reality based on the exhibit that's  
6 already been reviewed from the 10-K. And, secondly,  
7 it's the line of questioning evolving into  
8 irrelevancy. The question is what should be the  
9 capacity rate for AEP Ohio to CRES providers. The  
10 question is not whether or not we should import or  
11 extract from two or from other jurisdictions their  
12 regulatory policies.

13 MR. KURTZ: Your Honor, this is a  
14 hypothetical question that we know for a fact that  
15 25 percent of these profits go right to the  
16 shareholders in the Virginia jurisdiction. My  
17 hypothetical took it one step forward and assumed  
18 100 percent in all the jurisdictions should the Ohio  
19 Commission ignore that. And that's the question for  
20 the witness.

21 EXAMINER PARROT: And the objection's  
22 overruled.

23 A. Yes, I think the Ohio Commission should  
24 ignore that.

25 Q. Even though AEP is a corporation under

1     that hypothetical would have zero financial harm.

2             A.     We're talking about AEP Ohio, not AEP  
3     Corporation. And your hypothetical is I don't think  
4     on point. One thing you got to remember, Mr. Kurtz,  
5     is that the only place I think statutorily that you  
6     get that sharing is in Virginia. All the other  
7     states it's by regulatory action. There's no  
8     guarantee we get that sharing. So they can change it  
9     at any time.

10            Q.     Did I read in your testimony here  
11     somewhere that you think that the -- should reflect  
12     the real world or was that Mr. Allen, reflect the  
13     real world in terms of forward market prices and so  
14     forth and that's what the Commission really needs to  
15     look at, not the fundamental analysis --

16            A.     No, I don't know I addressed  
17     forward-market prices.

18            Q.     No, no. The Commission needs to look at  
19     the real world effect on AEP. Was that in this last.

20            A.     If you can find that particular language,  
21     I can address it.

22            Q.     Well, why do you think the Commission  
23     should ignore what happens to AEP shareholders as a  
24     results of shopping in Ohio?

25            A.     No. My point is they should ignore



1 regulatory ratemaking in other jurisdictions.

2 Q. So that means they --

3 A. Each jurisdiction is unique as you know.

4 Q. Yeah. That means you think they should  
5 ignore the affects on AEP shareholders and only focus  
6 on AEP Ohio; is that what I'm hearing?

7 MR. CONWAY: Your Honor, I object, he's  
8 been down this road at least two or three or four  
9 times. It's been asked, it's been answered, and it's  
10 time to move on.

11 MR. KURTZ: I don't know that it has been  
12 answered. If he could please answer it again.

13 EXAMINER PARROT: The objection's  
14 overruled.

15 Q. You think the Commission should just  
16 focus on AEP Ohio, not the effect on AEP shareholders  
17 corporate-wide.

18 A. Yes, I think they should focus on AEP and  
19 the situation here, the ratemaking here, the proper  
20 charge capacity cost to CRES providers. And one of  
21 the big inequities when we're talking about what CRES  
22 providers pay for capacity is that other pool members  
23 pay a high rate for capacity, they pay our costs,  
24 cost-based capacity. And they're entitled to the  
25 other provisions of the pool.

1                   And to subsidize CRES providers while  
2 we're paying what other affiliates are paying a  
3 higher capacity rate would be very inappropriate and  
4 also for CRES providers to pay less than what our SSO  
5 customers pay for capacity would be inappropriate.

6                   MR. KURTZ: Thank you, Mr. Nelson.

7                   Thank you, your Honors.

8                   EXAMINER PARROT: Mr. Randazzo?

9                   MR. RANDAZZO: Yes. I would like to have  
10 marked for identification purposes a multi-colored  
11 exhibit, and I believe our next number is IEU  
12 Exhibit No. 121.

13                   EXAMINER PARROT: So marked.

14                   (EXHIBIT MARKED FOR IDENTIFICATION.)

15                   - - -

16                   CROSS-EXAMINATION

17 By Mr. Randazzo:

18                   Q. Mr. Nelson, it's late in the day. We  
19 know who each other are so I'm not going to bother to  
20 introduce myself.

21                   You have before you what has been marked  
22 for identification purposes as IEU Exhibit 121.

23                   A. What was the exhibit No.?

24                   Q. 121.

25                   A. Yes, I do.

1 Q. Very good answer. Would you turn to the  
2 last page, please. And do you see the last page --

3 MR. RANDAZZO: For those of you in the  
4 room, some of you have two slides on a page. So this  
5 would be page 14.

6 Q. Do you have page 14 in front of you?

7 A. Yes.

8 Q. Am I correct that what has been marked as  
9 IEU Exhibit 121 is a copy of the presentation made by  
10 American Electric Power for purposes of the first  
11 quarter 2012 earnings release?

12 A. I don't know. I haven't looked at this  
13 earnings release.

14 Q. Would you accept, subject to check,  
15 that's what it is?

16 A. Well, I'd certainly want to know how it  
17 relates to my rebuttal testimony.

18 Q. Would you accept, subject to check, this  
19 is the document? And I'll tie it into your rebuttal  
20 testimony in my next question.

21 A. I just haven't seen that. I can't accept  
22 it subject to check.

23 Q. Really?

24 A. I haven't seen this.

25 Q. Well, if we go to AEP's website, would

1 you like to do that?

2 A. Sure. I'd like to see your tablet.

3 MR. RANDAZZO: Will counsel stipulate  
4 this is the release from first quarter 2012 earnings  
5 cost?

6 MR. CONWAY: Yes.

7 MR. RANDAZZO: Thank you.

8 MR. CONWAY: We'll accept that it is  
9 subject to check based on your representation.

10 MR. RANDAZZO: Thank you. Bold lad you  
11 are.

12 Q. Page 14. You see that slide, it's titled  
13 "Off System Sales Gross Margin Detail"?

14 A. Yes.

15 Q. Okay. Now, it shows the gross margin  
16 detail for the first quarter 2011 and first quarter  
17 2012, correct?

18 A. Yes.

19 Q. Okay. And for purposes of this slide,  
20 and the first quarter presentation, am I correct that  
21 from first quarter 2011 to first quarter 2012 the  
22 off-system sales, physical sales declined by  
23 \$12 million?

24 A. That appears to be the case.

25 Q. And then there's a line called marketing

1 and trading. Do you know what that is?

2 A. Yes, nonphysical sales trading.

3 Q. Nonphysical.

4 A. Financial transactions.

5 Q. Oh. So in addition to the off-system  
6 physical sales, there are financial transactions that  
7 involve energy trading activities; is that correct?

8 A. Yes.

9 Q. And those energy trading activities are  
10 conducted by who? Within the AEP structure.

11 A. Commercial operations.

12 Q. Okay. And are the marketing and trading  
13 margins gross margins shared?

14 A. Are they shared? I'm not sure in all the  
15 jurisdictions. There's certain definitions of  
16 off-system sales in various jurisdictions.

17 Q. And to get to Mr. Kurtz's point, at least  
18 based upon the numbers, if we look at the -- compare  
19 first quarter 2011 to first quarter 2012, the  
20 presharing gross margin line shows that the total  
21 declined by \$22 million quarter to quarter, right?

22 A. That's correct.

23 Q. And if we look at the net off-system  
24 sales line, that's the line that indicates the dollar  
25 amount that's retained by AEP Corporation, correct?

1           A.    All this says margin share. I'm not sure  
2 exactly what that represents.

3           Q.    I'm talking about the net OSS line. That  
4 would be the amount that's retained by AEP Corp.,  
5 correct?

6           MR. CONWAY: Your Honor, I'll just object  
7 that the witness is unsure what the margin share of  
8 the line is and the next line which is dependent upon  
9 the margin share line would be similarly affected.  
10 So he's not familiar with it, then I would request  
11 that he not speculate about it and not be --

12           MR. RANDAZZO: I'll withdraw the  
13 question.

14           Q.    Mr. Nelson, on the line that indicates  
15 margin share, do you have any sense of what margin  
16 share means for purposes of this presentation?

17           A.    There's just not enough context here.  
18 I'd be speculating a bit.

19           Q.    Okay. And you don't know what the net  
20 off-system sales line is?

21           A.    It's presharing gross margin less margin  
22 shared.

23           Q.    And you wouldn't assume that the net  
24 off-system sales line item is the amount that's  
25 retained by AEP Corp.?

1           A.    It may well be, but it would be  
2 speculation on my part.

3           Q.    If it is, if it is the amount that's  
4 retained by AEP Corp., we would have a situation from  
5 first quarter '11 to first quarter 2012 where the  
6 presharing gross margin declined by 22 million and  
7 the amount that was retained by AEP Corp. declined by  
8 only 2 million, correct?

9           A.    Yeah, I think that's what happens when  
10 you have increases or decreases, it protects you both  
11 ways, in the sense that when your sales are going  
12 down both the customer and the company feels that  
13 pain when the shares going down. And if it goes up,  
14 both benefit.

15          Q.    But the percent decline in the amount of  
16 net OSS is much less than the percent decline in the  
17 presharing gross margin, correct?

18          A.    It appears to be. But, again, you'd have  
19 to look at all the parameters and --

20          Q.    Sure.

21          A.    I'm not sure it would be linear. One of  
22 my points with thresholds and stuff it may change in  
23 a nonlinear fashion. So I don't know that I conclude  
24 much from this limited set of data.

25          Q.    Right. So let's turn to your testimony,

1 if we may, please. Now, at page 1 of your testimony,  
2 line 13, you indicate that your department makes  
3 filings across the AEP system and in line 15, you  
4 talk about AEP East and West power pools. And at  
5 line 17, you talk about AEP's generation, and I'd  
6 like to see if you can help me understand the many  
7 layers of the AEP system.

8 MR. CONWAY: Mr. Randazzo, I apologize  
9 for interjecting, but I'm not quite following along  
10 with you. Could you give me just the question you're  
11 on? My pagination is a little bit off from yours.  
12 Are you at the educational --

13 MR. RANDAZZO: Page 1 of his testimony?  
14 It's numbered page 1. It's actually the second page  
15 of the testimony.

16 MR. CONWAY: Excuse me. Thank you.

17 MR. RANDAZZO: He said he didn't have any  
18 changes or corrections so I just assumed. All right?

19 So numbered page 1, thank you,  
20 Mr. Conway.

21 Q. Now, am I correct that the AEP system as  
22 you used the term in line 13 is a multi-state public  
23 utility holding company system that consists of 11  
24 operating companies, Appalachian Power Company in  
25 West Virginia and Virginia, Indiana Michigan Power



1 Company in Indiana and Michigan, Kentucky Power  
2 Company in Kentucky, Kingsport Power Company in  
3 Tennessee, Ohio Power Company in Ohio, which now  
4 includes Ohio Power and Columbus & Southern.

5 A. I don't think it's 11, Mr. Randazzo.

6 Q. Well, would you let me finish?

7 A. Okay.

8 Q. Wheeling Power Company in West Virginia,  
9 AEP Texas Central Company in Texas, AEP Texas North  
10 Company in Texas, Southwestern Electric Power Company  
11 in Louisiana, Arkansas, and Texas, Public Service  
12 Company of Oklahoma in Oklahoma.

13 And that these operating companies  
14 provide electric service at wholesale and retail in  
15 parts of 11 states, West Virginia, Virginia, Indiana,  
16 Michigan, Kentucky, Tennessee, Ohio, Texas,  
17 Louisiana, Arkansas, and Oklahoma.

18 Now, if I got the number wrong, 11  
19 operating companies, did I have the names of all the  
20 operating companies correct?

21 A. They all sounded familiar.

22 Q. Yeah. And in addition to the various  
23 operating companies that we've just identified, the  
24 AEP system includes seven transmission only companies  
25 which are collectively referred to often as the AEP

1 TransCo companies; is that correct?

2 MR. CONWAY: Objection. Relevance, your  
3 Honor. What's the point? How does this relate to  
4 Mr. Nelson's rebuttal testimony other than the fact  
5 that he recites his employer and it's his overall job  
6 responsibilities. Other than that it has no  
7 relationship and I object. I think we should get to  
8 the point and move along.

9 EXAMINER SEE: Response?

10 MR. RANDAZZO: The witness said that he  
11 works for a department that supports filing across  
12 the AEP system, and I think I'm entitled to identify  
13 what the AEP system is.

14 EXAMINER SEE: I'll allow it. You can  
15 answer the question, Mr. Nelson.

16 THE WITNESS: I wasn't sure there was a  
17 question.

18 Q. (By Mr. Randazzo) Let me try to make sure  
19 that I ask a question.

20 Is it also true in addition to the  
21 operating companies that we've just identified that  
22 the AEP system includes seven transmission only  
23 companies collectively known as the AEP TransCo  
24 companies?

25 A. I'm not sure of the number.

1 Q. Well, there are several, correct?

2 A. There are several.

3 Q. And am I also correct that the AEP system  
4 includes the companies of the former Central and  
5 Southwest System which merged with the AEP system in  
6 2000; is that correct?

7 A. Yes, we had a merger with CSW.

8 Q. And am I also correct that the generating  
9 and transmission facilities of the AEP system as  
10 we've defined it, although owned by the operating  
11 companies, are operated and planned on an integrated  
12 basis?

13 THE WITNESS: I'm sorry. Could you?

14 (Record read.)

15 A. Well, there are certain levels of  
16 integration. I would say that that's a fair general  
17 statement. Some parts of the system are more deeply  
18 integrated than the others. For example, the East  
19 operating companies for the AEP power pool would be  
20 tightly integrated less so than among other companies  
21 that you mentioned if, for example, the example as  
22 wires company they're somewhat independent. Wheeling  
23 in this case would be independent.

24 Q. And am I also correct that the integrated  
25 operation is accomplished on a centralized basis by

1 employees of AEP Service Corporation, you being one?

2 A. The Service Corp. employees would have a  
3 role in that integration in the sense they may do  
4 some of the planning and there's a shared service  
5 function across those companies.

6 Q. And that integrated operation, am I also  
7 correct that that integrated operation occurs in  
8 accordance with the AEP system interconnection  
9 agreement, the AEP system transmission agreement, the  
10 Central and Southwest system interconnection  
11 agreement, the AEP system transmission agreement, the  
12 Central and Southwest operating agreement, the  
13 Central and Southwest transmission coordination  
14 agreement, and the system integration agreement, plus  
15 the system transmission integration agreement, all of  
16 which have separate rate schedules filed at the  
17 Federal Energy Regulatory Commission?

18 A. Not sure I recognized all those  
19 agreements, but.

20 Q. Would you accept that, subject to check?

21 A. Some of them may have been superseded.

22 Q. Which ones?

23 A. Did you mention the transmission  
24 equalization agreement?

25 Q. No.

1           A.    Okay.  Might be safe but I didn't  
2   remember that many.

3           Q.    And so that we can distinguish the  
4   various functions of these agreements, the AEP system  
5   interconnection agreement is the one from the 1950s  
6   that you referred to as the AEP pool agreement,  
7   correct?

8           A.    The interconnection agreement.

9           Q.    Right.

10          A.    Yes.  It's the pool agreement.

11          Q.    And then there's a system integration  
12   agreement as well that deals with the coordination  
13   between AEP East and AEP West, correct?

14          A.    Yes.

15          Q.    And then there is a transmission -- AEP  
16   system transmission agreement that does what?  What's  
17   the role?

18          A.    The transmission agreement is one I can  
19   speak to is the East agreement.

20          Q.    And would it be fair to say that the  
21   system interconnection agreement or the pool  
22   agreement, as it is sometimes referred to, is a  
23   wholesale agreement subject to the exclusive  
24   jurisdiction of the Federal Energy Regulatory  
25   Commission?

1           A.    Yes.

2           Q.    And that the system interconnection  
3 sometimes referred to as the pool agreement provides  
4 for sharing of costs of the members' generating  
5 facilities and provides that the members'  
6 transmission facility shall be made available to  
7 others to enable system integration including  
8 dispatch and shared use of the generation assets  
9 owned or controlled by the various members of the AEP  
10 pool?

11          A.    We can all read the interconnection  
12 agreement. That says what it says.

13          Q.    Do you agree that's what it says?

14          A.    I'd like to see it if you're reading from  
15 it, you could show me the document, and I could  
16 follow along. I don't know if you paraphrased or  
17 read specific.

18          Q.    Is what I just said consistent with your  
19 understanding of the system interconnection agreement  
20 or pool agreement?

21               MR. CONWAY: Just a moment.

22 Mr. Randazzo, you've referred to a pool agreement and  
23 a system interconnection agreement and an  
24 interconnection agreement, and I'm confused as to  
25 whether or not the system interconnection agreement

1 is something different than otherwise what is known  
2 as the pool agreement. And so I think the record's a  
3 little unclear.

4 Q. Well, let me clear it up. I thought I'd  
5 done that but let's be sure.

6 Mr. Nelson, would you agree that the  
7 system interconnection agreement as the term is used  
8 within the AEP system is the agreement from the 1950s  
9 that is sometimes referred to as the AEP pool  
10 agreement?

11 A. We don't usually call it the system  
12 integration agreement. We either call it the pool  
13 agreement or the integration agreement. It doesn't  
14 have "system" in front of it. The actual word is the  
15 integration interconnection agreement.

16 Q. The actual word is interconnection  
17 agreement, right?

18 A. Yeah, the actual title is interconnection  
19 agreement.

20 Q. Right, so the system interconnection  
21 agreement is --

22 A. It would probably be helpful to call it  
23 East interconnection agreement or something to  
24 differentiate. You just read a list of about ten or  
25 so. Just to stay on the same page, we don't play

1 games.

2 Q. So what --

3 A. Just call it the pool agreement. I think  
4 that's what we referred to here. East pool  
5 agreement.

6 Q. All right. So there's also a West pool  
7 agreement, right?

8 A. Yes, but I don't know what relevance that  
9 has to this proceeding.

10 Q. Oh, okay. So is it consistent with your  
11 understanding of the pool agreement that it provides  
12 for sharing of costs of the operating company  
13 members' generating facilities and provides that the  
14 members' transmission facilities shall be made  
15 available to others to enable system integration  
16 including dispatch and shared use of generation? Is  
17 that consistent with your understanding of the pool  
18 agreement?

19 A. Well, the -- obviously things have  
20 changed around dispatch but that's why I wanted to  
21 know if you're reading specifically from the  
22 agreement. I don't want to be accused of  
23 differentiating the words of the agreement, but we  
24 don't do dispatch any longer. That's really done  
25 more by PJM.



1           Q.    Good.  So the pool agreement no longer  
2 functions to deal with the dispatch of the various  
3 generating units of that are subject to the pool  
4 agreement.

5           A.    It's a cost reconstruction is one of the  
6 functions.  But the actual dispatch of the units I  
7 think is done by PJM is my understanding.

8           Q.    All right.  We'll get to that.

9                   Now, when you talk about AEP Ohio in your  
10 testimony, can you tell me what function you're  
11 attributing to AEP Ohio?  Is it the distribution  
12 company function?  Is it distribution, transmission,  
13 and generation or something else?

14          A.    If not said otherwise, it's AEP Ohio  
15 which is the full company AEP, Ohio Power doing  
16 business as AEP Ohio.  Ohio Power is the legal entity  
17 includes various functions; generation, transmission,  
18 distribution.

19          Q.    But I'm asking you when you use AEP Ohio  
20 in your testimony, are you using it to refer to its  
21 entity that's engaged in all of those functions,  
22 generation, transmission, and distribution?

23          A.    It depends where I'm using.  If you want  
24 to ask me a specific place, I can maybe help.  Most  
25 likely I'm not talking about administration at this

1 time in this particular proceeding since it deals  
2 with generation capacity. If that's helpful. And I  
3 probably wouldn't be talking about transmission for  
4 the same reason.

5 Q. Right. Okay, so when you were referring  
6 to AEP Ohio here, you're referring primarily or most  
7 likely to the generation function of AEP Ohio; is  
8 that correct?

9 A. At least the topics we're talking about  
10 here relate to the generation function primarily.

11 Q. Okay. And, for example, the capacity  
12 pricing associated with CRES suppliers, that would be  
13 a generation function item?

14 A. Yes.

15 Q. All right. Now, I want to see if I can  
16 connect the dots a little bit of the various  
17 positions as I understand them which are being put  
18 forward by AEP Ohio as you use the term to refer  
19 primarily to the generation function for purposes of  
20 understanding the views you express in your  
21 testimony.

22 A. I'm not referring to AEP Ohio's  
23 generation company, referring to AEP Ohio as the  
24 legal entity, Ohio Power Company, but specifically  
25 most of the issues we're talking about here relate to

1 the generation function, so I don't want to talk  
2 about generation company.

3 Q. Okay. Yeah, I understand.

4 Now, am I correct that it is AEP Ohio's,  
5 the entity's position that the provision of  
6 generating capacity service to a CRES supplier is a  
7 sale for resale transaction and that AEP Ohio  
8 believes that is subject to the exclusive  
9 jurisdiction of the Federal Energy Regulatory  
10 Commission?

11 A. The sale between AEP Ohio and the CRES  
12 would be a sale for resale in our opinion, yes.

13 Q. And subject to the exclusive jurisdiction  
14 of the Federal Energy Regulatory Commission, correct?  
15 As you understand it.

16 A. As I understand, but I'm a nonattorney.  
17 I'll defer to our attorneys.

18 Q. Well, they made that argument. And it's  
19 in Mr. Munczinski's direct testimony.

20 Now, with regard to the pool agreement  
21 that you refer to in your testimony, is it your  
22 understanding that that pool agreement -- I think  
23 you've already mentioned this in your testimony so  
24 far, that that pool agreement is subject to the  
25 exclusive jurisdiction of the Federal Energy

1 Regulatory Commission?

2 A. That's correct.

3 Q. And how about all the other agreements  
4 that I referred to, the transmission pool agreement,  
5 the Commission allowance agreement, all those  
6 agreements within the AEP system are subject to the  
7 exclusive jurisdiction of the Federal Energy  
8 Regulatory Commission?

9 A. I didn't write down your list so I'm  
10 going to have to say I'm not sure.

11 Q. Is there any system-wide agreement that  
12 is not subject to the exclusive jurisdiction of the  
13 Federal Energy Regulatory Commission?

14 MR. CONWAY: Objection. It calls for a  
15 legal conclusion, and the witness has just said he's  
16 not sure, he's reluctant to provide a blanket answer  
17 to the question. So it's asked and answered on top  
18 of that.

19 MR. RANDAZZO: So we're clear, I'm not  
20 asking the witness for a legal conclusion. I'm  
21 asking his understanding. He's already spoken to the  
22 limits of the Ohio Commission's jurisdiction in  
23 answering questions. He seems comfortable doing so.  
24 I think it's fair game.

25 MR. CONWAY: He already just responded

1 previously that he was unsure about being able to  
2 comment upon, let alone agree with, Mr. Randazzo's  
3 question.

4 MR. RANDAZZO: I'll withdraw the  
5 question.

6 Q. (By Mr. Randazzo) Mr. Nelson, as you sit  
7 here today, are you aware of any system AEP system  
8 agreement that is not subject to the exclusive  
9 jurisdiction of the Federal Energy Regulatory  
10 Commission?

11 A. Again, I don't have documents listing all  
12 the agreements so I hate to say. There's not any --  
13 I can't think of any at the moment. The major ones  
14 you mentioned, for example, the interconnection  
15 agreement, the interim allowance agreement, yes, I  
16 can vouch that those are FERC jurisdictional  
17 agreements.

18 Q. And in your rebuttal testimony you are  
19 offering some criticisms of the views expressed by  
20 the staff witnesses. Is it your understanding that  
21 the starting point of the staff witnesses was the  
22 presentation made by Dr. Pearce relying on FERC Form  
23 1?

24 A. That was the starting point of Staff  
25 Witness Smith. As far as Medine and Harter, no, I

1 don't think they relate at all to what Dr. Pearce did  
2 since they've used a totally different period in  
3 their energy margin calculation methodology. It's  
4 different, et cetera.

5 Q. And as I understand your rebuttal  
6 testimony, correct me if you think I'm wrong here,  
7 but you are relying upon the pool agreement to  
8 support your opinions regarding how a price for  
9 capacity provided to a CRES supplier should be fixed  
10 by the PUCO while AEP Ohio is at the same time  
11 asserting that the PUCO does not have jurisdiction  
12 over the pricing of capacity provided to CRES  
13 suppliers; is that correct?

14 A. I've been asked to address the capacity  
15 pricing here in Ohio for CRES providers, and we're  
16 addressing it through our testimony.

17 Q. But you are interposing the pool  
18 agreement in your rebuttal testimony to make  
19 adjustments to the prices that have been recommended  
20 by the Commission staff witnesses, correct?

21 A. I don't know what you mean by  
22 interjecting. I'm reflecting, in fact, the pool  
23 agreement exists, has existed for over 60 years, and  
24 it's a big proponent of a cost of service of all of  
25 East operating companies. And to ignore the pool

1 agreement is ignoring a big part of how costs and  
2 benefits rely on members.

3 Q. And as you use the pool agreement in your  
4 rebuttal testimony, it's my understanding of your  
5 testimony that the pool agreement requires the PUCO  
6 to fix a higher capacity price than contained in the  
7 staff witnesses' testimony; is that correct?

8 A. No. That's a mischaracterization. I  
9 think what we want is the Ohio Commission to reflect  
10 the proper capacity price and remember that the pool  
11 capacity credit was about \$400 million and that  
12 really dropped the capacity amount. So I'm not sure,  
13 you're characterizing it somehow an increase,  
14 Mr. Randazzo. I think when you look at the pool,  
15 it's broken down by capacity price, not increase.  
16 But I may have mischaracterized your question.

17 Q. But your use of the pool agreement in  
18 your rebuttal testimony results in an upward  
19 adjustment to the prices that are contained in the  
20 staff's testimony; is that correct?

21 A. No. That's kind of mischaracterization  
22 again. I'm suggesting how the pool should be  
23 reflected to calculate the proper capacity charged to  
24 CRES providers. Again, you can't say that it  
25 increases it because, again, the pool capacity credit

1 is a huge number and has to be overcome first.

2 Q. Maybe I missed something in your  
3 testimony, Mr. Nelson, but my understanding of your  
4 use of the pool agreement is to modify the  
5 adjustments that were recommended by the PUCO staff  
6 witnesses in a way so that your application of the  
7 pool agreement would cause the staff witnesses'  
8 methodology to produce a higher capacity price. Am I  
9 missing something in your testimony?

10 A. I guess I just don't like the phrase "my  
11 use of the pool agreement." I'm not using the pool  
12 agreement. The pool agreement is what it is. I'm  
13 explaining how it operates and why the staff's number  
14 is wrong because I don't think they've properly  
15 modeled the affects of the pool agreement.

16 Q. Okay. But you're saying the staff number  
17 is wrong on the low side because it doesn't reflect  
18 your views about the effects of the pool agreement;  
19 is that a fair statement?

20 A. I think what I just said I'll stick with,  
21 and I answered your question.

22 Q. I don't think you did.

23 MR. CONWAY: Objection.

24 MR. RANDAZZO: Could I have my question  
25 read back?



1 MR. CONWAY: He did answer the question.  
2 I think he's answered it two or three times now.

3 EXAMINER PARROT: Could you reread it,  
4 please.

5 (Record read.)

6 MR. RANDAZZO: I would ask the Bench to  
7 instruct the witness to answer the question.

8 THE WITNESS: I was referring to the  
9 previous response.

10 MR. CONWAY: Could we have the previous  
11 question and answer reread, your Honor?

12 (Record read.)

13 MR. RANDAZZO: I would ask that the  
14 witness be instructed to answer my last question.

15 MR. CONWAY: Your Honor, I think he has  
16 answered it to the best of his ability.

17 EXAMINER PARROT: Mr. Nelson, please  
18 answer the question.

19 A. Mr. Randazzo, if you're answering whether  
20 my criticisms of how the staff modeled their capacity  
21 charge, my criticisms would raise their capacity  
22 charge. Yes, my criticisms would raise the capacity  
23 charge.

24 Q. Right. And the pool agreement that you  
25 rely on in your rebuttal testimony is the same

1 agreement that is in the process of being terminated,  
2 correct?

3 A. Yes, it is.

4 Q. And, in fact, in the --

5 A. Well, process, obviously we've filed  
6 notice to terminate it on January 1st, three-year  
7 notice.

8 Q. Right. January 1st when?

9 A. 2014.

10 Q. Yeah. And, in fact, you're supporting in  
11 the modified ESP case, which Mr. Allen referred to  
12 earlier as ESP II.V, I think, in the modified ESP  
13 case you are supporting a provision dealing with the  
14 termination of the pool, correct?

15 A. Yes.

16 Q. Now, the pool agreement that you  
17 reference in your testimony, your rebuttal testimony,  
18 has been in place for many years, correct?

19 A. Yes. It's been modified a few times.  
20 It's been in place many years.

21 Q. And it was in place during the period of  
22 time when AEP Ohio was charging CRES suppliers for  
23 capacity based on the price established by the  
24 auction or competitive bidding process associated  
25 with PJM's RPM, correct?

1           A.    Yes.  It's been in place since '51 so I  
2    think it will cover all the years you want to go  
3    back.

4           Q.    Now, since you have referenced the AEP  
5    pool agreement in your rebuttal testimony for the  
6    purposes that we've discussed briefly here, I take it  
7    that you feel it's important for the PUCO to consider  
8    agreements that may be relevant to a determination of  
9    the proper price that a CRES supplier should pay to  
10   provide adequate compensation for the CRES supplier's  
11   use of capacity; would that be a fair statement?

12          A.    We would have to honor contracts that are  
13   enforceable by law, I would think.

14          Q.    So if there was an agreement in which AEP  
15   Ohio committed to forego the ability to recover above  
16   market generation related costs from shopping  
17   customers, you would agree that the PUCO should hold  
18   AEP Ohio to that commitment, correct?

19          A.    I can't answer that without seeing the  
20   agreement, what the circumstances were, if things  
21   have changed with the other party, other side of the  
22   contract, breach it.  There's a lot of issues.  I  
23   couldn't just say "yes" or "no" to the question.

24          Q.    That wasn't what I asked you.  I said  
25   there was an agreement in which AEP Ohio committed to

1 forego the ability to recover above market generation  
2 related costs from shopping customers, you would  
3 agree that the PUCO should hold AEP to that  
4 commitment.

5 MR. CONWAY: Objection. He's answered  
6 the question, your Honor. He's already explained  
7 that the question is too vague, too ambiguous to be  
8 susceptible to a direct yes or no answer at this  
9 point. So I think --

10 MR. RANDAZZO: I'll withdraw the  
11 question.

12 Q. Now, as understand the generation  
13 function in Ohio, is that function a competitive  
14 service?

15 A. I think it's defined by statute it would  
16 be a competitive service.

17 Q. And I'm curious about something,  
18 Mr. Nelson, particularly since we are here dealing  
19 with the pricing for a competitive service. Given  
20 your background and experience, you are undoubtedly  
21 aware that there are a variety of laws that deal with  
22 agreements that have effect of fixing prices for  
23 goods and services in a competitive market, aren't  
24 you?

25 A. I'm not an attorney. That sounds like --

1 Q. You've heard of the Sherman Act and the  
2 Clayton Act and those kinds of --

3 A. I don't deal with them regularly.

4 Q. But you certainly have heard of them,  
5 correct?

6 A. Yeah. I recall something like that.

7 Q. For purposes of your testimony, did you  
8 seek any input from your counsel on the extent to  
9 which reliance on contracts or agreements including  
10 things like pooling agreements between AEP Ohio and  
11 its affiliates can be relied upon for purposes of  
12 establishing prices for goods or services at a higher  
13 level than they would be in a marketplace?

14 MR. CONWAY: Objection, if you're done.  
15 Objection on relevancy grounds, also to the extent it  
16 calls for him to divulge attorney/client  
17 communications.

18 MR. RANDAZZO: I'll withdraw the  
19 question.

20 Q. Have you ever heard of the Valentine Act,  
21 Mr. Nelson?

22 A. No, I have not.

23 Q. Have you heard of the Sherman Act?

24 A. It kind of rings a bell.

25 Q. Now, am I correct that for purposes of

1 Dr. Pearce's computation of a capacity price, he  
2 assumed that AEP Ohio's generating units were the  
3 source of the capacity that is resold to CRES  
4 suppliers? Do you have Dr. Pearce's testimony in  
5 front of you?

6 A. No, I don't.

7 MR. RANDAZZO: Can counsel provide the  
8 witness with Dr. Pearce's testimony?

9 Q. Will you turn to page 3? Do you have the  
10 testimony now in front of you, Mr. Nelson?

11 A. Yes.

12 Q. And I think the first page is page 1.  
13 Actually the table of contents seems to be page 2.  
14 And then page 1, page 2, page 3, underneath "purpose  
15 of testimony"?

16 A. Yes.

17 Q. Okay. And do you see there that in the  
18 line that begins -- or the answer that begins on line  
19 15 that Dr. Pearce is discussing the market structure  
20 and capacity obligations and then he goes on to say  
21 "that require the use of AEP Ohio's generating  
22 capacity and the costs associated with this capacity  
23 to support generation service to switching  
24 customers." Do you see that?

25 A. Yes.

1           Q.    So do you agree that Dr. Pearce is  
2    assuming that the AEP Ohio generating units are the  
3    source of the capacity that is resold to CRES  
4    suppliers?

5           A.    Not necessarily generating capacity,  
6    could include other than AEP Ohio's own resources,  
7    its generating capacity. It doesn't say generating  
8    units of AEP Ohio.

9           Q.    Okay. So the -- in the AEP system as we  
10   talked about earlier, the generating resources of all  
11   the members of the AEP pool are shared among the pool  
12   members, correct?

13          A.    They're owned individually by the  
14   members. Some of the costs and benefits are shared  
15   through the pooling arrangement. But I don't know  
16   that I'd characterize the units themselves being  
17   shared. There are some jointly owned units.

18          Q.    Okay. But based on your understanding of  
19   the AEP system as we discussed it earlier, AEP Ohio's  
20   generating plants, own and control, would not  
21   necessarily be the source of capacity that is  
22   provided to a CRES supplier; is that correct?

23          A.    There can be purchase of a capacity from  
24   a sister company that could also supply. That's not  
25   unusual. Even an independent company may have

1 purchases to supply its capacity needs, not  
2 necessarily related to the pool but, yes, the  
3 capacity can come from a variety of sources, own  
4 generation, contracts, unit power sales. I think  
5 capacity resource in PJM might be demand response.

6 Q. So, and also within PJM one of the  
7 capacity resources would be energy efficiency, right?

8 A. I believe that is treated as a capacity  
9 resource.

10 Q. And for purposes of your testimony --  
11 well, let me strike that.

12 Have you read the reliability assurance  
13 agreement?

14 A. Not recently. I don't think -- have I  
15 read the whole thing? I don't think I've ever read  
16 the whole thing. I think it's over a hundred some  
17 pages --

18 Q. Yeah.

19 A. -- as I recall.

20 Q. Okay. Do you know what resources AEP  
21 Ohio has identified to PJM for purposes of satisfying  
22 the resource adequacy obligation to PJM?

23 A. What period are you talking about?

24 Q. Well, you discuss the various delivery  
25 years in your testimony.



1           A.    I think you're into my ESP testimony.  I  
2   don't know whether that's in the rebuttal.

3           Q.    Okay.  Let's talk about the delivery year  
4   June, 2010, through May, 2012.  Do you know what --

5           A.    Where's that in my rebuttal testimony?

6           Q.    It's not in your rebuttal testimony.  Do  
7   you know what capacity resources have been identified  
8   by AEP Ohio to satisfy the resource adequacy  
9   obligation to PJM?

10           MR. CONWAY:  Your Honor, I'll pick up on  
11   the suggestion from Mr. Nelson and object to the  
12   relevance in the line of questioning.  It's beyond --  
13   as far as I can tell, beyond his scope of the  
14   rebuttal testimony.  He does not, as far as I recall,  
15   provide rebuttal testimony on the capacity resources  
16   during the 2010-'11 planning year.  Perhaps I'm  
17   mistaken.

18           MR. RANDAZZO:  Well, Mr. Nelson also  
19   functions to provide forecast generation plant and  
20   related cost information which he handed off to  
21   Witness Meehan so I'm trying to identify which  
22   generating plants this witness has identified for  
23   purposes of associating those generating plants with  
24   the satisfaction of the capacity resource obligation  
25   to PJM.

1 EXAMINER PARROT: I'll allow the  
2 question.

3 A. I think you mentioned planning year --  
4 what was it, Mr. Randazzo?

5 Q. June, 2010, through May, 2011.

6 A. We would have been -- of course, we still  
7 are an FRR entity.

8 Q. Right.

9 A. And we would have designated a bunch of  
10 units on the East system to meet that requirement.  
11 We plan as a system for the FRR obligation. So I  
12 can't rattle off all the units that the AEP East  
13 fleet has. It's quite a list.

14 Q. But the FRR obligation as you've just  
15 defined it is an obligation that's satisfied by  
16 resources other than those owned and controlled by  
17 AEP Ohio; is that correct?

18 A. Yeah, the FRR obligation is on a system  
19 basis, East system basis. The individual companies  
20 are not. They have their units and resources in  
21 there, they're pooled for purposes of the FRR  
22 obligation.

23 Q. And AEP Service Corporation is the FRR  
24 entity; isn't that correct?

25 A. I've never heard it -- that said before,

1 so.

2 Q. Do you know who the FRR entity is under  
3 the reliability assurance agreement for the AEP East  
4 system?

5 A. I would guess that it's the Service.  
6 We're acting as agent on behalf of the operating  
7 companies. I wouldn't necessarily say it's the  
8 service Corp. It's the FRR entity. I may be wrong.

9 Q. Now, let's --

10 MR. RANDAZZO: Your Honors, I would ask  
11 that a document entitled "Direct Testimony of Philip  
12 J. Nelson filed January 27, 2011, in Case No.  
13 11-346-EL-SSO be marked as IEU Exhibit No. 122.

14 EXAMINER PARROT: So marked.

15 (EXHIBIT MARKED FOR IDENTIFICATION.)

16 MR. CONWAY: Could you give me the date  
17 of the filing, Mr. Randazzo?

18 MR. RANDAZZO: Yeah. It's January 27,  
19 2012.

20 MR. CONWAY: And is this the 346, 348  
21 case numbers?

22 Q. Mr. Nelson, do you have before you what's  
23 been marked for identification purposes as IEU  
24 Exhibit 122?

25 A. Yes.

1           Q.    Am I correct that this is the prefiled  
2    testimony that you submitted in support of the  
3    original electric security plan proposal and that  
4    this testimony was filed on January 27, 2011?

5           A.    That looks like it.

6           Q.    Okay.  Now, would you turn to page 28?  
7    Now, does the answer that begins at line 16 of that  
8    page that discusses when AEP joined the PJM regional  
9    transmission organization, does that answer describe  
10   your understanding of PJM's role in economically  
11   dispatching the generation units of the members of  
12   the AEP pool to satisfy the requirements of their  
13   loads?

14          A.    It's a very limited description, but it's  
15   my understanding that PJM, as I said before, does  
16   dispatch our units since we joined PJM.

17          Q.    And there in that testimony you asserted  
18   that as such, the AEP pool at least in its current  
19   form is less essential than it was historically,  
20   right?

21          A.    Yes.

22          Q.    Now, on page 29 at the top of the page in  
23   the sentence that begins at line 2, you referenced  
24   the Ohio deregulated generation and indicate that it  
25   is pooled with the generation of other members whose

1 generation is regulated. Do you see that statement?

2 A. Yes.

3 Q. Can you tell me how that pooling occurs?

4 A. It occurs through the interconnection  
5 agreement.

6 Q. And that would be managed at least based  
7 upon your understanding by AEP Service Corporation;  
8 is that correct?

9 A. Again, AEP Service Corp. is the agent,  
10 not necessarily the manager of that. There's an  
11 operating committee which might fill that management  
12 function and that's composed of the president of the  
13 operating companies as well as pool manager from the  
14 Service Corporation.

15 Q. And at line 2 where you have the word  
16 "deregulated" in quotes, what Ohio deregulated  
17 generation are you referring there to?

18 A. Well, the reason I had it in quotes is  
19 that at that time we were probably -- we're in this  
20 world between regulated and deregulated. But  
21 generally that would relate to the generating units  
22 owned by AEP -- I'm sorry, Ohio Power Company and CSP  
23 at that time.

24 Q. And that would be the generation function  
25 that we talked about earlier, correct?

1           A.    Yeah.  Specifically I'm talking about the  
2   generating units generating of CSP and Ohio Power at  
3   that time.  I don't know what all we talked about  
4   earlier.

5           Q.    And on page 29 in the portion that runs  
6   from line 5 through line 16, you discuss why the AEP  
7   pool agreement may no longer be relevant in the real  
8   world, correct?

9           A.    What I discuss is -- in C are some of the  
10  changes that have occurred that drove us to issue the  
11  three-year notice termination of the pool.

12          Q.    Now, would you turn to Exhibit PJN-1,  
13  page 1, which is attached to IEU Exhibit 122?

14          A.    I'm sorry, Mr. Randazzo, was it  
15  Exhibit 1, page 1?

16          Q.    Exhibit PJN which are your initials,  
17  right?  PJN-1, page 1.

18          A.    I'm there.

19          Q.    And there at the top of the page under  
20  general fuel requirements you are describing the role  
21  of America Electric Power Service Corporation; am I  
22  correct?

23          A.    Yes, AEP Service Corporation as agent.

24          Q.    And on page 5 of Exhibit PJN-1, you  
25  indicate that AEP Ohio -- at the top AEP Ohio makes

1 purchase -- power purchases from affiliates,  
2 nonaffiliated companies, and through the PJM market  
3 that will be included in the company's proposed FAC.  
4 Do you see that statement?

5 A. Yes.

6 Q. And then you go on to refer to purchased  
7 power from OVEC and Buckeye Power Generating, right?

8 A. Yes.

9 Q. And also the Lawrenceburg plant.

10 A. That's correct.

11 Q. And did you review Dr. Pearce's  
12 testimony?

13 A. Yes.

14 MR. RANDAZZO: Your Honor, I'm handing  
15 out a -- some pages for purposes of the  
16 cross-examination from Dr. Pearce's KDP-3 and KDP-4,  
17 to make it easier to follow the cross-examination.  
18 And I would ask that this be identified for purposes  
19 of the record as IEU Exhibit No. 123.

20 (EXHIBIT MARKED FOR IDENTIFICATION.)

21 Q. Mr. Nelson, do you have before you what's  
22 been marked for identification purposes as IEU  
23 Exhibit 123?

24 A. Yes.

25 Q. Would you accept, subject to check, that

1 except for the handwritten column on the right that  
2 these are pages from Dr. Pearce's exhibits in this  
3 proceeding? And more specifically KDP-3, page 21;  
4 KDP-3, page 22; KDP-4, page 21; and KDP-4, page 22.

5 A. With a spot check it looks like they  
6 match, at least the bottom number.

7 Q. Now, will you also accept that the  
8 handwritten column on page 21 of KDP-3 and KDP-4  
9 reflects the purchased power dollar amounts that  
10 Dr. Pearce used in the various versions of page 22  
11 that are associated with each month? For example, if  
12 you look at page 22 of KDP-3, you will see purchased  
13 power line -- at line 13, and that's the purchased  
14 power amount shown for January, 2010.

15 MR. CONWAY: Your Honor, I'd just like to  
16 interpose an objection at this point. Obviously  
17 Dr. Pearce is not here testifying on rebuttal. He  
18 testified on -- as part of the company's direct case  
19 and was available for cross-examination then. And  
20 Mr. Nelson does not address any of the values or the  
21 topics from 2010 that are covered by Dr. Pearce and  
22 he's responding to staff testimony regarding an  
23 energy credit and particularly he's providing  
24 insights and criticisms of the manner in which the  
25 staff has developed its forecasted energy credit, has



1 no relationship to this aspect of Dr. Pearce's  
2 testimony, so I object because it's beyond the scope  
3 of his rebuttal testimony. If Mr. Randazzo wanted to  
4 inquire about these topics, he should have done it  
5 while Dr. Pearce was here. And it's not appropriate  
6 to shoehorn it in now with Mr. Nelson on rebuttal  
7 when Mr. Nelson's rebuttal is directed at entirely  
8 separate topics.

9 MR. RANDAZZO: If I may, your Honors,  
10 Mr. Nelson's testimony urges the Commission to  
11 reflect the real world, his view of the real world,  
12 as affected by the AEP pool agreement. That's one of  
13 his purposes.

14 The other purpose is that he provides  
15 forecast generation plant and related cost  
16 information to Witness Meehan. And what I'm about to  
17 demonstrate is that if you look at the extensive  
18 reliance upon purchased power by Ohio Power and  
19 Columbus Southern during 2010, that the generation  
20 resources of both companies has precious little to do  
21 with the way in which the companies are satisfying  
22 their energy requirements.

23 EXAMINER PARROT: Please proceed,  
24 Mr. Randazzo.

25 Q. (By Mr. Randazzo) Did you follow my

1 earlier question, Mr. Nelson?

2 A. You were asking whether the numbers  
3 written in hand --

4 Q. Yes.

5 A. -- came from KDP-4 and KDP-3?

6 Q. Page 22.

7 A. Page 22.

8 Q. That's basically extracting the purchased  
9 power.

10 A. I'm not going to check every one of them,  
11 but I can see that the January of '10 matches.

12 Q. Right. I wasn't asking you -- I asked  
13 you if you would accept it, subject to check, and I  
14 was trying to identify how would you check it and  
15 providing some verification that I was able to write  
16 down the right number for at least January.

17 A. At least January.

18 Q. At least January.

19 All right. So out of the January, 2010,  
20 actual annual energy related costs that Dr. Pearce  
21 provided in column 1 for Columbus Southern on  
22 Exhibit KDP-3, page 21, 46.8 million approximately  
23 was from purchased power, right?

24 A. Well, if you look at January, KDP-4, page  
25 22, shows total fossil fuel amount and various other

1 productions, total production costs, energy  
2 165,623,785. And the purchased power in that  
3 particular month is 24,954,199. I don't see those  
4 same numbers on KDP-4. So I'm not sure that  
5 that's --

6 Q. I thought we'd just been through this.  
7 For January, 2010, am I correct that the amount of  
8 purchased power shown on Dr. Pearce's KDP-3, page 22,  
9 at line 13 is 46,810,000 and some change?

10 A. Yes. And the total production costs in  
11 that same schedule on line 15 is 75,544,685.

12 Q. That's energy related production costs,  
13 right?

14 A. Yes.

15 Q. And out of the actual annual  
16 energy-related costs that Dr. Pearce shows in column  
17 1 on KDP-3, for January, of 58,200,061, 46.8 million  
18 approximately was related to purchased power, right?

19 A. No. Again, you should be looking at page  
20 22 if it has all the numbers on it.

21 Q. Right.

22 A. And you've got to look at line 16,  
23 there's an off-system sales for resale revenues net  
24 of margin. So I don't know if purchased power on  
25 line 13 relates to that. Again, this would be a

1 better question for Dr. Pearce.

2 Q. So you can't tell from the materials that  
3 Dr. Pearce used whether or not the energy-related  
4 costs that are booked on the Form 1 are related to  
5 retail sales or off-system sales or other  
6 transactions; is that correct?

7 A. Yeah. We purchase in the market and  
8 resell energy so you may be just doing a trade there.  
9 So, yeah, you'd want to stick with the page where it  
10 appears. I wouldn't try to take that relationship  
11 any further than is evident in this page.

12 Q. And why would -- well, let's strike that.  
13 Let's go back to IEU Exhibit 123,  
14 which -- or -- or 122, which is your testimony filed  
15 January 2, 2011, from the ESP II proceeding.

16 A. I guess we didn't talk enough in that  
17 case, Mr. Randazzo? Want to rehash my testimony?

18 Q. Well, we were cut short of the  
19 opportunity by the intervention of another agreement.

20 A. That's right.

21 Q. PJN-1, page 5, you see the description  
22 under "Economic Dispatch"?

23 A. You're on page 5?

24 Q. Yes, of PJN-1.

25 A. Yes.

1           Q.    Okay.  Now, in the description under  
2   economic dispatch you refer to AEP.  Can you tell me  
3   for purposes of that paragraph what is meant by the  
4   reference to AEP?

5           A.    Well, AEP there would be the East  
6   companies since it's PJM.

7           Q.    And according to that description the AEP  
8   East companies which would include AEP Ohio, I&M,  
9   Kentucky Power, and the others that we mentioned  
10  earlier, along with other generators in PJM, offer  
11  available generating units into the PJM market on a  
12  daily basis, correct?

13          A.    Yes.

14          Q.    And describe that process.

15          A.    Well, there's -- I'm no expert in the PJM  
16  market but there's a day-ahead market and a real-time  
17  market.  We bid our units into the day-ahead market.

18          Q.    And as you understand it, when you bid  
19  those units into the day-ahead or retail market, you  
20  would express a price at which you're willing to run  
21  those generators, correct?

22          A.    Yes.

23          Q.    And then in the next sentence you say  
24  "PJM performs an economic dispatch for the PJM  
25  footprint to meet the load requirements with all

1 available generation." Do you see that sentence?

2 A. Yes.

3 Q. And that's what you were referring to  
4 earlier about what has happened since you joined PJM  
5 to reduce the significance of the AEP pool agreement,  
6 correct?

7 A. It was one of the reasons that we no  
8 longer were a system unto ourselves where we dispatch  
9 our own units to meet our load, distribution into the  
10 PJM energy markets and part of the bigger pool.

11 Q. Right. And as you understand it, PJM for  
12 purposes of doing the economic dispatch that you  
13 describe on PJN-1, page 5, PJM looks at all the  
14 prices, offer prices, of the generators and  
15 determines a least cost dispatch to satisfy PJM's  
16 determination of the load, correct?

17 A. Sounds correct.

18 Q. And so on any given day the actual  
19 generating resources that are being utilized within  
20 PJM are dictated by the determinations made by PJM,  
21 right?

22 A. Well, there might be -- I can't say  
23 solely that. You may have unit outages and so forth.  
24 You know, how you bid your units in would have some  
25 influence. But I probably want to hear your question

1 again.

2 Q. Well, let's look at it this way, on any  
3 given day generation resources other than those owned  
4 or controlled by AEP Ohio may be dispatched by PJM to  
5 serve the load of customers within the distribution  
6 service area of AEP Ohio, correct?

7 THE WITNESS: Could I have that question  
8 reread.

9 (Record read.)

10 A. Not sure why you have the "other than AEP  
11 Ohio in there." That's the part I can't agree to,  
12 not sure how you're using it there.

13 Q. Let's state it more simply, Mr. Nelson.  
14 PJM does not look to the generation resources of AEP  
15 Ohio to satisfy the requirements of customers within  
16 the distribution service area of AEP Ohio, right?

17 A. In the general sense as we talked about  
18 before, the generator bidding into -- the units into  
19 PJM and PJM is selecting those units based on price  
20 and dispatching those units against the load. So the  
21 load would include the load of AEP Ohio as well as  
22 all the other load in PJM.

23 Q. Right. That wasn't the question I asked.  
24 The question I asked you is the PJM for purposes of  
25 this economic dispatch that you describe on your

1 Exhibit PJN-1, page 5, PJM does not look simply to  
2 the generation assets of AEP Ohio for purposes of  
3 satisfying the load of the customers within the  
4 distribution service area of AEP Ohio; is that  
5 correct?

6 A. No. I think PJM is offering as a that as  
7 a system and all units are available. There's  
8 certain constraints and so forth. I don't want to  
9 get too far afield.

10 Q. Well, this is from your --

11 A. Yeah, and I don't -- I think you're  
12 expanding greatly upon that.

13 Q. Okay.

14 A. It's a pretty limited statement there,  
15 and I stuck to that statement.

16 Q. All right. Let's move to the next couple  
17 sentences in your exhibit.

18 A. Okay.

19 Q. You say on PJN-1, page 5, that after the  
20 end of the month, AEP, and there are you referring to  
21 AEP East or is it a different AEP?

22 A. This is still talking about PJM so it  
23 would be East.

24 Q. After the end of the month, AEP East  
25 reconstructs for cost allocation purposes the



1 economic dispatch for its units based on hourly  
2 generating unit output. Tell me what that means.

3 A. Well, you stack the units, I guess is the  
4 proper term. Those units that run would be stacked  
5 from highest cost to lowest cost in each hour. And  
6 then you start from the top down and assign those  
7 highest cost units to off-system sales.

8 Q. And that's the last sentence on PJN-1,  
9 page 5. You say the resources at the top of the  
10 stack, and there you're referring to generation  
11 resources; is that correct?

12 A. There I'm referring to generation  
13 resources. Now, it could be -- well, let's broaden  
14 it because there could be purchases in the stack.

15 Q. And but in any event, the resources with  
16 the highest variable costs are after the fact  
17 assigned to off-system sales resulting in lower costs  
18 assigned to internal load customers, correct?

19 A. That's correct.

20 Q. Okay. So would the retail customers of  
21 AEP Ohio be an internal load customer?

22 A. Yes.

23 Q. So as internal load customers -- retail  
24 customers shop, it would free up generating units  
25 with a lower variable cost, right?

1           A.    How do you mean free up? The dispatch  
2 would probably be the same, and PJM would bid our  
3 units in whether we got load or not. And PJM would  
4 decide to dispatch the units or not depending on the  
5 price.

6           Q.    Fair point. Based upon the sentence that  
7 we've just been talking about, if there was a retail  
8 customer that shopped and was receiving generation  
9 supply from a competitive supplier, that would result  
10 in the assignment of lower variable costs to  
11 off-system sales than would be the case if the  
12 customer did not switch, correct?

13          A.    I don't want to sit here and do dispatch  
14 in my head. I'm not going to agree to --

15          Q.    Pretty simple math, isn't it?

16          A.    Dispatch isn't simple math.

17          Q.    PJM is doing the dispatch. This deals  
18 with how you're allocating available costs between  
19 internal load customers and off-system sales, right?  
20 That's what we're talking about in this last  
21 sentence, right?

22          A.    Yes. This is a reconstruction after the  
23 fact.

24          Q.    Right. And if a customer shops, if a  
25 retail customer of AEP Ohio shops, and is receiving

1 generation supply from a competitive supplier, that  
2 would result in a reduction in the variable costs  
3 that is assigned to off-system sales; am I correct?  
4 Just math.

5 A. Well, maybe I can answer it this way, all  
6 other things being equal, if you have less internal  
7 load and you move down the stack and the stack is  
8 from lowest to highest, there may be a kilowatt hour  
9 that is low in price. But that's -- I hate to get  
10 into all that sitting here on the stand.

11 Q. Well, that's why people come to the stand  
12 to testify.

13 A. Usually you testify to the testimony you  
14 filed, not testimony that you filed a year ago.

15 Q. Well, we're very -- I took very seriously  
16 the message that you conveyed in your rebuttal  
17 testimony about properly reflecting what goes on with  
18 off-system sales. And I'm asking you if a retail  
19 customer of internal load of AEP Ohio shops, would it  
20 affect the level of variable costs that is assigned  
21 to off-system sales?

22 MR. CONWAY: Your Honor, I object. At  
23 this point he's answered the question at least two,  
24 if not three times, and he's indicated his reluctance  
25 to shortcut the answer in the manner that

1 Mr. Randazzo would apparently like. He's explained  
2 why he's reluctant to shortcut, but he's done the  
3 best he can to answer the question. I think it's  
4 time to move on. The answer to the question has been  
5 answered to the best of his ability.

6 EXAMINER PARROT: I agree, Mr. Conway.

7 MR. RANDAZZO: So the objection is  
8 sustained.

9 EXAMINER PARROT: It is.

10 MR. RANDAZZO: Thank you.

11 Q. (By Mr. Randazzo) Mr. Nelson, would you  
12 turn to page 1 of PJN-3 which is --

13 A. We're still in my testimony filed in the  
14 old ESP case?

15 Q. Yes, in the January 27, 2011, testimony.

16 A. PJN-3?

17 Q. PJN-3, page 1, underneath methodology of  
18 assumptions and pro forma financial projections. Are  
19 you with me?

20 A. I am there.

21 Q. Now, here in your testimony in the ESP II  
22 proceeding filed on January 27 you were responsible  
23 for providing the pro forma financial projections  
24 associated with the proposed ESP, correct?

25 A. Yes. I sponsored the pro formas.

1           Q.    And at this Exhibit PJN-3 you're  
2   describing the methodology that is used for purposes  
3   of those pro forma financials; is that correct?

4           A.    Yes.

5           Q.    And in the second -- or, excuse me, third  
6   sentence in the paragraph that is headed  
7   "Methodology," the sentence that begins "Due to the  
8   integrated nature," do you see that sentence?

9           A.    Yes.

10          Q.    There you're stating that because of the  
11   integrated nature of the AEP system, the preparation  
12   of an individual operating company forecast requires  
13   a forecast for the entire AEP system. Do you see  
14   that statement?

15          A.    Yes, I see it.

16          Q.    Now, for purposes of the handoff of  
17   generation-related information to Rebuttal Witness  
18   Meehan, did you engage in a forecast for the entire  
19   AEP system?

20          A.    Yes. The data that we provided would be  
21   part of our integrated forecast for the whole system.  
22   We obviously provided the relevant data related to  
23   AEP Ohio plants.

24          Q.    And did you provide workpapers showing  
25   the entire AEP system forecast?

1           A.     We provided the relevant workpapers which  
2     were related to the costs of the AEP Ohio generating  
3     fleet. And as far as the AEP system, that's a little  
4     broad in the sense we talked about AEP Texas -- I  
5     guess you could go there if you're talking about --  
6     maybe talking about equity infusions and stuff, you  
7     can look at the system as a total but I think we're  
8     really focused on the East fleet here, once again.

9           Q.     So you provided Mr. Meehan with  
10    information for a forecast for the entire AEP system?

11          A.     A component of that, the cost basis for  
12    various generating units.

13          Q.     For a segment of the AEP system or was it  
14    the entire AEP system?

15          A.     I mentioned the AEP Ohio fleet which is  
16    relevant to this proceeding.

17          Q.     Okay. So you did not -- you did not  
18    provide Mr. Meehan with the forecast showing the  
19    entire AEP system fleet utilization; is that correct?

20          A.     I don't believe so. I believe we  
21    provided the units that were relevant to AEP Ohio.

22          Q.     All right. Now, if you go to the bottom  
23    of page 1, still PJN-3, paragraph with a 1 prior to  
24    it, it talks about load and demand forecast, there  
25    again you say that "because the AEP System is highly

1 integrated, the preparation of any individual company  
2 forecast requires an internal load forecast and an  
3 off-system sales forecast for all the AEP System  
4 companies." Do you see that statement?

5 A. I'm sorry, Mr. Randazzo, I lost the spot.

6 Q. It's the first sentence in the paragraph  
7 that is labeled "Load and Demand Forecast" that  
8 starts at the bottom of page 1, PJN-3.

9 A. Yes, I see that.

10 Q. Okay. Now, did you provide Mr. Meehan  
11 with an internal load forecast and off-system sales  
12 forecast for all of the AEP system companies?

13 A. No.

14 Q. Now, on page 2, PJN-3, underneath  
15 "Generation Forecast," which is bullet No. 2, do you  
16 see that?

17 A. Yes.

18 Q. There you indicate that "a generation  
19 forecast is developed by the Commercial Operations  
20 Division." What is the commercial operations  
21 division?

22 A. Commercial operations division is  
23 primarily responsible for interacting with PJM in  
24 terms of bidding units into PJM, et cetera, on behalf  
25 of the East operating companies. And then there's

1 resource planning and operational analysis as far as  
2 hand in hand with them.

3 Q. And the commercial operations division,  
4 is that part of AEP Service Corporation or --

5 A. Yes. They'd be Service Corp. employees.

6 Q. And the resource planning and operational  
7 analysis department, that would be part of AEP  
8 Service Corporation as well?

9 A. That's correct.

10 Q. And then the sentence continues "In  
11 addition to getting Commercial Operations Division  
12 and Resource Planning and Operational Analysis  
13 Department to develop a generation forecast, then you  
14 also need to consider planned energy purchases,"  
15 correct?

16 A. For purposes of a general forecast, yes,  
17 you would, not necessarily for this purpose.

18 Q. And the planned energy purchases  
19 consideration is necessary because you're trying to  
20 figure out the total energy requirements for the AEP  
21 system, correct?

22 A. That's correct.

23 Q. And for purposes of information you  
24 handed off to Mr. Meehan, did you provide him with  
25 your expectations or forecast of planned energy



1 purchases?

2 A. No, only repurchases related to units.  
3 What we're, of course, doing I think with --  
4 Mr. Meehan is doing is dispatching the generating  
5 asset or fleet against the market. And that's the  
6 AEP Ohio fleet.

7 Q. Well, the ability to dispatch  
8 generation -- generating units is ultimately a  
9 function of the demand, correct? You can't run  
10 generating units if there's not some consumption,  
11 right?

12 A. No. He's not dispatching it. He's --  
13 there's a market price against which he's seeing  
14 where the unit operates at that market price. But I  
15 think probably these questions are better asked of  
16 Witness Meehan. I could tell you the types of things  
17 I provided, but he can tell you what he did with  
18 those things.

19 Q. That's what I thought I was asking. Did  
20 you provide it to Mr. Meehan? Is that the way you  
21 pronounce it?

22 A. Meehan.

23 Q. Eugene?

24 A. Gene.

25 Q. Did you provide Mr. Meehan with planned

1 energy purchases as part of the information that you  
2 handed off to Mr. Meehan?

3 A. No, I wouldn't agree we had energy  
4 purchases. I'm not sure that would be relevant to  
5 this analysis, other than as I mentioned that it's  
6 kind of a unit power type arrangement, like an OVEC,  
7 a Lawrenceburg, and so forth, those would be  
8 included.

9 Q. Now, you indicated that Mr. Meehan is  
10 attempting to figure out whether or not based upon  
11 projected market prices various AEP Ohio generating  
12 units would be economic; in other words, they could  
13 operate and make some money, correct?

14 A. Yes. The purpose is to determine what  
15 sort of margin can be placed by AEP Ohio's generation  
16 fleet.

17 Q. And if they can't operate based upon the  
18 market prices that are assumed, then those generating  
19 units would be uneconomic, correct?

20 A. Well, again, you didn't put a term on it.  
21 A unit could be uneconomic in an hour, a week, a  
22 month, a year. But, yeah, you're just using the term  
23 pretty broadly. At any particular hour a unit could  
24 be considered uneconomic, wouldn't necessarily  
25 dispatch.

1           Q.    And the reason is because the market  
2 price is less than the variable operating costs  
3 associated with the unit, right?

4           A.    Yeah. I think that's kind of a bright  
5 line. Again, you got to consider sometimes you will  
6 operate the unit at a loss if it's going to run, for  
7 example, in the off-peak if it's expected to run the  
8 next day and make a profit. It offsets your losses  
9 in the off-peak.

10           MR. RANDAZZO: Now, your Honors, I would  
11 ask that an American Electric Power memo dated  
12 November 4, 2011, filed by Michael Baird and Paul  
13 Pennino be marked as IEU Exhibit 124.

14           EXAMINER PARROT: So marked.

15           (EXHIBIT MARKED FOR IDENTIFICATION.)

16           Q.    Now, Mr. Nelson, do you have before you  
17 what's been marked for identification purposes as IEU  
18 Exhibit 124?

19           A.    Yes.

20           Q.    Do you know what ASC 360 is?

21           A.    No.

22           Q.    All right. Do you know whether or not  
23 AEP conducts impairment analysis periodically to  
24 identify whether or not the value of assets recorded  
25 on AEP's books need to be adjusted based upon fair

1 value considerations?

2 A. I'm not familiar with this document.

3 Q. That's not the question I asked you. Do  
4 you know whether or not AEP periodically conducts  
5 impairment analysis to determine whether or not the  
6 value of assets that are reported on the books need  
7 to be adjusted to reflect fair value?

8 A. I don't know if they do periodically.

9 Q. If I were to remove the word  
10 "periodically" from my question, are you aware that  
11 AEP conducts impairment analysis to determine whether  
12 or not the value of assets reported on the books  
13 needs to be adjusted based upon fair value  
14 considerations?

15 A. I know that they do impairment analysis  
16 occasionally.

17 Q. I thought that was my initial question.

18 A. Periodically to me sounds like a routine.

19 Q. I'm sorry. Periodically, occasionally, I  
20 can understand the confusion.

21 Now, would you turn to page 2 of 5 of IEU  
22 Exhibit 124?

23 MR. CONWAY: I'm sorry.

24 Q. In the second paragraph under the heading  
25 "Conclusion," do you agree that the Ohio Company's

1 generating assets are not cost-based regulated?

2 MR. CONWAY: Could I have the question?

3 Can I have the question reread?

4 (Record read.)

5 A. I agree that the accountants have -- for  
6 their purpose have labeled it that way.

7 Q. And the accountants that you refer to are  
8 the individuals that assemble financial information,  
9 correct?

10 A. That's correct.

11 Q. And so if we were attempting to develop  
12 information about the extent to which certain things  
13 may cause financial harm, the views of accountants  
14 would be relevant, correct?

15 A. Would think they'd be relevant.

16 Q. So would you turn to page 3 of 5 and the  
17 first full paragraph on page 3 of 5. Would you read  
18 that paragraph to yourself.

19 Have you read it?

20 A. Yes.

21 Q. Do you agree with that statement?

22 A. I don't have any basis to agree or  
23 disagree. May not be wording I would use. So, but I  
24 don't have any basis to disagree with it.

25 Q. Do you know Mr. Baird and Mr. Pennino?

1 A. Yes.

2 Q. And are they part -- are they employees  
3 in AEP Service Corporation?

4 A. They are.

5 Q. And do they work in your department?

6 A. No.

7 Q. Who do they work for?

8 A. They work in the finance department.

9 Q. And who -- I'm sorry.

10 A. Mr. Pennino, I don't know that he's their  
11 direct supervisor, but he's head of that department.

12 Q. And the finance department is within AEP  
13 Service Corporation; is that correct?

14 A. It is.

15 Q. As far as you know, has there been any  
16 witness from the finance department presented by AEP  
17 in this proceeding to attempt to identify the extent  
18 to which AEP Ohio may be financially harmed as a  
19 result of various capacity pricing scenarios?

20 MR. CONWAY: Your Honor, at this point  
21 I'll object to the line of questions. Mr. Nelson has  
22 indicated he's not familiar with the document. He's  
23 not indicated that he is privy to the -- whatever the  
24 impairment valuation is. He's indicated very  
25 little -- a low level of familiarity with the subject

1 matter, and Mr. Randazzo's efforts to pursue this are  
2 without basis with the witness, including having the  
3 witness provide some insight into who else that's  
4 preceded him might have been a better choice to talk  
5 to about this.

6 MR. RANDAZZO: I'll withdraw the  
7 question. Mercy.

8 Q. (By Mr. Randazzo) Page 3 of your rebuttal  
9 testimony in this proceeding, Mr. Nelson, line 6.  
10 You refer to the "trapping of costs." Tell me what  
11 you mean by "trapping of costs."

12 A. In this instance it's fairly limited in  
13 that Staff Witness Smith accepted Dr. Pearce's  
14 allocations between energy and demand. And part of  
15 that was some of the A&G expenses that were assigned  
16 to energy. As far as we can determine as actually  
17 testified to by Witness Harter, he did not pick up  
18 those costs. So that's -- those costs have fallen  
19 between the energy demand split and are not being  
20 covered in either of staff's witnesses' work.

21 Q. On page 4, line 15, and on page 5, line  
22 2, you use the word "stranded cost." Tell me what  
23 you mean there.

24 A. That's Mr. Lesser's term.

25 Well, on page 4 it's not in quotes. Page

1 5 it is in quotes. But in any event it's in your  
2 testimony. Tell me what you mean.

3 A. In this particular instance I certainly  
4 don't agree there is any stranded costs so, again,  
5 maybe I should have left the first time used in  
6 quotes. But there's no stranded costs in this  
7 proceeding.

8 Q. And no trapped costs either?

9 A. Now, we just discussed the trapped costs.

10 Q. So in your view there's no trapped costs  
11 raised by the staff's energy margin calculation?

12 A. No, that's not what I said. I described  
13 why there is trapped costs.

14 Q. Okay.

15 A. And it's fairly limited. If you want to  
16 call it something else, I'm agreeable other than  
17 stranded costs.

18 Q. Well, on page 15 -- excuse me. Page 6,  
19 line 15, you use the word "confiscation." Tell me  
20 what you mean by the word "confiscation."

21 A. Confiscation in general terms is taking  
22 something that you're not entitled to without due  
23 compensation.

24 Q. That's your understanding of the term.

25 A. That will do.



1           Q.    Okay.  Now, did you discuss with anybody  
2   in the financial department that you described  
3   earlier the results of an impairment analysis to  
4   identify whether the future cash flows from  
5   generating units would be adequate to provide for  
6   recovery of the costs associated with the generation  
7   fleet?

8           A.    No, I had no discussions on that topic.

9           Q.    But from what has been marked for IEU  
10   Exhibit -- IEU Exhibit No. 124, would you agree that  
11   such an analysis has been done by the financial  
12   department within AEP?

13          A.    As I said, I don't know what analysis has  
14   been done, and it's a five-page document.  I haven't  
15   read it.  I can't tell you specifically what has been  
16   done or hasn't been done.

17          Q.    Well, we got your rebuttal testimony late  
18   on Friday, and we worked all weekend to try and sort  
19   things out.  And I believe this is a very critical  
20   point.  Will you accept, subject to check, that  
21   Exhibit 124, IEU Exhibit 124, is the results of an  
22   impairment analysis that was done by AEP Ohio's --  
23   AEP's financial department for purposes of  
24   identifying whether or not revenue streams from the  
25   generating assets were adequate to recover the costs

1 of those generating assets?

2 MR. CONWAY: Your Honor, I object. He's  
3 indicated he's not familiar with the document. He's  
4 not familiar with the impairment evaluation process  
5 that might be undertaken, and I think it's  
6 inappropriate, improper to try to get him to accept  
7 subject to check, that this document does what  
8 Mr. Randazzo apparently believes it does.

9 MR. RANDAZZO: Will counsel stipulate  
10 that this document represents the results of an  
11 impairment analysis to determine whether or not cash  
12 flows in the future are adequate to recover the costs  
13 associated with generating units? We received this  
14 in discovery. It's a document from AEP. It's  
15 self-authenticating. And I believe that of all the  
16 things that the Commission should be concerned about  
17 in this proceeding is whether or not cash flows from  
18 the generating fleet are adequate to provide fair  
19 compensation to AEP.

20 MR. CONWAY: Your Honor, the first --

21 EXAMINER PARROT: Response?

22 MR. CONWAY: Excuse me?

23 EXAMINER PARROT: Response?

24 MR. CONWAY: Yes, thank you, your Honor.

25 This is the first that I have personally seen this

1 document. I'm not willing to stipulate to any  
2 particular purpose that might be put at this  
3 juncture.

4 MR. RANDAZZO: Will you present Mr. Baird  
5 and Mr. Pennino?

6 MR. CONWAY: So I object, your Honor. I  
7 object to subjecting this witness to the inquiry  
8 based on what he's said about his knowledge and  
9 background and familiarity.

10 MR. RANDAZZO: Well, I could ask that at  
11 least for impeachment purposes that what has been  
12 marked for identification purposes as IEU Exhibit No.  
13 124 be received into the record.

14 MR. CONWAY: And I would just also note  
15 that Mr. Allen was on previously and there was no  
16 discussion of this with him, no discussion at all  
17 about this document with him. And he certainly did  
18 provide some financial based testimony.

19 MR. RANDAZZO: Will you put Mr. Allen on,  
20 let me talk to Mr. Allen about this?

21 MR. CONWAY: You had your opportunity,  
22 he's been on and he's off. It's your choice.

23 EXAMINER PARROT: I believe the witness  
24 has testified he's not familiar with the document,  
25 and we'll address the admissibility of it later.

1 MR. RANDAZZO: Fair enough.

2 Q. (By Mr. Randazzo) Mr. Nelson, if you were  
3 attempting to identify whether or not a particular  
4 capacity pricing proposal was imposing financial harm  
5 on AEP Ohio, would you at least consider the opinions  
6 of the individuals within the financial department at  
7 AEP for purposes of drawing a conclusion?

8 A. If you consider all relevant input on the  
9 decision like that.

10 Q. And did you inquire of the individuals in  
11 the financial department to determine whether or not  
12 RPM pricing would result in an impairment of AEP  
13 Ohio's generating assets?

14 Mr. Nelson, you need --

15 A. I don't have to look at you. I can look  
16 over here. I'm tired of looking at you. I'm  
17 listening.

18 Q. I understand that, but it's inappropriate  
19 for you to being coached by people in the room.

20 A. I'm waiting for the objection because I  
21 think we're in the same topic here. And I told you  
22 I'm not familiar with this impairment study. Cash  
23 flow is a different thing from earnings. I don't  
24 know what relevance this has to my testimony.

25 MR. CONWAY: Your Honor, again, the

1 suggestion of -- I object to the line of questioning  
2 with this witness.

3 Q. Mr. Nelson, I'll move on. Mr. Nelson,  
4 page 7, line 6, you refer to the Aurora modeling in  
5 conjunction with your observations about the quality  
6 of the information presented by the staff witnesses.  
7 Am I correct that AEP relies upon Aurora modeling for  
8 purposes of doing its own forecasts?

9 A. In very limited applications. It's not  
10 really used for our financial forecast except for  
11 long-term analysis.

12 Q. Well, in the case of the Big Sandy -- you  
13 were in the room during the discussion of the Big  
14 Sandy?

15 A. I was.

16 Q. In the case of the testimony that was  
17 presented by -- in the testimony that was presented  
18 by Mr. Weaver in the Kentucky proceeding involving  
19 Big Sandy, isn't it true that he relied upon the  
20 Aurora model for purposes of performing the  
21 fundamental financial analysis?

22 A. I heard some discussion of Aurora. I'm  
23 not sure he relied upon it. He may have used  
24 Strategist. He may have used other models. Are you  
25 asking whether he exclusively relied on Aurora?

1           Q.    No.  I'm asking you if he relied upon  
2  Aurora modeling for purposes --

3           A.    I haven't reviewed his testimony so I  
4  can't tell you.

5           Q.    Would you like to see his testimony?

6           A.    If you want me to read the whole  
7  testimony?

8           Q.    No.  I'm kind enough to direct you to the  
9  place where he refers to the Aurora.

10           MR. CONWAY:  Your Honor, I object again.  
11  He's now attempting to have Mr. Nelson buy into  
12  whatever his view of Mr. Weaver's testimony is of  
13  what Mr. Weaver did or didn't do.  I think it's  
14  unfair and it's overbearing, and Mr. Nelson has not  
15  indicated a current familiarity with what Mr. Weaver  
16  has done so I think it's inappropriate.

17           EXAMINER PARROT:  The objection's  
18  overruled.

19           Q.    (By Mr. Randazzo) Do you know whether or  
20  not in for purposes of the Big Sandy case in Kentucky  
21  that Mr. Weaver stress tested the Strategist's  
22  resource alternative plan portfolio outcomes based  
23  upon the use of the Aurora model?

24           A.    And you said he stress tested it?

25           Q.    Yes.

1           A.     Primary forecasting was then the  
2 Strategist's model?

3           Q.     Yes.

4           A.     I'll accept that he stress tested.  
5 That's one of the things we do is always crosscheck  
6 our results, verify it, and we use several models  
7 sometimes to verify results.

8           Q.     Did you run the Aurora model for purposes  
9 of checking the information that you handed off to  
10 Mr. Meehan?

11          A.     I didn't run the Aurora model.

12          Q.     Did anybody?

13          A.     I don't know. I don't think we would  
14 have had time to run Aurora correctly, I suspect.

15          Q.     Page 8 of your rebuttal testimony, line  
16 12, these two words were thrown around quite a bit  
17 and I want to make sure that the record adequately  
18 reflects the definition. You use the word "gross  
19 margin" at line 12. Can you define what gross margin  
20 is within the AEP system?

21          A.     Yes. Gross margin is revenue minus cost  
22 of goods sold.

23          Q.     And it would be primarily fuel costs,  
24 correct, would be the cost of goods sold?

25          A.     Primarily. Depends on how you define

1 fuel. Fuel is in the eye of the beholder as we said.  
2 In different jurisdictions fuel can be broadly  
3 defined. In a FERC proceeding it's rather narrowly  
4 defined. So depends on how it's defined. As when  
5 you talked about in West Virginia, it's very broadly,  
6 so.

7 Q. Okay. On page 17, line 4, start of the  
8 answer, this is where you begin to discuss the  
9 information that you provided to Mr. Meehan, correct?

10 A. That's correct.

11 Q. And there you say you provided him  
12 detailed cost information for all of the AEP Ohio  
13 generating units, correct?

14 A. That's correct.

15 Q. And you did not provide him with detailed  
16 cost information for all of the AEP East generating  
17 units; is that correct?

18 A. That's correct.

19 MR. RANDAZZO: That's all I have. Thank  
20 you for your patience, Mr. Nelson.

21 EXAMINER PARROT: Let's go off the  
22 record.

23 (Discussion off the record.)

24 EXAMINER PARROT: Let's go back on the  
25 record. Ms. Kingery?



1 MS. KINGERY: No questions, thank you.

2 EXAMINER PARROT: Mr. Petricoff?

3 MR. PETRICOFF: Yes, your Honor, just a  
4 few questions.

5 - - -

6 CROSS-EXAMINATION

7 By Mr. Petricoff:

8 Q. Good afternoon, Mr. Nelson.

9 A. Good afternoon.

10 Q. I want to take you -- if you refer to  
11 page 11 of your rebuttal testimony, and from lines 2  
12 to 7, we talked about in the real world operation of  
13 the AEP pool freed up energy, and I just want to take  
14 you to an example getting a feeling about how this  
15 system works.

16 Let's start with are you familiar with  
17 the Gavin power plant?

18 A. Yes.

19 Q. And the Gavin power plant's owned by Ohio  
20 Power.

21 A. Correct.

22 Q. And let's say because of shopping the  
23 Gavin plant has now freed up as you use that term on  
24 line 3, and it has energy it can sell in the market.  
25 So it sells a number of megawatt hours into the

1 market, and the market price for that, it's an  
2 off-system sale, is \$100, right? Put it into a  
3 hypothetical. And how much of the \$100 initially  
4 goes back to Ohio Power?

5 A. And the \$100 is the revenue side?

6 Q. Gross revenue, right. We sold the number  
7 of megawatt hours and we got \$100.

8 A. Okay, the pool has several steps in it.

9 If the Gavin plant was one the units used  
10 for off-system sales, then the first thing is  
11 whatever unit gets used for that purpose is  
12 reimbursed its costs.

13 Q. Let's stop there, its costs. Now, its  
14 fuel expense would be a cost?

15 A. Yes.

16 Q. Operation and maintenance of its labor to  
17 run the unit, would that be a cost?

18 A. Generally it's one/half maintenance is  
19 included in the cost of the reimbursement.

20 Q. And is there any reimbursement for the  
21 generating equipment itself?

22 A. That's through the pool capacity payment.  
23 So that's not a part of the pool but like this  
24 transaction there wouldn't be specific capacity  
25 reimbursement. Off the top of my head I don't think

1 it relates.

2 Q. We'll get to there in a minute, just kind  
3 of working through. We have a unit that's making an  
4 off-system sale, got a hundred dollars. It gets its  
5 fuel costs and half its O&M. So let's say that  
6 that's \$50. Now, we have \$50 left. What happens to  
7 the additional \$50 in this example?

8 A. The \$50 would be distributed by the MLR  
9 among the member companies.

10 Q. And the MLR is based on the load in each  
11 of the participating AEP affiliates in the pool?

12 A. It's based on a formula that's the peak  
13 of the company divided by the sum of the peaks of all  
14 the companies.

15 Q. So the MLR --

16 A. It's a noncoincident peak. For example,  
17 if AEP Ohio peaked in summer, Appalachian peaked in  
18 winter, Kentucky peaked another time, we sum all  
19 those peaks for that prior 12-month period and it's a  
20 ratio.

21 Q. And it's the -- so it's the coincidental  
22 peak of all of the members in --

23 A. No, it's a noncoincident peak.

24 Q. How is that different from the 5PC test  
25 from the PJM uses?

1           A.     The 5PC test is a coincident peak with  
2     PJM's highest five peak periods. So it's coincident.  
3     For example, the example I just gave you Ohio Power I  
4     said was a summer peak. They might be coincident.  
5     Their highest peak might be during those five hours.  
6     PJM's typically a summer peaking system. APCo is  
7     likely not to be at their peak capacity during that  
8     time because they peak in the winter.

9           Q.     So for purposes of the MLR, you look to  
10    each company to see when their peak is and we sum the  
11    peaks, that's the denominator, and the numerator for  
12    each company then is what its individual peak is.

13          A.     That's correct. And it, of course, has  
14    to sum to 1.

15          Q.     So let's go back to our -- so back to our  
16    example. So we've got our \$50 worth of revenue. At  
17    that stage then Ohio Power -- let's say Ohio Power --

18          A.     And when I say revenue, you're talking  
19    about \$50 of margin.

20          Q.     Margin. In our example because we  
21    started with \$100 of revenue, now, we're with \$50 of  
22    margin. Let's say its ratio is 40 percent. Then it  
23    would get 20 of the \$50.

24          A.     That's correct.

25          Q.     So it's fair to say that under the MLR

1 system, a company that's even negative in terms of  
2 its generation needs shares in the off-system sale  
3 revenues.

4 A. That's correct. But you have to remember  
5 that, for example, let's take Appalachian Power, use  
6 that as an example as the best. They're generally  
7 very short in the pool. And so what does that mean?  
8 They still get a share of off-system sales revenue,  
9 their 30 percent, 30 percent of off-system sales  
10 margin. That doesn't quite seem fair at that point  
11 but you've got to remember that an Appalachian Power  
12 is paying -- buying capacity from AEP Ohio as well.  
13 And they are a big contributor to this 400 million we  
14 talked about earlier as a pool capacity.

15 So that entitles them to a share of the  
16 off-system sales margin. As well as we haven't  
17 talked about it yet, but they also purchase energy,  
18 primary energy from Ohio Power at cost. Those are  
19 kind of three legs of the stool, capacity, energy  
20 purchases, and sharing of the off-system sales.

21 Q. You'll agree with me that in terms of  
22 determining the \$355 requested megawatt per day  
23 capacity charge, all of the -- all of the capital  
24 necessary for the Gavin plant in my example has been  
25 included coming up with that 355 price.

1           A.     Yes.

2           MR. PETRICOFF:  I have no further  
3 questions.  Thank you, your Honor.

4           EXAMINER PARROT:  Thank you,  
5 Mr. Petricoff.

6           At this point I think we are going to  
7 break for the evening given the hour of the day.  We  
8 will reconvene tomorrow with cross-examination of  
9 this witness at 8:30 a.m. in this hearing room.

10          We are adjourned.  Thank you.

11          (Thereupon, the hearing was adjourned at  
12 6:38 p.m.)

13                               - - -

14

15

16

17

18

19

20

21

22

23

24

25

2578

## 1 CERTIFICATE

2 I do hereby certify that the foregoing is  
3 a true and correct transcript of the proceedings  
4 taken by me in this matter on Monday, May 14, 2012,  
5 and carefully compared with my original stenographic  
6 notes.

7  
8 Julieanna Hennebert, Registered  
9 Merit Reporter.

10 (KSG-5524B)

11 - - -  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

**This foregoing document was electronically filed with the Public Utilities**

**Commission of Ohio Docketing Information System on**

**5/16/2012 12:25:18 PM**

**in**

**Case No(s). 10-2929-EL-UNC**

Summary: Transcript of Commission Review of the Capacity Charges of Ohio Power Company and Columbus Southern Power Company hearing held on 05/14/12 - Volume XI electronically filed by Mrs. Jennifer Duffer on behalf of Armstrong & Okey, Inc. and Gibson, Karen Sue Mrs.