

BEFORE THE OHIO POWER SITING BOARD

- - -

In the Matter of the :  
Application of Icebreaker :  
Windpower Inc. for a :  
Certificate to Construct : Case No. 16-1871-EL-BGN  
a Wind-Powered Electric :  
Generation Facility in :  
Cuyahoga County, Ohio. :

- - -

PROCEEDINGS

before Mr. Nick Walstra and Ms. Megan Addison,  
Administrative Law Judges, at the Public Utilities  
Commission of Ohio, 180 East Broad Street, Room 11-A,  
Columbus, Ohio, called at 9:03 a.m. on Tuesday,  
September 25, 2018.

- - -

VOLUME II

- - -

ARMSTRONG & OKEY, INC.  
222 East Town Street, Second Floor  
Columbus, Ohio 43215-5201  
(614) 224-9481 - (800) 223-9481

- - -

## 1 APPEARANCES:

2 Dickinson Wright PLLC  
3 By Mr. Jonathan R. Secrest  
4 Ms. Christine M.T. Pirik  
5 Mr. Terrence O'Donnell  
6 Mr. William V. Vorys  
7 Ms. Sara Jodka  
8 150 East Gay Street, Suite 2400  
9 Columbus, Ohio 43215

10 On behalf of Icebreaker Windpower  
11 Inc.

12 Benesch, Friedlander, Coplan & Aronoff LLP  
13 By Mr. John F. Stock  
14 41 South High Street, 26th Floor  
15 Columbus, Ohio 43215

16 and

17 Benesch, Friedlander, Coplan & Aronoff LLP  
18 By Mr. Robert E. Haffke  
19 200 Public Square, Suite 2300  
20 Cleveland, Ohio 44114-2378

21 On behalf of the Intervenor W. Susan  
22 Dempsey and Robert M. Maloney.

23 Mike DeWine, Ohio Attorney General  
24 By Mr. John Jones  
25 Mr. Thomas Lindgren  
Mr. Cameron Simmons  
Ms. Ina O. Avalon,  
Assistant Attorneys General  
Public Utilities Section  
30 East Broad Street, 16th Floor  
Columbus, Ohio 43215

On behalf of the Staff of the OPSB.

- - -

APPEARANCES: (Continued)

1 Ohio Environmental Council  
2 By Ms. Miranda Leppla  
3 Mr. Chris Tavenor  
4 Mr. Trent Dougherty  
5 1145 Chesapeake Avenue, Suite 1  
6 Columbus, Ohio 43212

7 On behalf of the Ohio Environmental  
8 Council and Sierra Club.

9 Vorys, Sater, Seymour & Pease, LLP  
10 By Mr. Michael J. Settineri  
11 Ms. Gretchen L. Petrucci  
12 52 East Gay Street  
13 P.O. Box 1008  
14 Columbus, Ohio 43215-1008

15 On behalf of the Business Network for  
16 Offshore Wind, Inc.

17 Paul T. Berkowitz & Associates, Ltd.  
18 By Mr. Paul T. Berkowitz  
19 1909 Arlingate Lane  
20 Columbus, Ohio 43228

21 On behalf of the Indiana/Kentucky/Ohio  
22 Regional Council of Carpenters.

23 - - -  
24  
25

|    |                                                                |            |          |
|----|----------------------------------------------------------------|------------|----------|
| 1  | INDEX                                                          |            |          |
| 2  | - - -                                                          |            |          |
| 3  | WITNESS                                                        |            | PAGE     |
| 4  | David P. Karpinski                                             |            |          |
|    | Recross-Examination by Mr. Stock                               |            | 219      |
| 5  | Recross-Examination by Mr. Jones                               |            | 270      |
|    | Examination by ALJ Addison                                     |            | 296      |
| 6  | Caleb E. Gordon, Ph.D.                                         |            |          |
| 7  | Direct Examination by Mr. Secrest                              |            | 304      |
|    | Cross-Examination by Mr. Stock                                 |            | 307      |
| 8  | Cross-Examination by Mr. Simmons                               |            | 428      |
| 9  | - - -                                                          |            |          |
| 10 | JOINT EXHIBIT                                                  | IDENTIFIED | ADMITTED |
| 11 | 1 - Stipulation                                                | I-29       | 301      |
| 12 | - - -                                                          |            |          |
| 13 | APPLICANT EXHIBIT                                              | IDENTIFIED | ADMITTED |
| 14 | 1 - Application                                                | I-28       | 300      |
| 15 | 1A - Application (Confidential)                                | I-28       | 300      |
| 16 | 2 - Supplement to Application                                  | I-28       | 300      |
| 17 | 3 - Second Supplement to Application                           | I-28       | 300      |
| 18 | 4 - Erratum to the Second Supplement<br>to the Application     | I-28       | 300      |
| 19 | 5 - Third Supplement to Application                            | I-28       | 300      |
| 20 | 6 - Fourth Supplement to Application                           | I-28       | 300      |
| 21 | 7 - Response to First Set of<br>Interrogatories                | I-28       | 300      |
| 22 | 8 - Response to Second Set of<br>Interrogatories               | I-28       | 300      |
| 23 | 9 - Supplement to Response to Second<br>Set of Interrogatories | I-28       | 300      |
| 24 |                                                                |            |          |
| 25 |                                                                |            |          |

## INDEX (Continued)

- - -

| APPLICANT EXHIBIT | IDENTIFIED | ADMITTED |
|-------------------|------------|----------|
|-------------------|------------|----------|

|                                                                                                                                                                               |      |     |
|-------------------------------------------------------------------------------------------------------------------------------------------------------------------------------|------|-----|
| 10 - Correction to Response to Second Set of Interrogatories                                                                                                                  | I-28 | 300 |
| 11 - Response to Third Set of Interrogatories                                                                                                                                 | I-28 | 300 |
| 12 - Correction to Response to Third Set of Interrogatories                                                                                                                   | I-28 | 300 |
| 13 - Response to Fourth Set of Interrogatories                                                                                                                                | I-28 | 300 |
| 14 - Response to Fifth Set of Interrogatories                                                                                                                                 | I-28 | 300 |
| 14A- Response to Fifth Set of Interrogatories (Confidential)                                                                                                                  | I-28 | 300 |
| 15 - Response to Sixth Set of Interrogatories                                                                                                                                 | I-28 | 300 |
| 16 - Certificate of Service, 11/3/16 Public Information Meeting                                                                                                               | I-28 | 300 |
| 17 - Proof of Publication, 11/3/16 Public Information Meeting, The Plain Dealer                                                                                               | I-28 | 300 |
| 18 - Certificate of Service of the accepted, complete application on local public officials & libraries                                                                       | I-28 | 300 |
| 19 - Proof of Service of the accepted, complete application on local public officials, libraries, and each owner of property crossed and/or adjacent to the proposed facility | I-28 | 300 |
| 20 - Proof of Publication of the accepted complete application, The Plain Dealer                                                                                              | I-28 | 300 |

- - -

## INDEX (Continued)

- - -

## APPLICANT EXHIBIT IDENTIFIED ADMITTED

21 - Second Proof of Publication  
of the accepted complete  
application, The Plain Dealer I-28 300

22 - Proof of Service of the accepted,  
complete application on local  
public officials, libraries, and  
each owner of property crossed  
and/or adjacent to the proposed  
facility I-28 300

23 - Proof of Publication of the  
reestablished Procedural  
Schedule of the accepted,  
complete Application in  
The Plain Dealer I-28 300

24 - Proof of Publication and  
service of the reestablished  
Procedural Schedule of the  
accepted, complete application  
in The Plain Dealer I-28 300

25 - Direct Testimony of  
David P. Karpinski I-28 300

30 - Direct Testimony of  
Caleb E. Gordon 304 --

35 - Proof of Publication in  
Compliance with the 8/1/18  
Entry I-28 300

- - -

## STAFF EXHIBIT IDENTIFIED ADMITTED

1 - Staff Report of Investigation I-109 303

2 - Letter to Dr Diehl, 12/21/17 I-138 303

3 - Prefiled Testimony of Erin  
Hazelton 440 --

- - -

## INDEX (Continued)

- - -

## BRATENAHL RESIDENTS IDENTIFIED ADMITTED

|                                                        |      |     |
|--------------------------------------------------------|------|-----|
| 1 - Depictions of Projects<br>and Turbines             | I-44 | 302 |
| 2 - David Karpinski's Résumé                           | I-47 | 302 |
| 3 - 5/6/2016 Power Purchase and<br>Sale Agreement      | I-51 | 302 |
| 4 - Joint Stipulation and<br>Recommendation            | I-62 | 302 |
| 5 - 7/14/2018 BSBO & ABC<br>Comments to Stipulation    | I-90 | 302 |
| 6 - 3/12/2018 Letter to Gary<br>Obermiller             | 245  | 302 |
| 7 - 2/28/17 FWS & ODNR<br>Recommendations              | 324  | --  |
| 8 - 1/23/17 NEXRAD Study                               | 341  | --  |
| 9 - 11/29/16 Summary of Risks to<br>Birds and Bats     | 349  | --  |
| 10 - Pictures of Turbines                              | 381  | --  |
| 11 - Superimposed Rose Plots                           | 389  | --  |
| 12 - 10/4/17 FWS Letter                                | 401  | --  |
| 13 - 12/19/17 E-mail                                   | 408  | --  |
| 14 - 12/22/17 E-mail;<br>Letter to Dr. Diehl, 12/21/17 | 423  | --  |

- - -

1 Tuesday Morning Session,  
2 September 25, 2018.

3 - - -

4 ALJ WALSTRA: We'll go back on the record  
5 for Day 2 of Case No. 16-1871-EL-BGN, regarding  
6 Icebreaker Windpower Incorporated, and I believe  
7 Mr. Karpinski was on the stand. I will remind you  
8 you are still under oath.

9 THE WITNESS: Yes. I understand.

10 ALJ WALSTRA: I believe we were doing  
11 recross with Mr. Stock.

12 MR. STOCK: Yes, thank you.

13 - - -

14 DAVID P. KARPINSKI  
15 being previously duly sworn, as prescribed by law,  
16 was examined and testified further as follows:

17 RECROSS-EXAMINATION

18 By Mr. Stock:

19 Q. Mr. Karpinski, when you were -- when you  
20 first took the stand, you understand you were placed  
21 under oath when you were giving direct examination,  
22 correct?

23 A. Yes.

24 Q. All right. And then I cross-examined you  
25 before we took our lunch break yesterday at 1:15. Do

1     you remember that?

2             A.     Yes, yes.

3             Q.     And we recessed, and you understood you  
4     were still under oath when we recessed, correct?

5             A.     Yes.

6             Q.     Now, during the lunch break, did you  
7     consult with anybody about your testimony?

8             A.     My attorneys.

9             Q.     Okay. How about any of the witnesses  
10    that are going to be called for Icebreaker?

11            A.     They were in the room when I was talking  
12    to my attorneys about the testimony.

13            Q.     Okay. Were they -- were they involved in  
14    the discussion as well?

15            A.     They may have been to some extent, but  
16    the focus was my attorneys.

17            Q.     Okay. Did you discuss the probable  
18    cross-examination to come by Mr. Jones?

19            A.     Just --

20            MR. SECREST: Let me note an objection to  
21    the extent that would involve attorney-client  
22    privileged information. He's testified counsel was  
23    present.

24            MR. STOCK: He's consulting while he is  
25    under oath and still on the stand. Under evidence

1 Rule 611, I am entitled to inquire into all matters  
2 regarding credibility, and if I am getting group  
3 testimony or group think, I'm entitled to find that  
4 out.

5 MR. SECREST: He is not entitled to find  
6 out the substance of communications where counsel is  
7 present and that is exactly what he is asking by that  
8 question.

9 ALJ WALSTRA: I'll allow the question  
10 but, as to the substance, I think that is -- should  
11 remain confidential.

12 Q. Okay. So my question was, did you  
13 discuss the probable cross-examination to come by  
14 Mr. Jones?

15 A. In general terms.

16 Q. Okay. Now, did you review any documents?

17 A. No.

18 Q. Okay. Did you take with you the exhibit  
19 binder I had used on cross-examination?

20 A. No. That remained here at the stand.

21 Q. Okay. We then had a break at around  
22 4 o'clock yesterday. You were still on the stand.  
23 You understood you were still under oath, correct?

24 A. Yes.

25 Q. Did you discuss your testimony with

1 anyone at that point?

2 A. My counsel.

3 Q. Okay. Did you review any documents?

4 A. No. I don't believe I did.

5 Q. Okay. At adjournment, yesterday  
6 afternoon, you understood you were still under oath  
7 and were going to be testifying this morning,  
8 correct?

9 A. Yes.

10 Q. Did you have any discussions with anyone  
11 about your testimony?

12 A. Yes. Again, my counsel.

13 Q. Okay. Did you review any documents?

14 A. No.

15 Q. Okay. Now -- and correct me if I  
16 misstate what some of your testimony was yesterday  
17 because it was yesterday and, at my doddering age, my  
18 memory isn't as good as maybe it should be. Did I  
19 understand you to testify yesterday that -- you  
20 testified about the expense and I think you mentioned  
21 a 9-million-dollar figure to place a fixed platform  
22 out at the project site and put a radar unit on it,  
23 was that --

24 A. Yes.

25 Q. Correct? The gist of it? Did you also

1     testify to the effect that using a vessel, a platform  
2     that would float and have a radar unit on it, would  
3     be more economical and would still provide valid  
4     avian radar data?

5             A.     Yes, I did, and that was also one of the  
6     conclusions of the Diehl Report.

7             Q.     Okay.

8             A.     And U.S. Fish and Wildlife.

9             Q.     Okay. That's what I thought you said.

10            Now, I thought you also said that there  
11     were some European studies that had confirmed that  
12     placing avian -- an avian radar unit on a vessel, a  
13     floating platform, could provide valid data. Did  
14     you?

15            A.     So my recollection is I didn't -- I  
16     didn't -- I don't believe I said there were studies.  
17     I believe what I said was it's been done in Europe  
18     for some time and it's an accepted practice to do  
19     such studies on floating -- floating vessels.

20            Q.     So you were not testifying that there  
21     were studies that exist in Europe to corroborate that  
22     an avian radar unit on a floating vessel will provide  
23     valid data.

24            A.     Right. That's what I testified. I would  
25     say that, you know, what I did testify to is that

1 it's been used in Europe for some time. What I would  
2 add today is, what I also know is part of the German  
3 regulatory regime that specifies that vessel-based  
4 radar is an acceptable use to such pre-construction  
5 sites.

6 Q. But you're not testifying here -- well,  
7 you are not an expert in avian radar, correct?

8 A. No. We established that yesterday.

9 Q. Okay. All right. So you're not  
10 testifying here today that there exists a study  
11 anywhere that confirms that the use of an avian radar  
12 unit on a floating vessel provides valid data.

13 A. Again, I'm not -- I'm not testifying of  
14 any specific studies I'm aware of. I'm just  
15 testifying of the knowledge of this being used in the  
16 European market.

17 Q. Okay.

18 A. Yeah.

19 Q. Now, I think you just repeated to me that  
20 Mr. Robert Diehl has confirmed that the use of avian  
21 radar on a floating vessel, for this project, will  
22 produce valid data regarding bird use of the project  
23 site; is that correct?

24 A. That's my understanding, yes.

25 Q. Okay.

1           A.     The way I read the report.

2           MR. STOCK:   May I approach the witness?

3           ALJ WALSTRA:   You may.

4           Q.     (By Mr. Stock) Mr. Karpinski, I've handed  
5     you what I've marked as Exhibit 6. I know Mr. Jones  
6     used this document, I believe, in his  
7     cross-examination as well. This is a report, an  
8     evaluation that was prepared by Robert Diehl for  
9     LEEDCo, correct?

10          A.     Yes.

11          Q.     Okay. LEEDCo paid him to perform these  
12     services and present the report, correct?

13          A.     Actually we never -- there was never any  
14     fee paid for this report. I would also add that the  
15     report says prepared for LEEDCo. It was also done in  
16     cooperation with -- with ODNR and U.S. Fish and  
17     Wildlife. It was never executed, but the  
18     understanding was he was an objective party brought  
19     in to help all three parties kind of come to some  
20     understanding here.

21          Q.     Well, on the front page, who does it say  
22     it was prepared for?

23          A.     It says -- it says Lake Erie Energy  
24     Development Corporation. I just testified, though,  
25     that there were other factors that -- that -- beyond

1     what he wrote on the front page of the report.

2             Q.     Yes.  I heard what you testified to, but  
3     where in this report does it say it was prepared for  
4     anybody else?

5             A.     It doesn't say in this report.

6             Q.     Okay.  Thank you.

7                     Now, if you take a look at -- well, let's  
8     get some background here.  Icebreaker was soliciting  
9     proposals from vendors to provide a proposed  
10    methodology for them to conduct an avian radar study  
11    at the project site using a radar unit on a floating  
12    vessel, correct?

13            A.     Yes.

14            Q.     Okay.  And Mr. Diehl was retained to  
15    evaluate those proposals, correct?

16            A.     A portion of his scope was to evaluate  
17    the proposal.  A portion of his scope was to evaluate  
18    the overall concept of vessel-based radar as a viable  
19    option for pre-construction sites.

20            Q.     Okay.

21            A.     Part of that, then, involved looking at  
22    the specific proposals we solicited, in making some  
23    comment and evaluating those.

24            Q.     Okay.  All right.  And this is his  
25    report, correct?

1           A.    Yes.

2           Q.    Are you aware of a different report that  
3 he prepared?

4           A.    No.

5           Q.    Okay. Now, I want you to take a look at  
6 page 1, the second full paragraph.

7                   It reads here: "Initial examination of  
8 these criteria...." And the criteria are mentioned  
9 in the first paragraph. I'll read the criteria into  
10 the record so we have a full record:

11                   "Among the most important criteria are  
12 concern over the ability to gather data on  
13 altitude-specific migration traffic rate or density  
14 and behavioral response to turbine presence (pre-  
15 versus post- construction), and the ability to do so  
16 with high reliability while avoiding contamination by  
17 clutter, primarily from insects and the lake  
18 surface." Did I read that correctly?

19           A.    Yes.

20           Q.    Now, let's go down to paragraph 2.

21                   "Initial examination of these criteria"  
22 followed the feel -- "narrowed the field" -- excuse  
23 me -- "to two options referred to as VendorA and  
24 VendorC (Option 2). For reasons expanded upon below,  
25 VendorA proposed the approach most likely to succeed

1 among vendor responses and other information provided  
2 that forms the basis of this evaluation. This should  
3 not be taken to mean VendorA's approach is not  
4 without concern, particularly over the ability to  
5 track targets in an offshore setting where sea  
6 clutter will likely pose a persistent problem that is  
7 magnified by a rolling and pitching barge."

8 Did I read that correctly?

9 A. Yes.

10 Q. Now, how are persistent -- how is the  
11 persistent problem, like sea clutter, magnified by a  
12 rolling and pitching barge?

13 MR. SECREST: Objection, outside the  
14 scope.

15 MR. STOCK: He testified -- he gave his  
16 opinion that Mr. Diehl had opined that the use of  
17 radar on a floating platform at this site would  
18 provide valid data. We are now -- I'm now testing  
19 the basis of his knowledge or the foundation for that  
20 opinion he rendered under oath.

21 MR. SECREST: He was questioned about  
22 Mr. Diehl's opinion. Now he is being questioned  
23 about his opinion as to what can reduce sea clutter  
24 and that's outside the scope of his testimony.

25 ALJ WALSTRA: Overruled.

1 MR. STOCK: Thank you.

2 A. So I am not a radar expert. I don't  
3 understand the technical aspects of how you -- how  
4 you manage sea clutter, insects as well. I think he  
5 goes on to say, later, that he suggested numerous  
6 approaches that could mitigate some of those  
7 concerns.

8 Q. Well, let's focus right now -- we are  
9 going to go paragraph by paragraph, so we'll get to  
10 "later." But in this paragraph, you don't know what  
11 he's referencing as to why a -- why a persistent  
12 problem like sea clutter would be magnified by a  
13 rolling and pitching barge, correct?

14 A. I think you are asking me, I don't know  
15 why it's a problem or?

16 Q. Yeah. Why -- you don't know why a  
17 rolling and pitching barge would exacerbate, as he  
18 says, magnify problems of sea clutter, right?

19 A. From my -- my judgment is based on my  
20 experience, trying to measure something, and if the  
21 base is moving a little bit, it causes issues.

22 Q. Right.

23 A. Not that those issues can't be addressed  
24 in certain ways, but that's kind of intuitive that  
25 that would cause some problems that would be -- that

1 would be -- introduce variables that aren't in an  
2 area where it's not moving.

3 Q. All right. And can we agree that there's  
4 no language in this paragraph of the report that --  
5 in which Mr. Diehl opines that the use of a floating  
6 barge by Icebreaker, out at the site, with a radar  
7 unit on it, will provide accurate data?

8 A. In this paragraph, no. But this is a  
9 report that has many other aspects. And taking it  
10 one paragraph at a time, I wouldn't expect it to be  
11 in that paragraph actually.

12 Q. Okay. All right. The next paragraph  
13 reads: "Owing to perceived shortcomings of vendor  
14 responses, the report concludes by seeking to  
15 identify an approach to address the challenge of  
16 monitoring vertebrate behavior in an offshore setting  
17 that would increase the likelihood of gathering  
18 useful data."

19 So is it correct that Mr. Diehl found  
20 shortcomings in the responses of every vendor?

21 A. That --

22 MR. SECREST: Objection, speculation.

23 A. He recommended -- he recommended.

24 ALJ WALSTRA: Hold on.

25 THE WITNESS: Oh, sorry.

1                   ALJ WALSTRA: He can answer if he knows.

2                   A. I think he had recommendations on how to  
3 make these better. I think he ranked the vendors,  
4 which is a common thing to do in any evaluation. So  
5 I think he did his job and evaluated and ranked them  
6 as the way he saw their ability to meet the  
7 requirements.

8                   Q. Let's turn to page 10. At the top of the  
9 page, first paragraph. "As an alternative to  
10 construction of a fixed platform, vendors could mount  
11 just the radar to a stabilizing gimbal fastened to  
12 the barge. Vendors do not advocate such an approach,  
13 presumably owing to cost and complexity, and an  
14 evaluation of the costs and benefits of adopting this  
15 approach is beyond the scope of this evaluation.  
16 Motion of the platform will necessarily introduce  
17 errors into all movement-based radar metrics." Do  
18 you see that?

19                  A. Yes.

20                  Q. Okay. I read that correctly into the  
21 record, did I not?

22                  A. Yes.

23                  Q. All right. And the purpose of this radar  
24 is to track the movement of birds in the project  
25 site, right?

1           A.    Yes.

2           Q.    Okay.

3           A.    But I look at the second half, that you  
4 failed to mention, that those biases average out over  
5 time, and the principle of this can be corrected,  
6 which I think is an important aspect to that whole  
7 paragraph taken in total.

8           Q.    All right. Well then, let's read that  
9 into the record. I don't want you to think we have  
10 an incomplete record here.

11                   "Although these would tend to average out  
12 assuming no systematic bias in barge movement,  
13 certain observations of individual movements may be  
14 more sensitive to barge motion (e.g., the movements  
15 of animals in the vicinity of turbines in a  
16 post-construction study)." Did I read that  
17 correctly?

18           A.    Yes.

19           Q.    "The effects of barge movement on  
20 radar-determined animal movement data can in  
21 principle be corrected by sampling the three axes of  
22 a vessel-mounted gimbal or inertial measurement unit  
23 and use those data to adjust target position  
24 observations." Is the proposed radar unit going to  
25 have a gimbal-mounted inertial measurement unit?

1           A.    It's my understanding the proposed  
2    solution is to have some mechanism to measure the  
3    inertial movements in the three axes, yes. I don't  
4    know exactly what specifically they are proposing.

5           Q.    Page 18. "Advantages." Excuse me, above  
6    that. Just above that. "VendorA's response to the  
7    RFI was the most thorough of all the vendors and  
8    generally addresses the relevant issues (although I  
9    was surprised by the large number of minor  
10   grammatical errors). VendorA has experience with  
11   radar-based monitoring in relation to wind energy but  
12   not in offshore settings." Is that correct?

13          A.    That's what that report says, yes.

14          Q.    Do you have any reason to disagree with  
15   that?

16          A.    No.

17          Q.    Okay. Page 19, second bullet.  
18   "VendorA" -- and VendorA is Accipiter, isn't it?

19          A.    I don't know offhand, sir. I don't  
20   recall if that was VendorA or not.

21          Q.    Is Accipiter the chosen vendor?

22          A.    They are the preferred vendor at this  
23   point, yes.

24          Q.    Okay. They have not been chosen though?

25          A.    There's been no contract awarded, no.

1 Q. Okay.

2 A. No.

3 Q. So, at this point, there is no vendor who  
4 has been contracted by Icebreaker to perform the  
5 avian radar study at the project site?

6 A. No, we have no agreement on what has to  
7 be done yet, so it would be -- it would be kind of  
8 premature to contract with a vendor at this stage  
9 until we have an agreement on the protocol.

10 Q. Okay. I want to go to bullet point 2.  
11 The second bullet point, rather, on page 19.

12 "VendorA and their equipment are untested  
13 operating in offshore environments, so there is the  
14 greater risk of otherwise avoidable problems  
15 occurring during operation. The vendor addresses  
16 many of the known challenges, so the risk is likely  
17 relatively minor." Did I read that correctly?

18 A. Yes.

19 Q. "The capacity for VendorA to elevate  
20 their antenna may reduce clutter but is unlikely to  
21 eliminate it sufficient to reliably enable data  
22 collection on horizontal and altitudinal movements";  
23 is that correct?

24 A. That's correct.

25 Q. All right.

1           A.    I would also add I'm aware those are the  
2   same issues you would face on a fixed platform, the  
3   waves, as I testified yesterday.  Some of the issues  
4   are going to be the same on a fixed platform or  
5   floating platform.

6           Q.    But you don't render that opinion based  
7   upon any expertise with radar, correct?

8           A.    Based on what I understand from reading  
9   these reports.

10          Q.    All right.  Let's go to his conclusions  
11   on page 23.  "Far too many unknowns are present to  
12   anticipate the outcome of radar work in relation to  
13   this project."  Do you see that?

14          A.    Yes.

15          Q.    That is not a conclusion by Mr. Diehl  
16   that use of a floating vessel with a radar unit on  
17   it, at the project site, will provide valid data,  
18   correct?

19                MR. SECREST:  Objection, speculation.  
20   The document speaks for itself.

21                ALJ WALSTRA:  Overruled.

22          A.    You know, again, that's one sentence in  
23   the context of this -- of this 30-page study --

24          Q.    Okay.

25          A.    -- report.  So I'm --

1           Q.    It's the first sentence of his  
2 conclusion, right?

3           A.    But it's not the only part of his  
4 conclusion, sir, yes. But it is the first sentence,  
5 I agree.

6           Q.    All right. "Use of a barge" -- the  
7 second sentence of his conclusions. "Use of a barge  
8 magnifies an already existing problem, that seas will  
9 introduce clutter into radar data. I read that  
10 correctly, right?

11          A.    Yes, you did.

12          Q.    And as you discussed before, you don't  
13 know how the fact that we have a moving barge will  
14 magnify those problems, correct?

15          A.    Yes. I don't understand all the dynamics  
16 of the technology.

17          Q.    Okay. Now, let's go to page 27.

18          A.    I guess I would like to come back and  
19 clarify what I mean about this fixed versus float.  
20 On page 25, his report addresses the fact that these  
21 sea clutter issues are present on a fixed platform as  
22 well. It's in his report on page 25.

23          Q.    Right. Sea clutter will happen with a  
24 fixed platform, but he has said, in at least two  
25 places, that use of the rolling platform will magnify

1     that problem, correct?

2             A.     I believe he also said there are ways to  
3     compensate for that, adjust for that.

4             Q.     And does he say anywhere that the data  
5     that will be produced from an avian radar unit on a  
6     floating platform at the project site will provide  
7     valid data?

8             A.     He says it's likely that it will produce  
9     viable data given the recommendations he's  
10    suggesting.

11            Q.     Okay.  Where -- okay.  Show us where he  
12    says that.

13                   ALJ WALSTRA:  Let's go off the record.  
14                   (Off the record.)

15                   ALJ WALSTRA:  We will go back on the  
16    record.

17            A.     So on page 24, at the bottom, I think he  
18    says that "In sum, VendorA proposes the approach most  
19    likely to succeed among the vendor responses...."  He  
20    says there are still some concerns and he recommends  
21    several things that address those concerns.

22            Q.     So that language is the basis for your  
23    conclusion that Mr. Diehl has opined that the use of  
24    a floating vessel on which the radar will sit at the  
25    project site will produce valid data?

1           A.    Yes, that's what he says, that it's  
2   likely to produce viable data.

3           Q.    Okay.  Let's take a look at the language  
4   on page 26, "Alternative Configurations."  He says  
5   there in the first sentence, does he not, "None of  
6   the proposed radar configurations" -- and he is  
7   talking about the radar configurations proposed by  
8   the vendors -- "is without shortcomings," correct?

9           A.    That's what he says, yes.

10          Q.    "...indeed, it is difficult to envision  
11   any reasonable scenario that does not bring some  
12   limitation."  Did I read that correctly?

13          A.    Yes.

14          Q.    Okay.  Then on page 27, under "Adaptable  
15   sampling."  "None of the vendor options  
16   satisfactorily addresses all the challenges such  
17   operations face in an offshore context and in other  
18   settings as well."

19          A.    Again, you read that well.  I would just  
20   continue to point out this is a comprehensive study  
21   and picking out a sentence at a time is challenging  
22   to build a case.  The whole report has to be taken in  
23   total.

24          Q.    Well, you were rendering an opinion, even  
25   though you don't have expertise in avian radar, and I

1 wanted to -- as to what Mr. Diehl had concluded, and  
2 I wanted to test that.

3 MR. SECREST: Move to strike.  
4 Argumentative.

5 ALJ WALSTRA: Overruled.

6 Q. Now, page 28, this comment at the bottom  
7 of the page, the last sentence precede -- or follows  
8 some sampling information that he recommends, that is  
9 Mr. Diehl. He says, at the bottom, "I am unaware of  
10 any vendors, including those not responding to this  
11 RFI, capable of implementing such a strategy in the  
12 near term." Did I read that correctly?

13 A. Yes. Can you clarify what "such a  
14 strategy" is referring to? I believe there is quite  
15 a bit of discussion above that.

16 Q. Well, you can read that. It's all under  
17 "Adaptive sampling." If you want to take a minute to  
18 read it, go ahead.

19 A. I am agreeing that's what the sentence  
20 says, but "such a strategy," I am not sure if there  
21 is any other question there beyond verifying that's  
22 what the report says.

23 Q. You can put that aside now.

24 I want to make sure I understand your  
25 testimony further. Did you also tell us that Fish

1 and Wildlife Service had concurred that the use of a  
2 vessel-based radar -- vessel-based avian radar unit  
3 floating on the Lake at the project site would  
4 produce valid data?

5 A. I believe that's in the March -- the  
6 March letter refers to that.

7 MR. STOCK: May I approach?

8 ALJ WALSTRA: You may.

9 Q. Before we get to the March letter, I've  
10 handed you what I've marked as --

11 ALJ WALSTRA: I believe this has actually  
12 already been marked as Staff Exhibit 2.

13 MR. STOCK: All right. This will be our  
14 Exhibit 7.

15 ALJ WALSTRA: We can keep it Staff  
16 Exhibit 2.

17 MR. STOCK: All right. We can call it  
18 whatever you want. That's fine.

19 ALJ WALSTRA: That's correct.

20 Q. (By Mr. Stock) Now, are you familiar with  
21 this letter?

22 A. Generally, yes.

23 Q. Okay. This letter was a direct response  
24 to Mr. Diehl's report that we just went over, was it  
25 not?

1           A.    Yes, that's the case.

2           Q.    Okay.  Mr. Diehl --

3                    "Dear Dr. Diehl:

4                    "Following the U.S. Fish and Wildlife  
5 Service's...comments on the Evaluation" -- "Following  
6 are" -- excuse me.

7                    "Following are the U.S. Fish and Wildlife  
8 Service's...comments on the Evaluation of Icebreaker  
9 Wind project vendor proposals for radar-based  
10 monitoring of flying animals.  We received the draft  
11 report on December 14, 2017 and comments were  
12 requested by December 20, 2017.  Given the short  
13 time-frame, this is a summary of our major concerns  
14 with the report along with some specific examples."  
15 I read that correctly, did I not?

16          A.    Yes, you did.

17          Q.    Let's turn to page 2.  The last  
18 paragraph, the first sentence.  "Chief among our  
19 concerns is that the evaluation was limited to  
20 options using a non-stable platform.  This technique  
21 has not been used in a long-duration study...."  You  
22 have no basis to refute that, do you?

23          A.    No.  There's never been an offshore wind  
24 farm done in the Lakes that would require such a  
25 study, so we are going to be the first ones.

1           Q.    It then reads, further down in the  
2 paragraph: "It is likely that any of these systems  
3 would perform better on a stable platform, but this  
4 option was not considered." Did I read that  
5 correctly?

6           A.    Yes, you did. That was -- that was the  
7 opinion in the December 2017 letter and later it was  
8 modified in the March letter. We didn't agree with  
9 that position, but this was their position. We  
10 didn't agree with that.

11          Q.    And ODNR and Fish and Wildlife Service  
12 had been telling LEEDCo and Icebreaker, since 2008,  
13 to place a unit on a fixed platform out at the  
14 project site, correct?

15          A.    I don't know about "since 2008." I can  
16 say that -- that the initial desire was to place a  
17 fixed platform at the project site. We had much  
18 discussion about the ramifications of that and the  
19 alternatives to that. But the dialogue went on for a  
20 long period of time. That dialogue kind of  
21 culminated in a case where -- where all three parties  
22 were -- could reach a consensus where we all agreed  
23 on something and then we agreed to bring in Robb  
24 Diehl to render his opinion as an objective kind of  
25 outside party. He did that in the Diehl Report.

1           And we believe that the Diehl Report and  
2           our radar experts will testify later that the Diehl  
3           Report supported the fact there is a high likelihood  
4           -- a likelihood that we can get good data from a  
5           floating platform. There are also problems with a  
6           fixed platform at the site. We made that case to the  
7           Fish and Wildlife Service. In the March letter,  
8           they, I think, concurred that it's -- that there's a  
9           likelihood we can get good data with a floating  
10          platform at the project site.

11          Q.    All right.

12          A.    So it was a long process that evolved,  
13          with a lot collaboration with many parties, many  
14          discussions, much information back and forth, lots of  
15          dialogue that kind of led to this point where we are  
16          now.

17          Q.    Well, as of -- as of this December 21,  
18          2017, letter, the Fish and Wildlife Service is not  
19          saying they accept any conclusions of the Diehl  
20          Report, are they?

21          A.    In this letter as of December 27 -- or  
22          December 2017, that's correct.

23          Q.    All right.

24          A.    Again, later, this isn't the end of the  
25          story, I would point out, and there was a subsequent

1 chapter that I think is very important in the March  
2 letter.

3 Q. Oh, we'll get to the March letter. But,  
4 right now, I want to talk about this letter. Let's  
5 turn to page 3, the carryover paragraph. "The  
6 Service is unaware of radar studies that successfully  
7 used a floating platform for offshore studies."  
8 That's the position the Fish and Wildlife Service  
9 took, correct?

10 A. Yes, that's their position, yes.

11 Q. Okay. Let's go down to the second,  
12 third, fourth paragraph. Third sentence. "All  
13 systems proposed by LEEDCo's respondents were  
14 engineered for use on land or a stable platform."  
15 That's correct, isn't it?

16 A. I --

17 MR. SECREST: Objection, speculation.

18 A. I can't speak to that. I don't know the  
19 details of the development of all the vendors' radar  
20 systems.

21 Q. Okay.

22 MR. STOCK: Can I have a minute? I need  
23 to see if I can find -- if I have prepared multiple  
24 copies of the March 12 letter.

25 ALJ WALSTRA: Go ahead. If it helps,

1 Mr. Stock, I think we have a copy of the letter in  
2 the motion to quash.

3 MR. STOCK: Yeah. That's where I got it  
4 actually. I appreciate that. I apologize. I just  
5 need a minute to regroup here. If I may approach?

6 ALJ WALSTRA: You may.

7 MR. STOCK: And this will be 8? Or 7?

8 ALJ WALSTRA: I think technically 6.

9 MR. STOCK: 6, okay. Thank you.

10 (EXHIBIT MARKED FOR IDENTIFICATION.)

11 Q. (By Mr. Stock) Mr. Karpinski, have you  
12 had a chance to review the letter?

13 A. Yes.

14 Q. Okay. You've referenced this letter a  
15 couple of times as setting forth, as I understand  
16 what you were saying, Fish and Wildlife's  
17 acknowledgment that use of an avian radar unit on a  
18 floating platform at the project site will produce  
19 valid data; is that what you were telling us?

20 A. Yes.

21 Q. Okay. What language in the letter says  
22 that?

23 A. "However, both proposals have the  
24 potential to contribute meaningfully to migratory  
25 bird and bat exposure data for the project."

1           Q.    All right. Well, let's get some context  
2   for that. It reads above that: "Accipiter" -- and is  
3   that the favored vendor at this point?

4           A.    Yes, yes.

5           Q.    All right. " -- provided LEEDCo with a  
6   second proposal that would include placing the radar  
7   on a fixed platform, at a water intake crib a few  
8   miles offshore." Is that true?

9           A.    That's right.

10          Q.    Okay. When did they make that proposal?

11          A.    It was -- it was sometime after this --  
12   after the December letter, I think. I am really not  
13   sure. I would also point out we had proposed putting  
14   radar on that crib years ago with ODNR. It was kind  
15   of not accepted by ODNR at that time because the  
16   requirement was it had to be at the project site and  
17   the crib was not at the project site. So this  
18   actually kind of comes back to a proposal we made  
19   early on that opened the door back up to say, well,  
20   maybe that is a viable site to collect this  
21   pre-construction data from.

22          Q.    Okay.

23          A.    And that both these proposals, the  
24   vessel-based radar and the crib, would offer  
25   solutions that were meaningful and contribute to

1 this, which in my interpretation means collect the  
2 data we are all trying to collect, to answer the  
3 questions we are all trying to answer.

4 Q. Okay. So let's read the next sentence.  
5 "The Service believes both proposals have trade-offs.  
6 (i.e., vessel based at the project site versus fixed  
7 platform several miles away) and uncertainties  
8 related to data collection and interpretation."

9 You are not suggesting that their  
10 language that both -- that vessel-based radar at the  
11 project site having uncertainties related to data  
12 collection and interpretation is a conclusion by Fish  
13 and Wildlife Service in this letter that, in fact,  
14 vessel-based radar will produce valid data, correct?

15 A. I think they are saying it has the  
16 likelihood of producing useful data that can inform  
17 this decision and we've -- the questions have been  
18 clear for a long time on what the pre-construction  
19 radar study is trying to address. I think their  
20 statement says these solutions have the likelihood of  
21 being able to contribute to this by answering those  
22 questions. The way I interpret that to mean is by  
23 contributing to this, "contribute meaningfully" means  
24 answering these questions.

25 Q. You are talking about the next sentence.

1 I am talking about this sentence. Let's -- let's  
2 concentrate on this language. I know what you want  
3 to tell me, I've heard it a couple of times, but I  
4 want to talk about what this sentence says.

5 "The Service believes both proposals have  
6 trade-offs." One of the proposals specifically  
7 identified there is "vessel based at the project  
8 site." And that's what's being proposed, correct?

9 A. Yes.

10 Q. All right. And it says -- what are the  
11 tradeoffs? Uncertainties related to data collection  
12 and interpretation; is that not correct? Isn't that  
13 what the Fish and Wildlife Service said, that there  
14 are uncertainties related to data collection and  
15 interpretation?

16 MR. SECREST: Objection. The document  
17 speaks for itself.

18 ALJ WALSTRA: Overruled.

19 A. That's what the document says. It says  
20 there are uncertainties with both.

21 Q. Okay.

22 A. I think it's -- you know, there are  
23 always tradeoffs and uncertainties in everything  
24 that's done in the engineering world, so it's not  
25 surprising that they would conclude this is not a

1 100-percent-guaranteed solution with no risk of any  
2 questions or uncertainties. So I think it's very  
3 consistent with state-of-the-art engineering  
4 principles.

5 Q. And so then -- and the next sentence,  
6 "However, both proposals have the potential to  
7 contribute meaningfully to migratory bird and bat  
8 exposure data for the project." That sentence is the  
9 basis for your conclusion that Fish and Wildlife  
10 Service has concluded that the use of vessel-based  
11 radar, at the project site will, in fact, produce  
12 valid data; is that correct?

13 A. Yeah. I think it's their opinion. It  
14 hasn't been done yet, so they can't say it has  
15 contributed meaningfully. I think their opinion is  
16 that it can and it has the potential to do so, but  
17 they can't say definitively until we actually perform  
18 the study and have the results.

19 Q. Okay. Thank you.

20 Now, I understood you also to testify on  
21 redirect yesterday that one of the benefits of this  
22 project is that it would be good for the environment.

23 A. Yes.

24 Q. Okay. And I think specifically you said,  
25 did you not, it would help to clean the air by

1 displacing fossil-fuel-fired electricity generation;  
2 is that correct?

3 A. Yes.

4 Q. Okay. Now, you also acknowledged  
5 yesterday, and it's set forth expressly in the PPA,  
6 excuse me, Power Purchase Agreement, that wind energy  
7 is intermittent, right?

8 A. Yes. That's -- that's a commonly  
9 accepted fact, yes.

10 Q. Well, sure. When the wind doesn't blow,  
11 there is no electricity being produced, right?

12 A. That's right.

13 Q. All right. So in the PJM electric grid  
14 system, wind energy is not used for baseload energy  
15 production, is it?

16 A. That's correct, yes. It's not considered  
17 baseload by definition.

18 Q. Right.

19 A. It's not considered baseload.

20 Q. Now, are you aware that in the PJM  
21 system, PJM attributes an average capacity factor to  
22 wind-generated electricity of 17.6 percent?

23 MR. SECREST: Objection, outside the  
24 scope and relevance.

25 MR. STOCK: He was allowed to testify,

1 over my objection, as to all these flowery benefits  
2 that are going to occur, and one of them, he said,  
3 was to clean the air. Now we are going to talk about  
4 whether or not this project is going to help clean  
5 the air. I asked that the testimony not be admitted.  
6 It was admitted.

7 ALJ WALSTRA: Yeah, I believe that door  
8 was opened. Go ahead.

9 MR. STOCK: Thanks.

10 A. So the question is, am I aware that PJM  
11 assigns a capacity factor of 17 percent?

12 Q. An average capacity factor of  
13 17.6 percent -- 17.6 percent for wind-generated  
14 electricity.

15 A. So my understanding of that -- of that  
16 point, Mr. Stock, is that it's not the -- sometimes  
17 we talk about capacity factor as the percentage of  
18 the -- of the average output of a wind farm to its  
19 nameplate capacity and that's not what PJM is  
20 referring to there.

21 What PJM is referring to in that  
22 statement is that -- is that they, in their capacity  
23 market, which is one of the several markets that PJM  
24 operates, where generators can bid in capacity such  
25 as a wind farm or a coal plant or nuclear plant, that

1 they only allow those bidders to bid in, on average,  
2 17 percent of the nameplate capacity of the wind  
3 farm. So just a clarification, it's not really the  
4 capacity factor of the wind farm. It's the capacity  
5 that PJM has determined that they will accept in  
6 their market for capacity.

7 Q. Right. So, hypothetically, if a  
8 wind-turbine project connected to the PJM system has  
9 a nameplate capacity of 100 megawatts, they'll  
10 credit, if you will, on average, a capacity factor of  
11 17.6 megawatts, correct?

12 A. I wouldn't use that terminology that they  
13 would "credit." I would say they would allow you to  
14 bid into the capacity market up to that point.

15 Now, the capacity market functions as a  
16 competitive market. Depending on the price you bid,  
17 you may or may not be selected into that market.

18 I would also point out there is a whole  
19 other market of the energy. So the actual energy  
20 produced by the wind farm is different than this  
21 average capacity that PJM has allotted for wind. So,  
22 in a given hour, a wind farm could produce  
23 100 percent of its nameplate; another hour, it could  
24 produce less.

25 So the actual energy produced, which is

1 really where my comments about the healthy  
2 environment come in, is that it does produce much,  
3 much more than 17 percent of the nameplate, on  
4 average.

5 Q. But, on average, the PJM system will  
6 allow an energy -- a wind-turbine energy project to  
7 bid in 17.6 percent of its nameplate capacity,  
8 correct?

9 A. So, again, we have to be clear about the  
10 two parts of the market. So the capacity market for  
11 PJM, that's correct, but the energy market, which is  
12 the market where energy that's consumed by users is  
13 operated, PJM places no limit up to the nameplate  
14 capacity of the wind farm for which it approved the  
15 interconnect rights.

16 So in our case, for example, we are  
17 approved for generation capacity. So if we generate  
18 that many megawatts in that hour, we can sell those  
19 into market. We are not limited to the amount of  
20 energy we can sell to the market based on the  
21 capacity that PJM assigned. It's two separate  
22 markets, I guess, is what I am trying to say.

23 Q. So are you talking about --

24 A. They are both PJM markets. They are both  
25 PJM competitive markets. One is capacity and one is

1 energy. They are separate markets with separate  
2 pricing, with separate rules, with separate, you  
3 know, it's two separate markets.

4 Q. Well, let's get right to the heart of it.  
5 What coal-fired or natural gas-fired generation will  
6 this project supplant?

7 A. I never said it would supplant a specific  
8 resource. My comment was to the extent this energy  
9 is used, and it offsets other fossil-fuel-powered  
10 energy that might not be used in this competitive  
11 market, then, to that extent, it's a cleaner energy  
12 source that helps -- helps the environment.

13 I didn't say it cures the environment and  
14 it overcomes every other resource. It is an  
15 incremental effect that this project will contribute  
16 to. That was my -- I believe that's a benefit and  
17 that's what clean energy, generally, is attributed  
18 to.

19 Q. Well --

20 A. Not just this project.

21 Q. All right. Let's talk about  
22 hypothetically there is 100 megawatts of new demand  
23 for electricity from the PJM system. And can --  
24 through the PJM system, will wind energy be used by  
25 the system to provide baseload supply to that new 100

1 megawatts?

2 MR. SECREST: Objection, speculation,  
3 relevance.

4 MS. LEPPLA: Objection, your Honor. I  
5 think this is outside the scope of recross --  
6 redirect, I'm sorry.

7 ALJ WALSTRA: I will let him answer it if  
8 he knows.

9 A. It's a complicated answer. The way the  
10 PJM energy market works is you bid in up to a point  
11 of what PJM needs for that given hour. So that last  
12 incremental 100 megawatts could be filled by a number  
13 of resources. And it's really determined by the  
14 operation of the competitive market. So it doesn't  
15 say that wind would never be consumed. It's a matter  
16 of what price did the wind energy source bid into and  
17 what other resources bid in in that hour, and where  
18 did the market clear based on the demand they had.

19 The demand, as you know, fluctuates over  
20 time, and the -- the generators bidding into the  
21 market make decisions on what price to offer in those  
22 time periods, and the market then clears based on the  
23 competitive nature.

24 So -- so it's a -- I testified that yes,  
25 wind, by definition, meaning that because it's an

1 inert resource, it's not considered baseload, but  
2 that doesn't mean it's not selected in the  
3 competitive market for generation in any particular  
4 point in time.

5 Q. So when wind -- the wind is not flowing,  
6 how much energy will this project supply or could  
7 this project supply to that --

8 A. That's pretty simple answer. If the wind  
9 is not blowing, it doesn't generate any.

10 Q. Right.

11 A. I would say on average, over the period  
12 of a year, our studies show for this particular wind  
13 farm there is a capacity factor that we've included  
14 in our reports on how much energy we generate  
15 relative to the nameplate capacity.

16 Q. And what's that factor?

17 A. It's in the 41-point-something percent, I  
18 believe, I don't remember exactly offhand.

19 Q. So 59 percent of the time it wouldn't be  
20 producing electricity; is that what you are saying?

21 A. No, that's not quite right. It's more  
22 subtle than that. It doesn't mean that it's either  
23 on or off at 100-percent capacity. As you know, the  
24 wind doesn't always blow with the same intensity.

25 Q. Right.

1           A.    So the output of the wind farm varies  
2   with the intensity of the wind.  So what I am saying,  
3   the capacity factor is an annual average that says,  
4   over this period of time, the average output, as a  
5   ratio of the possible 100-percent output, is the  
6   capacity factor.

7                    I would also point out all the generation  
8   sources, you know, have a nameplate capacity and an  
9   actual output over time that's less than the  
10  nameplate capacity for a number of reasons.  For the  
11  case of wind, it's because you can't always count on  
12  the wind blowing.  In the case of other sources,  
13  there are other reasons for the actual output to be  
14  less than the nameplate.

15          Q.    What's the capacity factor for natural  
16  gas-fired?

17          A.    You know, I don't really do a lot of work  
18  in the natural gas industry.  I don't really -- I  
19  don't know what that is, sir.

20          Q.    What's the capacity factor for  
21  coal-fired?

22          A.    Again, I don't study the capacity factor  
23  of coal plants.

24          Q.    Okay.  Let's move on to another aspect of  
25  your testimony.  As Mr. Jones got into, your -- your

1 report -- excuse me, your testimony repeatedly  
2 references this project being unfinanceable.

3 A. Well, I guess I clarified the three  
4 conditions that I cite, in my opinion, render the  
5 project unfinanceable. The project inherently is not  
6 unfinanceable; it's those three conditions.

7 Q. Right, right. Excuse me. Right. Thank  
8 you.

9 Now -- and on redirect, Mr. Secrest got  
10 into testimony from you as to the basis upon which  
11 you are qualified to make those opinions. Do you  
12 remember that?

13 A. Yes.

14 Q. Okay. Now, the Staff Report, have you  
15 ever taken that to a bank and asked whether or not  
16 the bank would be willing to finance this project, if  
17 Icebreaker were subject to the conditions of the  
18 Staff Report?

19 A. As I testified yesterday, my opinion is  
20 based on my knowledge of -- over many years, prior to  
21 LEEDCo and with LEEDCo, how I gained that expertise.  
22 No one -- it would be inappropriate -- I have never  
23 heard of any project that would take a report like  
24 this to a bank to request financing and get an  
25 opinion. So it's very premature.

1           My opinion is based on, as I testified  
2   yesterday, numerous discussions with lenders over  
3   time, attendance of conferences where these topics  
4   are addressed, engagement of two financial advisors  
5   over the time at LEEDCo, which provided advice of  
6   counsel, and discussions with our investors who --

7           Q.   Excuse me. I don't mean to interrupt,  
8   but we are going on and on. I asked a simple  
9   question. Did you take this to a bank and have them  
10   review the conditions and ask them if the conditions  
11   would prohibit financing of the project?

12          A.   And I believe I answered that and said  
13   no.

14          Q.   Okay. All right. That's all I'm looking  
15   for. The Stipulation, have you taken that to a bank  
16   and shown them the conditions in the Stipulation, and  
17   asked them whether or not they would be willing to  
18   finance the project if these conditions proposed in  
19   the Stipulation were entered into?

20          A.   Again, for the same reasons I mentioned  
21   for the Staff Report, that would be inappropriate and  
22   not a good thing. So no, I did not take that Staff  
23   Report --

24          Q.   Okay. All right. Thank you. That's  
25   what I was looking for. Let's go to the Stipulation,

1 paragraph 18.

2 A. Okay.

3 Q. And I don't -- correct me if this is a  
4 mischaracterization, but I understood your testimony  
5 on redirect to be that paragraph 18 in the  
6 Stipulation --

7 ALJ WALSTRA: Do you mean Condition 18?

8 MR. STOCK: Condition, excuse me, yes,  
9 Condition 18.

10 Q. And the Stipulation is substantively the  
11 same as Condition 18 in the Staff Report, with minor  
12 changes.

13 A. Yes, I believe my testimony was the  
14 change -- was this confirmed compliance for this  
15 condition that conforms this language with other  
16 certificates.

17 Q. Okay. Do you have both the Stipulation  
18 and the Staff Report there?

19 A. Yes.

20 Q. Okay. And let's take a look at  
21 Condition 18 in both of them. Ready?

22 A. Yes.

23 Q. Okay. We're in the Stipulation. At  
24 least 60 days prior to commencement of construction,  
25 the Applicant shall submit an avian and bat impact

1 migration plan which incorporates the most current  
2 survey results and post-construction avian and bat  
3 monitoring plan to the ODNR and Staff for review to  
4 confirm compliance. I read that correctly?

5 A. Yes.

6 MR. SECREST: I'll note an objection. It  
7 states "mitigation" as opposed to "migration" in the  
8 document.

9 MR. STOCK: Thank you. Can we --

10 MR. SECREST: I don't think you have to  
11 reread it again.

12 MR. STOCK: We'll stipulate it reads  
13 "mitigation."

14 A. Another thing I'll point out, Mr. Stock,  
15 is you didn't finish the sentence. You kind of  
16 stopped before the end of the sentence.

17 Q. You can read the rest of it into the  
18 record.

19 A. Okay. "...confirm compliance with this  
20 condition that implementation of the plans would be  
21 effective in avoiding significant impacts to avian  
22 and bat species."

23 Q. Okay. Here's what I want to get to is  
24 the change that Icebreaker has made in that sentence  
25 and that is if you look at the Staff Report, it

1 reads: "...which incorporates the most current  
2 survey results and post-construction avian and bat  
3 monitoring plan to the ODNR and Staff for review"  
4 that follows your language, but then says "and  
5 acceptance." You took away the authority for ODNR or  
6 the requirement that there be acceptance of the plan,  
7 correct?

8 A. No, we did not. We just replaced it with  
9 the language that says "confirm compliance." So my  
10 understanding is that we submit this plan, and they  
11 have to confirm that the plan we submit addresses  
12 this condition and complies with that condition. So  
13 they have to accept it, they have to review it, they  
14 have to agree that it addresses this condition. I  
15 can't submit a plan that says I'm going to go out  
16 and, you know, fish on my boat for a week and call  
17 that post-construction monitoring. So they have  
18 to -- we didn't take away any authority.

19 In fact, my understanding is that this --  
20 the way this is worded makes it consistent with the  
21 similar wording in other certificates issued by the  
22 Ohio Power Siting Board, and that was the reason why  
23 we proposed this, to keep it consistent with past  
24 practice. But it doesn't take away any authority,  
25 that I see, Mr. Stock.

1           Q.    It took out the term "acceptance," didn't  
2   it?

3           A.    And replaced it with "confirm  
4   compliance." So ODNR and Staff have to confirm  
5   compliance.

6           Q.    It says --

7           A.    How would they confirm compliance --

8           Q.    "...for review to confirm compliance."  
9   But it doesn't require any acceptance, right?

10           MR. SECREST: Asked and answered.

11           ALJ WALSTRA: Overruled.

12           A.    So "confirm compliance" is a -- is a  
13   process where ODNR has to review this and render an  
14   opinion that, yes, this document we submitted does  
15   comply with this condition. I think that's an  
16   approval and acceptance. I think there are a lot of  
17   words that could be used. This is the word that was  
18   in other certificates that we chose to seek to make  
19   this consistent.

20           Q.    And you took out "acceptance."

21           A.    Replaced it with "confirm compliance"  
22   which I think takes no authority away from ODNR and  
23   Staff at all.

24           Q.    Okay.

25           A.    If they confirm compliance, is that not

1 a -- an acceptance of the plans?

2 Q. If you are asking me, I don't see any  
3 requirement in there that they accept it.

4 MS. LEPPLA: Objection, your Honor.

5 MR. STOCK: He asked me a question.

6 MS. LEPPLA: He's testifying.

7 MR. STOCK: I'll answer it.

8 ALJ WALSTRA: Granted.

9 Q. (By Mr. Stock) Now, let's look at the  
10 last sentence. "Any proposed modifications to the  
11 plans shall be submitted to the ODNR and Staff for  
12 review to confirm...." It says what they'll do is  
13 they will review, right?

14 A. That's one part of it.

15 Q. All right.

16 A. That's one part. The other part is  
17 confirm compliance.

18 Q. It tells you what the purpose of their  
19 review is, right? They are to review it to confirm  
20 compliance. But you took out, again, acceptance.

21 A. Again, we just covered this. It's the  
22 same comment there that confirming compliance -- I  
23 guess I can't imagine a case where ODNR and Staff  
24 would confirm we complied with this condition if they  
25 didn't accept the plan. I don't -- I don't think

1 they would do that. You know, it doesn't make any  
2 sense to me that they would say, "Yes, you complied  
3 with this condition but we don't accept your plan.  
4 We think your plan is not valid, we think it's  
5 inadequate, we think it doesn't address these things,  
6 but we are going to confirm you complied with this  
7 condition."

8 Our understanding is we have to submit a  
9 viable condition that they look at and agree  
10 addresses all the requirements of the condition. And  
11 when we do that, they will confirm, they have to  
12 confirm that we did so. We don't meet that condition  
13 unless they confirm it.

14 And further, if we don't meet this  
15 condition, my understanding is we're not in  
16 compliance with this condition. And I testified  
17 yesterday that I believe there is enforcement action  
18 that the Ohio Power Siting Board and Staff could  
19 bring if we are not in compliance. They are in  
20 control of confirming this compliance.

21 Q. Let me know when you are done so I can  
22 ask another question.

23 A. I just answered the question, sir.

24 Q. Yeah, that's one person's opinion.

25 Condition 19, I believe, and I want to

1 make sure I understand this, that you testified on  
2 recross-examination that under paragraph -- excuse  
3 me, Condition 19. ODNR -- excuse me -- Icebreaker  
4 operating before there has been approval of the  
5 post-construction avian and bat collision monitoring  
6 plan -- and I am talking about Condition 19 in the  
7 Stipulation just to make sure you understand. That  
8 while -- or if Icebreaker were operating and there  
9 had not yet been approval by ODNR of the  
10 post-construction avian and bat collision monitoring  
11 plan, that Icebreaker could not operate under that  
12 set of circumstances in perpetuity, I believe is the  
13 term you used.

14 A. Yes.

15 Q. Do you recall that?

16 A. Yes.

17 Q. Where is there a time limit, in Condition  
18 19 of your Stipulation, as to how long Icebreaker  
19 could operate under that condition?

20 A. Again, as I testified yesterday, this --  
21 this -- all these conditions in total make up the  
22 requirements under which the certificate will be  
23 issued. We are required to comply with all of them.  
24 And if we don't comply with them, then the Board and  
25 Staff have the recourse to bring enforcement action

1 and that enforcement action includes due process  
2 before the Board.

3 So if we do not -- if we do not provide a  
4 plan that's confirmed to be "compliant" in our  
5 language -- your language was "approved" -- it's not  
6 confirmed to be compliant, then we are not in  
7 compliance with this condition.

8 So, at some point, it's up to -- it's up  
9 to ODNR and Staff to determine when they decide to  
10 take that enforcement action, but that's their  
11 discretion, not ours. We don't have any limitations  
12 on that. If we don't produce a plan that they  
13 confirm to be compliant, they could find that we're  
14 not complying with the conditions of the certificate  
15 and they could take enforcement action. It doesn't  
16 say each condition. That's an overarching framework  
17 of what I understand the certificate to embody and  
18 the authority of the Ohio Power Siting Board.

19 Q. So while this enforcement action is being  
20 prosecuted to prohibit operation, is Icebreaker still  
21 operating?

22 MR. SECREST: Objection, speculation, and  
23 calls for a legal conclusion.

24 ALJ WALSTRA: He can answer if he knows.

25 A. I think the way I understand the

1 enforcement action, they could bring injunctive  
2 relief to be effective immediately if they chose to.  
3 And again, there is a due process that they would  
4 have to be before some body that would have to grant  
5 that.

6 Q. And by "due process," you mean Icebreaker  
7 could oppose the enforcement action, right?

8 A. We could represent our interest,  
9 absolutely, and I think that's very appropriate.

10 Q. Right.

11 A. Unilateral authority from Staff -- the  
12 Board is who has the authority here to issue the  
13 certificate. So the Staff's unilateral authority to  
14 make these decisions, I think it's appropriate that  
15 there's due process under the Board who has the  
16 ultimate authority here to issue the certificate or  
17 not.

18 Q. So Icebreaker is operating under this  
19 condition where ODNR has not approved the  
20 post-construction avian and bat collision monitoring  
21 plan, and unless and until ODNR were to get an  
22 injunction to prohibit Icebreaker from operating,  
23 Icebreaker could continue to operate under this  
24 condition.

25 A. Again, it's up -- it's up to the Staff

1 and ODNR to determine when they might bring that  
2 action. If they don't believe we have a viable or  
3 compliant plan, then I think they would assess when  
4 it was appropriate to bring that action. And I would  
5 think it would be -- it would be dependent upon the  
6 severity of what's happening.

7 I would also point out there are many  
8 other conditions that I testified to yesterday as  
9 well, that have mitigation measures and adaptive  
10 management strategies that will be agreed upon before  
11 construction that, under certain cases that are  
12 defined ahead of time, certain actions will be taken  
13 that will -- that are intended to minimize impacts.

14 So you're painting a scenario where  
15 nothing is going to be happening, and I just wanted  
16 to clarify there are many other provisions in this --  
17 in the conditions of the certificate, and the plans  
18 that are embodied in these conditions, that represent  
19 significant work that's been, you know, the result of  
20 collaboration of many years with ODNR, all intended  
21 to put in place measures that protect wildlife.

22 Q. I think I understood the beginning of  
23 your answer. I didn't ask about any other  
24 provisions, but thank you.

25 MR. STOCK: Those are all the questions I

1 have on recross.

2 ALJ WALSTRA: Thank you.

3 Mr. Jones?

4 MR. JONES: Thank you, your Honor.

5 ALJ WALSTRA: If you could turn your mic  
6 on too.

7 MR. JONES: Oh, sure.

8 ALJ WALSTRA: Thank you.

9 - - -

10 RECROSS-EXAMINATION

11 By Mr. Jones:

12 Q. Good morning, Mr. Karpinski.

13 A. Good morning, Mr. Jones.

14 Q. I have a few questions for you.

15 Would you agree with me that there is a  
16 heightened and significant risk to birds and bats  
17 flying through the project site during spring and  
18 fall migration? At night?

19 A. I would.

20 MR. SECREST: Objection. This is outside  
21 the scope of his redirect.

22 MR. JONES: I'm sorry, your Honor. It's  
23 not. They rehashed all the conditions in their  
24 redirect. He gave him broad authority. They have  
25 all that testimony. They --

1 ALJ WALSTRA: Overruled.

2 MR. JONES: -- rehashed all the  
3 conditions again.

4 ALJ WALSTRA: Go ahead.

5 MR. JONES: Thank you.

6 A. I would say there is increased bird  
7 activity in the area, and what our wildlife experts  
8 will testify to later is that doesn't equate to  
9 necessarily increased risk. So I would agree there  
10 is increased activity, but I wouldn't agree there is  
11 increased risk.

12 Q. So if you have increased activity, you  
13 don't have increased risk?

14 A. Again, our wildlife experts will testify  
15 to that later and explain -- explain that but, yes.

16 Q. So -- all right. So you're saying during  
17 the migratory season, spring and fall, at nighttime,  
18 outside the peak times, there's no heightened risk to  
19 those other times outside the peak times?

20 MR. SECREST: Objection, your Honor.  
21 This is outside the scope of his testimony. He just  
22 indicated that there are other experts who will  
23 testify to these issues.

24 MR. JONES: Your Honor, he's testified on  
25 these conditions too. He's made himself the expert

1 on these conditions too. He's got opinions and  
2 everything. I think it's reasonable.

3 ALJ WALSTRA: He can answer.

4 A. Based on my understanding and as will be  
5 elaborated on by our wildlife experts, that exposure  
6 does not equate to risk. There are other factors to  
7 risk. And we will get into that in a lot more detail  
8 than I am qualified to do here. So I am sharing what  
9 I know based on my discussions with our wildlife  
10 experts.

11 Q. Now, at this time, the Applicant has not  
12 identified a proven collision-monitoring technology,  
13 and one may not be available until an undetermined  
14 point in the future, correct?

15 A. We have not selected -- we have not  
16 selected a collision-monitoring detection technology,  
17 yes, I agree with that. There are technologies  
18 available now and we expect them to get better, and  
19 there may be other solutions that may evolve before  
20 the time we need to select. So I wouldn't agree with  
21 the second part of that, I guess.

22 Q. And Stipulation Condition 18 would allow  
23 construction of the turbines, the six turbines, with  
24 or without an approved collision-monitoring protocol,  
25 correct?

1           A.    As would -- as would Staff Condition 18,  
2   yes.  Staff Condition 18 is essentially the same in  
3   that matter.

4           Q.    And do you agree that for Staff Condition  
5   19, this allows for that flexibility, to be able to  
6   construct and -- and -- go ahead and construct,  
7   knowing because -- because Staff's Condition, it  
8   minimizes those impacts to birds and bats at  
9   nighttime, during spring and fall migration, and not  
10  just at peak times, correct?

11          A.    So I am not sure what your question is.  
12  I think you asked if Staff Condition 19 allows for  
13  the project to be built before there is an approved  
14  collision monitoring plan.  Yes.  And so does  
15  Stipulation Condition 19.

16                So they both allow for the possibility  
17  that we could construct the project before the  
18  collision monitoring plan.  Again, I testified  
19  yesterday, the plan, we understand it to be more than  
20  just words about what we are going to do later, to a  
21  demonstration that the technology has been proven to  
22  actually work and detect collisions.

23                So my understanding is both these -- both  
24  Staff and -- and Stipulation Condition 19 allow for  
25  the project to be built before that's been proven to

1 ODNR and Staff.

2 Q. But what's your understanding of Staff  
3 Condition 19 as to giving the Applicant that  
4 flexibility and not requiring them -- not requiring  
5 that the post collision monitoring plan not be  
6 approved prior to construction.

7 A. What's my understanding of that?

8 Q. Of Staff Condition 19.

9 A. Just as you said, it allows for the  
10 project to be built before the -- before Staff and  
11 ODNR accept the collision-monitoring technology.

12 Q. Well, isn't it true that that flexibility  
13 that Staff provides, you know, for 19, in not  
14 requiring that post collision monitoring plan to be  
15 approved prior to construction is because they  
16 provide protection for the entire migratory season  
17 times and not just the peak season times?

18 MR. SECREST: Objection, speculation.

19 ALJ WALSTRA: Overruled.

20 A. So my understanding is -- is that the  
21 Staff and ODNR wanted to allow for the fact that they  
22 may not be able to come to a conclusive decision,  
23 before construction, that the technology is operating  
24 and is proven to be effective. So they allowed for  
25 this possibility that we could go into construction

1 and you may want -- "you" being -- I'm sorry -- ODNR  
2 and Staff may want to see it demonstrated on the  
3 actual turbines of this project, so it allows for  
4 that possibility.

5 I'll go back and say, you know, reviewing  
6 our discussion yesterday, that there are many  
7 protections afforded to wildlife, through many  
8 conditions in here, referenced in many of these  
9 plans. And the sole set of protection of wildlife is  
10 not limited to the feathering condition in Staff and  
11 Stipulation Condition 19.

12 Q. But the difference between Stipulation  
13 Condition 19 and Staff Condition 19, Staff Condition  
14 19, would you agree, is broader in terms of providing  
15 protection during the entire migratory spring and  
16 fall seasons; isn't that correct?

17 MR. SECREST: Objection to the  
18 characterization of "broader."

19 ALJ WALSTRA: He can clarify.

20 A. So the differences are -- there are other  
21 differences beyond the curtailment. The main  
22 difference and the reason we proposed an alternative  
23 is the, what we believe, unnecessary restriction on  
24 operation that made the project unfinanceable.

25 So we believe that there are protections

1 for wildlife in place in Stipulation Condition 19  
2 that ensure minimum adverse impact. We believe that  
3 the conditions in Staff Condition 19 are necessary to  
4 ensure protection and minimum adverse impact. And by  
5 the way, the condition -- Staff Condition 19 have a  
6 very consequential impact of making the project  
7 unfinanceable.

8 MR. JONES: Your Honor, I move to strike  
9 the entire answerer. It was not responsive to my  
10 question. My question is very simple and very narrow  
11 as to doesn't Staff Condition 19 provide broader  
12 protection than Stipulation Condition 19, because  
13 Staff Condition 19 covers the entire migratory  
14 season, spring and fall, for birds and bats. That  
15 was the question. He didn't answer it.

16 ALJ WALSTRA: I will deny the motion to  
17 strike.

18 MR. JONES: I would ask the Bench to  
19 direct the witness to answer the question.

20 ALJ WALSTRA: If you have a clarifying  
21 question, you can ask that. I think you both -- he  
22 danced around it, but I think he was trying to  
23 answer.

24 Q. Would you agree that Staff Condition 19  
25 provides a broader protection for birds and bats

1 during the migratory season, spring and fall, than  
2 Stipulation Condition 19?

3 A. I would agree that Staff Condition 19  
4 requires curtailment for a longer time than  
5 Stipulation Condition 19.

6 Q. And because it provides further  
7 curtailment, it provides further protection, correct?

8 MR. SECREST: Objection. This is outside  
9 the scope again, your Honor.

10 ALJ WALSTRA: Overruled.

11 A. I suppose that if the turbine is never  
12 operated, that's more protection as well, but that's  
13 not feasible.

14 Q. Thank you.

15 On page 21 of your testimony, which let  
16 me know when you get there.

17 A. Okay.

18 Q. You say that -- on page 21 of your  
19 testimony you say, in several places here, and I'll  
20 just pick one here, you said, line 21, that the Staff  
21 Report lacks any definition of "wild animals" in  
22 Staff Report Condition 24; is that correct?

23 A. Yes.

24 Q. And you did testify yesterday that you  
25 had read the testimony of Erin Hazelton?

1           A.    Yes.

2           Q.    And Ms. Hazelton's testimony was filed  
3 after your testimony?

4           A.    No -- oh, yes, after.  Mine was filed  
5 first.

6           Q.    Yeah.  So -- and didn't she then testify  
7 in her -- provide testimony that the definition of  
8 "wild animals" would primarily focus, at the project  
9 site, on birds, bats, and aquatic species?  Do you  
10 remember reading that in her testimony?

11          A.    I remember reading that and it said  
12 "primarily" which means it's not solely.  She didn't  
13 say it's only -- that it's limited to birds and bats  
14 and fish.  She said "primarily."  So the question I  
15 would have is what's secondarily and tertiary, would  
16 be considerations, so she did limit the scope.  She  
17 just stated the primary focus would be birds and bats  
18 and fish.

19          Q.    And she also stated in her testimony that  
20 ODNR, Division of Wildlife, they are delegated the  
21 responsibility to protect all wild animals in the  
22 State because they're held in trust for the benefit  
23 of all the people?  Do you recall that testimony?

24          A.    I recall that in her testimony, yes.

25          Q.    Do you have any reason to dispute that

1 testimony?

2 A. I don't have any reason to dispute her  
3 statement about the responsibility to protect wild  
4 animals, in the state law, no. I would say what does  
5 protection involve? And clearly there is a wide  
6 array. We believe the wild animals, the birds, bats,  
7 and fish are protected in our -- in our proposals and  
8 in the plans that are embodied in the conditions.

9 Q. Okay. And further -- let's see here, on  
10 page 13 of your testimony. Let me know when you are  
11 there.

12 A. I'm there.

13 Q. Okay. You testified, on lines 19 and 20,  
14 "it appears the regulator has an indefinite and  
15 unlimited amount of time in which to approve the  
16 collision monitoring plan." Do you see that?

17 A. Yes.

18 Q. Well, let's walk through that for a  
19 second. When -- when do you expect construction to  
20 begin?

21 A. We -- at this point we expect  
22 construction to begin in the summer of 2021.

23 Q. Summer of 2021?

24 A. Yes.

25 Q. And how long do you expect that

1 construction to take place before it's built?

2 A. The construction activities are  
3 approximately -- approximately three months.

4 Q. So then, by the fall of 2021, the project  
5 will be built?

6 A. The project will be built. There's some  
7 time for testing and commissioning, and by the end of  
8 2021 it would be operational is what I would say.

9 Q. So you would have, between now and the  
10 fall of 2021, to demonstrate that your collision  
11 monitoring plan is sufficient to ODNR and Staff,  
12 right?

13 A. That's our intent is to demonstrate it  
14 before we go to construction, yes.

15 Q. I mean, that's a reasonable amount of  
16 time, isn't it, for you to be able to demonstrate  
17 that?

18 A. My testimony referred to there's no  
19 guarantee on the other side, on the criteria that  
20 ODNR and Staff would use and how long they might take  
21 to evaluate it; not how long we would have to be able  
22 to present it to ODNR and Staff.

23 Q. But if you could start that testing  
24 today, right, you could do the testing today, in a  
25 lab, at another project site, that could begin --

1     that would begin today, right?

2             A.     We've started the evaluation process,  
3     sir, yes, and there's -- there's a process of  
4     evaluating what the best solution is and that will  
5     lead into testing, and we intend to continue that  
6     process, leading to the selection of a -- of a  
7     technology and appropriate testing to make the case,  
8     to ODNR and Staff, that it is effective.

9             Q.     And let me jump back here.  Let me go  
10    back to Staff Recommendation 24.  I believe we're --  
11    your criticism of Staff Condition 24 would be that --  
12    that you're saying that when you're -- when Staff  
13    would prescribe something to account for the  
14    significant adverse impact, you're saying that they  
15    would go to the extreme, they could shut you down; is  
16    that correct?

17            A.     I'm not saying they would, Mr. Jones.  I  
18    am saying that the language, as it's written, has no  
19    limits.  So when assessing the risk of what could be  
20    done, it could be anything.  It could be shutting  
21    down.  I mean, you've already proposed, in Staff  
22    Issue 19, not operating the turbines for 10 months.  
23    So it's already on the table.  So, clearly, that  
24    could be -- that could be one of the actions that  
25    could be extended even further.

1           The objection was there is no limitation  
2     and there is no guidelines to how it would be -- how  
3     it would be administered and we -- and I have  
4     assessed that the risk, in trying to secure financing  
5     in that sense, the risk to the revenue stream is  
6     unacceptable and would prevent us from being able to  
7     get bank loans and financing.

8           Q.     And you didn't have the benefit of  
9     Mr. Hazelton's testimony because you filed before  
10    her, but do you recall in her testimony she addressed  
11    this issue by saying "ODNR and OPSB Staff envision an  
12    incremental system to be used for the  
13    mitigation/adaptive management, with the selective  
14    mitigation being a proportional response, and only as  
15    restricted as is necessary to alleviate the  
16    significant adverse impact." Do you recall that  
17    testimony?

18          A.     I recall reading that. As I said, my  
19    testimony was filed before hers as well. And there  
20    is no change to the -- that language in her testimony  
21    wasn't offered as a change to the Staff condition  
22    language. So although it's a good intent, we can't  
23    depend upon that in terms of assessing what the Staff  
24    might do. I accept her opinion if that's what her  
25    intent is at this time, but there may be other people

1 in place at that time. So the language doesn't say  
2 they are limited to that and that's what they will  
3 do. It says that's our -- that's what we envision.  
4 But the language still remains, as prescribed, with  
5 the limitation.

6 Q. So you don't think they will do that?

7 A. Sorry. I just testified I don't -- I am  
8 not saying I don't believe they wouldn't do that.  
9 I'm saying the language leaves open this risk that  
10 they could do much more. They are not saying they  
11 won't do much more. They're saying they envision  
12 this. So it's a softening -- I don't -- it's not  
13 that I don't believe them that that's not what they  
14 think now, but the language in the condition says  
15 something different.

16 Q. So -- okay. So you disagree. But if you  
17 were to assume that were true, say that testimony  
18 were true and they would honor that, then it would be  
19 very unlikely that there would be a scenario where a  
20 complete shutdown would be necessary, correct?

21 MR. SECREST: Objection, speculation.

22 A. I don't know.

23 ALJ WALSTRA: I'll sustain.

24 Q. Stipulation Condition 19 talks about  
25 feathering at nighttime, for 30 minutes prior to

1 sunset, to 30 minutes after sunrise, during peak  
2 spring and fall migration periods when cloud ceilings  
3 are low. Do you remember that for Condition 19?

4 A. Yes.

5 Q. Would you agree that birds and bats still  
6 migrate when cloud ceilings are not low?

7 A. That's my understanding that they do. In  
8 fact, that's the majority of the time they migrate.  
9 I would also -- it's my understanding that when that  
10 condition exists, they are typically flying much  
11 higher than the turbines.

12 Q. So Stipulation Condition 19 will not  
13 protect migratory birds and bats when cloud ceilings  
14 are not low, by feathering, right? Because there is  
15 not going to be feathering during those times.

16 A. Yeah. As I said before, the Staff  
17 Condition 19 is not the only protection for migratory  
18 birds. I mean, we can go back to the fact that it's  
19 cited, where it's cited it's a protection for  
20 migratory birds. The fact that we are so far  
21 offshore is a protection of migratory birds. The  
22 monitoring we are going to do to characterize this is  
23 a protection of migratory birds. So I guess I don't  
24 agree that the only protection for migratory birds is  
25 in the curtailment provisions and Condition 19.

1           Q.    But for purposes of my question, I want  
2   you to stay with 19.  Not anything else, but just 19.  
3   As pertains to Stipulation Condition 19, as it's  
4   written, it will not protect migratory birds and bats  
5   when cloud ceilings are not low; is that correct?

6           A.    Again, what I could say is it will not --  
7   that Stipulation Condition 19 --

8           Q.    Yes.

9           A.    -- will curtail only under certain  
10   conditions.  Staff Condition 19 requires curtailment  
11   over a much longer period.

12          Q.    On page 15 of your testimony, you talk  
13   about the barge operator, correct?  Let me know when  
14   you're there.

15          A.    Okay.  I'm there.

16          Q.    I'm sorry, that would be page 17.  17 is  
17   the barge operator.

18          A.    Okay, yes.  There is testimony about the  
19   barge, yes.

20          Q.    And so, when you look at Stipulation  
21   Condition 22(c), and the barge operator would be  
22   responsible here for determining heavy precipitation  
23   in high sea events for making an exception to the  
24   80-percent standard, where is he going to be when  
25   he -- to get that information?  Is he going to be on

1 the barge or is he going to be somewhere else?

2 A. No. The plan is the barge would not be  
3 manned. We've confirmed that with the Coast Guard.  
4 It's not required to be manned. So the barge  
5 operator will be using -- will be, you know, in some  
6 remote area, using, as I testified to yesterday, the  
7 various forecasts and weather data that he has access  
8 to.

9 Q. So is he at some operations center or  
10 something, on land, at the port?

11 A. Not necessarily at the port. The barge  
12 operator doesn't necessarily have an office at the  
13 port. It doesn't matter where he is located. The  
14 tools for assessing the current weather and forecasts  
15 are all electronically available. So they typically  
16 have operation centers.

17 I also testified yesterday that we  
18 haven't chosen a specific operator. So they have  
19 different modes of operation, but they all have a  
20 function to monitor. And you can imagine, in every  
21 operation that they are out in the water, this is a  
22 concern to be able to understand and be aware of the  
23 weather conditions; so they have practices in place  
24 for that.

25 Q. So is the barge operator a full-time

1 employee of the Applicant?

2 A. No. I testified the barge operator is  
3 someone we are going to contract with. So we are  
4 going to enter into an engagement where we charter  
5 the barge for purpose of the study. So he's not an  
6 employee of the Applicant.

7 Q. So he doesn't necessarily have to be  
8 anywhere near the site; is that correct?

9 A. That's right. He has to have access to  
10 the data that he needs to make the decisions, but  
11 that doesn't require him to be at the site.

12 Q. So he's going to have to check his  
13 computer, every hour, to see what the conditions are?

14 MR. SECREST: Objection, speculation.

15 ALJ WALSTRA: Overruled.

16 A. He's going to have to check the weather  
17 forecast in the means he does today, sir. This is  
18 not a -- I guess what I would say is this is not a  
19 unique condition of deploying a vessel in a marine  
20 environment. So there are practices in place, I  
21 can't testify to the details of all those practices,  
22 but I do know they are in place and that -- and that  
23 would be his responsibility, the barge operator's  
24 responsibility.

25 Q. And so -- okay. So he's supposed to

1 determine heavy precipitation in combination with  
2 high seas events; is that correct?

3 A. What I testified to is he is supposed to  
4 determine the conditions that render the operation  
5 unsafe and mandate that it will be -- that the barge  
6 be taken back to the shore. Those are factors. If  
7 the current high seas and current precipitation are  
8 the factors of the forecast of what might be coming,  
9 and there might be others that I am not aware of, but  
10 he's making a decision on the safety of the  
11 deployment, not -- he is not just saying are there  
12 high seas and precipitation.

13 The assessment, as I understand it, is on  
14 the safety of the -- of the deployment and what are  
15 the conditions that are -- that are present and  
16 forecasted to be present. In his judgment, based on  
17 his experience, he makes the decision whether to pull  
18 the barge in or leave it in place.

19 Q. And he is making that decision from  
20 looking at a screen?

21 A. Sir, he is making that decision by  
22 evaluating information available to him. It's  
23 done -- it's done all the time. So, you know.

24 Q. And so, who -- what is that formula then,  
25 that he would then determine the barge has to come

1 off --

2 A. Sir --

3 Q. -- when you are looking at heavy  
4 precipitation, high seas, and winds?

5 A. I testified that it is not a  
6 black-and-white formula. It's a judgment. And he  
7 weighs many factors based on the experience of their  
8 operations. One, are the conditions such that it's  
9 unsafe to leave the barge where it's deployed. It's  
10 not a black-and-white formula that -- that he enters  
11 in and out comes the result. It's based on  
12 professional judgment of the barge operator.

13 Q. And so, it would be up to whoever the  
14 operator is here, as to what the definition of heavy  
15 precipitation is?

16 A. No, sir. It wouldn't be up to his  
17 definition of heavy precipitation. It would be up to  
18 his definition what are safe conditions and unsafe  
19 conditions.

20 Q. Well, how do you define "heavy  
21 precipitation"?

22 MR. SECREST: Let me just note an  
23 objection. Misstates the testimony. The page he's  
24 referring to refers to "high seas."

25 ALJ WALSTRA: I'll allow the question.

1           A.    You are asking me how I define  
2    "precipitation"?

3           Q.    Yeah.  You are covering Stipulation  
4    Condition 22(c), aren't you?

5           A.    I am just confused.  You are asking about  
6    the barge operator, how they would determine things.  
7    Now you are asking how I would determine?

8           Q.    Yeah.

9           A.    So I would interpret "heavy  
10   precipitation," as I testified yesterday, the steady,  
11   consistent fall of rain.  And I would also clarify,  
12   sir, that the -- that the -- the heavy precipitation  
13   doesn't necessarily mean the barge has to be removed.  
14   The testimony was heavy precipitation may cause the  
15   data that's collected by the radar to not be viable.  
16   So we never said that the barge has to be removed in  
17   every condition of heavy precipitation.

18          Q.    And so -- all right.  So let's say he is  
19   looking at whatever data, and he determines, okay, I  
20   got to go out there and remove this barge.  So what  
21   would he have to do to prepare to go out there and  
22   remove the barge?

23          A.    He has to commission a tugboat that he  
24   has available.  And there are several tugboats,  
25   available in the Cleveland harbor, operated by a

1 company. He could also choose to have his own  
2 tugboat available for deployment. The tugboat has to  
3 travel out to the project site. It's 8 miles away  
4 from the Port of Cleveland. They have to pull up the  
5 anchors and affix the towing rig and tow the barge to  
6 the harbor.

7 Q. So you would agree then, that the time  
8 involved as far as commissioning a tugboat, or him  
9 taking his own tugboat, going 8 to 10 miles out to  
10 the project site, lifting up the anchors and bringing  
11 this thing back in, I mean, that sounds like it would  
12 take a day to do that. Does that sound right?

13 A. Actually, in my experience, it's not.  
14 It's less than a day. I testified, yesterday, I had  
15 experience with a barge for a geotechnical  
16 investigation. It's a few hours out to the site.  
17 And, you know, lifting up the anchors, depending on  
18 the barge and the facilities, is -- could be a few  
19 hours.

20 Q. And so, it could very well be that by the  
21 time he gets prepared and gets out there and gets to  
22 the site, the high seas event could have dissipated,  
23 the heavy precipitation could have dissipated. Can  
24 he then just call an audible at the scene and say,  
25 "Hey, guess what. I am going to keep the barge out

1 here." He could do that, couldn't he?

2 A. He could, yeah. But I would say, based  
3 on the forecast, that if he -- if the forecast was it  
4 was a short-term event, then, in my opinion, the  
5 judgment could likely be that okay, we can withstand  
6 this short-term event. It's the long-term exposure  
7 that he might send.

8 So I guess in that scenario that you are  
9 presenting that you are asking me to speculate on, I  
10 would say in that case he probably would not have  
11 commissioned the tug to go collect the barge anyway  
12 if it was such a short-term event.

13 Again, I also said the precipitation  
14 itself is not a condition that would require -- that  
15 would render the operation unsafe. It's the -- it's  
16 not just the precipitation. It's the high seas, the  
17 winds, and all the other factors that he would  
18 consider.

19 Q. You would agree with me, at any time he  
20 would then be making that judgment, it would take him  
21 a half a day to get out to the site; is that correct?

22 A. No. I think I included that in my  
23 testimony that although the period that the waves  
24 exceed this point, the time the barge would be at the  
25 project site may be longer because of those

1 conditions.

2 I also would say that there could be  
3 times, because of what I just described, that the  
4 forecast of how long this condition is going to last,  
5 it could be that he deems that although the waves are  
6 slightly over 6 feet, he deems it safe to remain  
7 there because of other factors.

8 So what I testified to was the data that  
9 we have says that 8 percent of the time the waves are  
10 above 6 feet. I also testified that doesn't  
11 necessarily equate to the exact amount of time the  
12 barge will be or won't be at the project site.

13 Q. At what point is the vessel-based radar  
14 not a viable option?

15 A. What do you mean "at what point"?

16 Q. Yeah. As to the quality of the data that  
17 you are getting from the radar attached to the  
18 vessel-based radar.

19 A. I'm going to defer to our radar expert  
20 who can go into depth about viable data and the  
21 necessary amount of data to draw the conclusions that  
22 we are -- try to answer the questions we are trying  
23 to answer.

24 Q. So you don't know, like, from -- for the  
25 time that the barge will be out there, and how long

1 do you -- how long is the barge going to be out there  
2 doing the surveys?

3 A. The entire migratory period. Again, I  
4 would have to look back, but I think it's April to  
5 mid-June, and August to mid-November.

6 Q. And so, it's the Applicant's position  
7 then, that having covered those -- covered the whole  
8 season, spring and fall, and that you only have, say,  
9 something less than 50 percent, say you even have  
10 20-percent quality data, you think that you should  
11 not have to repeat that season?

12 MR. SECREST: Objection. This is outside  
13 the scope of redirect and outside the scope of his  
14 testimony.

15 ALJ WALSTRA: Overruled.

16 A. Again, I'll defer to the radar expert. I  
17 believe that it's necessary to collect the amount of  
18 data necessary to adequately answer the questions. I  
19 don't know what that number is. And I don't believe  
20 there is a hard number that says below this, it's  
21 bad; above that, it's good. There's many other  
22 factors and our radar expert will testify to that  
23 later on.

24 Q. But you're the one giving the opinion on  
25 minimum adverse environmental impact on 22(c),

1 Stipulation 22(c); is that correct?

2 A. I am giving an opinion. He'll give an  
3 opinion also. My opinion isn't based on the  
4 pre-construction radar level of data collection; it's  
5 based on the conclusion of low risk that comes from  
6 many, many sources. And you will hear, later, that  
7 some of those sources are actual fatalities in other  
8 wind projects in the vicinity.

9 Q. And having quality data is not important  
10 to minimum adverse?

11 A. Having quality data is important. Its  
12 importance is relative to what you are speaking  
13 about. Is it the risk assessment? Is it the  
14 construction data? Having sufficient data is  
15 important. And that definition varies based on what  
16 we are talking about here. If you are talking  
17 specifically about the pre-construction radar, then,  
18 again, I'll defer to our radar expert.

19 But the conclusion -- our opinion and my  
20 opinion of "we meet minimum adverse impact" is not  
21 based on a pre-construction radar study. It's based  
22 on a multitude of other data that you will hear from  
23 our wildlife experts in detail that we come to the  
24 conclusion -- they come to the conclusion, and I  
25 understand and support it, that this project

1 represents low risk.

2 Q. Is the barge just for pre-construction  
3 surveys?

4 A. Actually, there's -- that issue is  
5 still -- we are -- as we've been working with ODNR  
6 and Staff on the protocol, that detail hasn't been  
7 determined yet. Again, we are endeavoring to agree  
8 upon the radar protocol, and we haven't yet, as you  
9 know, as evidenced in these conditions. So the  
10 options are to put it on a vessel or put it on the  
11 turbine platforms. And there's discussion, on both  
12 sides, that make a case for why you want to do either  
13 case, but the final decision hasn't been made yet.

14 MR. JONES: I have no other questions,  
15 your Honor.

16 ALJ WALSTRA: Thank you.

17 Ms. Leppla?

18 MS. LEPPLA: No questions.

19 ALJ ADDISON: I just had a few questions,  
20 sir.

21 THE WITNESS: Oh, okay.

22 - - -

23 EXAMINATION

24 By ALJ Addison:

25 Q. On page 15 of your testimony, just let me

1 know when you're there.

2 A. Okay. I'm there.

3 Q. And I believe we've had an extensive  
4 discussion, I believe it was with Mr. Jones,  
5 regarding your two concerns of heavy precipitation  
6 and high seas with regard to the Staff Report  
7 Condition 22(c); is that correct?

8 A. Yes.

9 Q. Is it safe to assume heavy precipitation  
10 and high seas would at least be somewhat correlated  
11 with one another?

12 A. Not necessarily. I mean, high seas can  
13 be brought about by high winds. Oftentimes in a  
14 storm, when there is heavy precipitation as a result  
15 of a storm, that creates high winds which creates  
16 high seas. So it's not necessarily always true.

17 Q. Okay. But you haven't provided any  
18 information as to what -- if any type of correlation  
19 factor applies to those.

20 A. That's correct. I haven't provided any  
21 testimony, and I don't have an opinion today on that.

22 Q. Okay. Thank you.

23 And then just a follow-up with Mr. Jones'  
24 questioning just now as to the 80-percent requirement  
25 also in 22(c). You are not proposing any minimum

1 threshold --

2 A. That's correct.

3 Q. -- compared to that 80 percent, correct?

4 A. That's correct.

5 Q. And if you would turn, Mr. Karpinski, to  
6 page 21 of your testimony.

7 A. Okay. I'm on page 21.

8 Q. I believe in your discussion regarding  
9 Staff Report Condition 24, it starts on line 10, you  
10 have a reference to Ohio Revised Code 4906.10(A)(3).  
11 Do you see that?

12 A. Yes, I do.

13 Q. And a portion of that reference includes  
14 the phrase "other pertinent considerations," does it  
15 not?

16 A. Yes.

17 Q. In your opinion -- in your -- I think  
18 we've established you are not an attorney and you are  
19 just providing regulatory-expert opinion testimony  
20 today, in your -- in that capacity, in your opinion,  
21 would you believe that this phrase would allow the  
22 Board to consider the fact that this proposed  
23 facility would be the first freshwater installation  
24 of a wind-powered electric generation facility in  
25 Ohio?

1           A.    Yes.  I think that's appropriate, and I  
2    think there are many provisions in these plans, in  
3    the mitigation plans, the monitoring plans, and  
4    adaptive management strategies that I think consider  
5    that and respond to that fact that it is the first  
6    project in Lake Erie.

7           Q.    And correct me if I'm wrong, this is the  
8    first of such a project to be proposed in North  
9    America; is that correct?

10          A.    No.  There is one operating wind farm  
11    actually operating in Rhode Island.  It's off the  
12    coast of Block Island, which is an island off Rhode  
13    Island.  There are many projects proposed, in various  
14    stages of approvals, on the east coast.  We're the  
15    only project currently proposed in Lake Erie.

16          Q.    Okay.  But those other projects, are they  
17    either being proposed or constructed in freshwater?

18          A.    No, no.  Those -- those projects are all  
19    in seas.  I would say the freshwater is a  
20    distinction, but there are many, many similarities.  
21    The migratory pathways have similarities and the  
22    wildlife considerations are similar in a lot of these  
23    areas, and the wildlife experts can testify more to  
24    that later.

25                ALJ ADDISON:  Thank you.  That's all the

1 questions I have.

2 ALJ WALSTRA: Thank you. You're all set.

3 THE WITNESS: Oh, okay.

4 ALJ WALSTRA: Icebreaker, if you would  
5 like to move your exhibits.

6 MR. SECREST: Yes, your Honor, thank you.  
7 We would move for the introduction of Mr. Karpinski's  
8 testimony which is Exhibit 25. And I think the only  
9 other exhibit we presented -- we did present  
10 Applicant Exhibit 35 which was filed -- oh, I am  
11 sorry. We would move for the admission of  
12 Applicant's Exhibit 35, as well as 1 through 24.

13 ALJ WALSTRA: Thank you.

14 MR. SECREST: Thank you, your Honor.

15 ALJ WALSTRA: Any objections?

16 MR. JONES: Your Honor, I just want to  
17 note my continuing objection as to the pieces I have  
18 already outlined that were no foundation and hearsay.

19 ALJ WALSTRA: Barring that, and not  
20 hearing any objections, they will be admitted.

21 (EXHIBITS ADMITTED INTO EVIDENCE.)

22 ALJ WALSTRA: Would you like to move  
23 Joint Exhibit 1?

24 MR. SECREST: Yes, your Honor. Thank  
25 you. So moved.

1 ALJ WALSTRA: Any objections to that?

2 Hearing none --

3 MR. STOCK: Which one is Joint Exhibit 1?

4 ALJ WALSTRA: That's the Stipulation.

5 MR. STOCK: Okay.

6 ALJ WALSTRA: Hearing none, that will be  
7 admitted.

8 (EXHIBIT ADMITTED INTO EVIDENCE.)

9 ALJ WALSTRA: And, Mr. Stock, would you  
10 like to move your exhibits?

11 MR. STOCK: I would like to move Exhibits  
12 1, 2, 3, 3A [verbatim], 4, and 6. Exhibit 5 was the  
13 comments of Black Swamp and ABC and that was not a  
14 foundation -- a document for which I was providing a  
15 foundation.

16 ALJ WALSTRA: I'll note for the record,  
17 Exhibit 4 is also Joint Exhibit 1.

18 MR. STOCK: Sure. Okay. That's fine.

19 ALJ WALSTRA: Outside of that, any  
20 objections?

21 MR. SECREST: Just for clarification,  
22 Mr. Stock, was 7 the 3/12/18 Fish and Wildlife?

23 ALJ WALSTRA: I don't think he had a 7.

24 MR. SECREST: Did it end with 6, the  
25 Diehl Report?

1 MR. STOCK: No. Diehl is a joint  
2 exhibit.

3 ALJ WALSTRA: That was part of your  
4 Application, I believe.

5 MR. STOCK: So the December 21, Fish and  
6 Wildlife Service letter, became 6.

7 MR. SECREST: Okay. Thank you.

8 ALJ WALSTRA: The March 12th.

9 MR. STOCK: Excuse me.

10 MR. SECREST: Yeah. I believe the Fish  
11 and Wildlife, 21st letter, was Staff 2; is that  
12 right?

13 MR. STOCK: That's Staff?

14 ALJ WALSTRA: Yeah.

15 MR. STOCK: So 6 is the March 12th  
16 letter, okay.

17 MR. SECREST: No objection.

18 ALJ WALSTRA: No objections?

19 MR. SECREST: Thank you.

20 MR. JONES: No objections.

21 ALJ WALSTRA: It will be admitted.

22 (EXHIBITS ADMITTED INTO EVIDENCE.)

23 ALJ WALSTRA: We'll take a -- we'll take  
24 a break until 11:15.

25 (Recess taken.)

1           ALJ WALSTRA: We'll go back on the  
2 record. Briefly, I think I did skip over Staff's  
3 exhibits. If you would like to move.

4           MR. JONES: Yes, your Honor. I would  
5 like to move for the admission of Staff Exhibit 1 and  
6 2. 1 being the Staff Report of Investigation; 2  
7 being the U.S. Fish and Wildlife Service letter,  
8 December 21, 2017.

9           ALJ WALSTRA: Thank you.

10          Any objections?

11          Hearing none, those will be admitted.

12          MR. JONES: Thank you, your Honor.

13          (EXHIBITS ADMITTED INTO EVIDENCE.)

14          ALJ ADDISON: The Applicant may call its  
15 next witness.

16          MR. SECREST: Thank you, your Honor. The  
17 Applicant calls Dr. Caleb Gordon.

18          (Witness sworn.)

19          ALJ ADDISON: Thank you. Please be  
20 seated.

21          MR. SECREST: May I approach the witness,  
22 your Honor?

23          ALJ ADDISON: You may.

24          MR. SECREST: Thank you.

25          May I approach the Bench as well?

1 ALJ ADDISON: You may. Thank you so  
2 much.

3 (EXHIBIT MARKED FOR IDENTIFICATION.)

4 MR. SECREST: May I proceed, your Honor?

5 ALJ ADDISON: You may.

6 MR. SECREST: Thank you.

7 - - -

8 CALEB E. GORDON, PH.D.

9 being first duly sworn, as prescribed by law, was  
10 examined and testified as follows:

11 DIRECT EXAMINATION

12 By Mr. Secrest:

13 Q. Dr. Gordon, will you state your full name  
14 for the record.

15 A. My name is Caleb Edward Gordon.

16 Q. Okay. You have in front of you your  
17 prefiled testimony. Do you recognize that as such?

18 A. Yes.

19 Q. Do you have any corrections to your  
20 prefiled testimony?

21 A. Yes, I do.

22 Q. Please turn to page 10 of your prefiled  
23 testimony, specifically line 21.

24 ALJ ADDISON: Before we proceed,  
25 Mr. Secrest, would you like to mark this exhibit?

1 MR. SECREST: Yes, your Honor.

2 ALJ ADDISON: Thank you.

3 MR. SECREST: I would like to mark it as  
4 30, your Honor.

5 ALJ ADDISON: And, for clarification  
6 purposes, you passed out two documents designated as  
7 attachment CEG-11 and Attachment CEG-12. Was that  
8 also part of the prefiled testimony?

9 MR. SECREST: It should have been part of  
10 the prefiled testimony, your Honor, yes. It should  
11 have been attachments to 30. 11 is referenced as  
12 attachment -- as an attachment but it's referenced as  
13 Attachment CEG-2 and it should have been 11. And,  
14 similarly, 12 is referenced in the testimony as  
15 CEG-2; however, it should have been 12.

16 THE WITNESS: Those are some of the  
17 errors we were -- those are the mistakes we're about  
18 to fix.

19 MR. SECREST: So, your Honor, line 21 of  
20 page 10. And Dr. Gordon can confirm there is a  
21 Footnote No. 4. It says "See Attachment CEG-2." The  
22 footnote citation is correct. The reference to  
23 "CEG-2" is incorrect. It should be "CEG-11."

24 ALJ ADDISON: Thank you.

25 MR. SECREST: On that same page, your

1 Honor, line 25, there is another reference to  
2 "CEG-2." That also is an incorrect reference. That  
3 should be "CEG-12."

4 ALJ ADDISON: All right. Perfect. Thank  
5 you for that clarification. I apologize.

6 MR. SECREST: No problem.

7 Q. (By Mr. Secrest) Dr. Gordon, will you  
8 please turn to page 11, line 15.

9 A. Yes, I'm there.

10 Q. It states "with total bird fatality rates  
11 ranging from less than 1 to 7 birds/year...." Is the  
12 "bird/year" a correct reference?

13 A. No. That should read  
14 "birds/megawatts/year."

15 Q. Thank you.

16 Dr. Gordon, other than those corrections  
17 that we've just referenced and made, are you aware of  
18 any other corrections to your testimony?

19 A. No.

20 MR. SECREST: We would tender Dr. Gordon  
21 for cross-examination.

22 ALJ ADDISON: Thank you, Mr. Secrest.

23 Mr. Berkowitz, any questions?

24 MR. BERKOWITZ: No questions.

25 ALJ ADDISON: Thank you.

1 Ms. Leppla?

2 MS. LEPPLA: No questions.

3 ALJ ADDISON: Thank you.

4 Mr. Stock?

5 MR. STOCK: Yes. I want to make sure I  
6 have clarified what these exhibits are. Were these  
7 exhibits attached to his testimony?

8 MR. SECREST: They were not.

9 MR. STOCK: Okay.

10 MR. SECREST: 11 was referenced -- both  
11 were referenced in his testimony. 11 was footnote  
12 No. 4 in his testimony, but was inadvertently not  
13 attached.

14 MR. STOCK: Okay. I just wanted to  
15 clarify that.

16 MR. SECREST: Sure.

17 MR. STOCK: May I approach the witness?

18 ALJ ADDISON: You may.

19 MR. STOCK: With exhibits?

20 - - -

21 CROSS-EXAMINATION

22 By Mr. Stock:

23 Q. Good morning.

24 A. Good morning.

25 Q. We've spent some time together.

1           A.    Yes.

2           Q.    In deposition.  You know who I am.  I'm  
3 John Stock.  I represent the Intervenors here.

4           ALJ ADDISON:  Mr. Stock, would you mind  
5 just turning on your mic.  Thank you so much.

6           MR. STOCK:  Thank you.

7           Q.    You're being paid to provide your  
8 testimony today, correct?

9           A.    That's correct.

10          Q.    All right.  Now, if you take a look at  
11 your testimony, I've got it at Tab E in the binder.

12          ALJ ADDISON:  Mr. Stock, I'm sorry.  Just  
13 to be make sure the record is clear.  Since his  
14 testimony has been marked as Applicant Exhibit  
15 No. 30, if we could just be consistent with our  
16 references.

17          MR. STOCK:  Yes.  And thank you very much  
18 and if you can help me along the way --

19          ALJ ADDISON:  Absolutely --

20          MR. STOCK:  Because I have my separate  
21 binders, trying to keep it all organized.  I thank  
22 you.

23          Q.    (By Mr. Stock) Applicant Exhibit 30, your  
24 testimony.  On page 1, look at 19, line 19.

25          A.    On my page 1, I don't see the line

1 numbers.

2 Q. Page 2, I'm sorry, page 2. Page 1 of the  
3 text, but you're right. Page 2, line 19. It says  
4 "Over the course of my career, I have either designed  
5 and conducted, or evaluated wildlife risk and impact  
6 studies for over 100 wind energy projects across the  
7 United States and internationally," correct?

8 A. Correct.

9 Q. But in your entire professional career,  
10 you personally have never designed and implemented an  
11 avian radar study to identify the density of birds  
12 flying through a wind-turbine project area; isn't  
13 that correct?

14 A. That's not exactly correct.

15 Q. Let's take a look, Tab F is your  
16 deposition, and you might want to keep that out  
17 because we are going to be referring to that today.  
18 Let's go to page 23 of your deposition. Are you  
19 there?

20 A. Yes.

21 Q. Okay. Line 20, my question:

22 "Dr. Gordon, have you in your  
23 professional experience designed and implemented an  
24 avian radar study, the purpose of which was to  
25 identify the density of nocturnally migrating birds

1 within a wind turbine project area?" And what was  
2 your answer?

3 A. My answer was "No, I have not."

4 Q. Okay.

5 A. But if I may explain --

6 Q. No, I am not asking you to explain. You  
7 answered the question. Thank you.

8 ALJ ADDISON: Thank you. From now on, if  
9 the witness does go on to explain himself, allow him  
10 to finish his answer and then you can move to strike,  
11 but we will not cut off --

12 MR. STOCK: All right.

13 ALJ ADDISON: -- the witness.

14 MR. STOCK: That's fine.

15 A. What I would like to say about that is  
16 that, in fact, at the time of my deposition, I must  
17 not have remembered or recalled one that I had  
18 designed and conducted for a wind project in Florida,  
19 many years ago, that was, in fact, a radar study. It  
20 was using NEXRAD radar to determine density and  
21 activity of nocturnally migrating over a wind project  
22 area. So I answered incorrectly in my deposition  
23 accidentally.

24 Q. That's interesting. Where did -- did you  
25 rent a NEXRAD radar unit and place it at the project

1 site?

2 A. No.

3 Q. Okay.

4 A. Do you want more explanation?

5 Q. No. Just let me ask the questions.

6 Let's -- let's tell the hearing officers  
7 about what NEXRAD radar is. It seems to be an  
8 apropos time. NEXRAD radar in a national system of  
9 radar facilities that collect weather radar, correct?

10 A. Correct.

11 Q. Okay. And there are 180 some -- how  
12 many -- how many are there?

13 A. I don't know the number off the top of my  
14 head, but that seems approximately correct.

15 Q. Okay. And did the Government install  
16 that system?

17 A. I believe so.

18 Q. Okay. So when you talk about, in your  
19 answer, having designed and implemented an avian  
20 radar study, what you're talking about is you, in  
21 Florida, used weather radar from an existing  
22 government NEXRAD radar instrument; is that correct?

23 A. That's correct.

24 Q. Okay. You did not rent or purchase and  
25 take any avian radar unit to a project site, correct?

1           A.    That's correct.

2           Q.    Okay.  And we'll get into --

3           A.    That's correct, but we did do exactly  
4 what you asked in your question which is implement an  
5 avian radar study, the purpose of which was to  
6 identify the density of nocturnally-migrating birds  
7 within a wind-turbine project area.  That's precisely  
8 what we did in that study.

9           Q.    Well, the data you used, you obtained for  
10 free, right?

11          A.    Yes.

12          Q.    And that's often why NEXRAD radar is used  
13 by people, because it is free, right?

14          A.    I would say it has more to do with the  
15 fact it's useful.

16          Q.    And free, correct?

17          A.    Can't beat the price.

18          Q.    Right, exactly.  Okay.

19                Now, keep your deposition out because it  
20 appears we are going to need to use it.

21                You personally have never designed and  
22 implemented an avian radar study to determine the  
23 relationship between the density of migrating birds  
24 in a turbine project area and the mortality rate of  
25 such birds in an operating project area.

1           A.    That's correct.

2           Q.    Okay.  You do not know how many birds fly  
3 through the rotor-swept zone of the proposed project  
4 during the annual spring migration of migratory birds  
5 over Lake Erie, correct?

6           A.    That's not entirely correct.

7           Q.    All right.  Let's stick with your  
8 deposition.  Let's go to page 24.

9           A.    I'm there.

10          Q.    Line 23.  "Okay.  During the annual  
11 spring migration of migratory birds over Lake Erie,  
12 how many birds migrate through the rotor-swept zone  
13 of the proposed project site?"  What did you say?

14          A.    I said, "Well, it's difficult to say with  
15 precision" and that "I could bracket the range very  
16 broadly."

17          Q.    No, no.  I am asking you to read.

18          A.    That's what I said.  My first answer is,  
19 "Well, it's difficult to say with precision."

20          Q.    Stop there.

21                ALJ ADDISON:  Mr. Stock, I am going to  
22 allow him to read his answer --

23                MR. STOCK:  Okay.

24                ALJ ADDISON:  -- into the record and  
25 then --

1 MR. STOCK: All right.

2 A. What it says here in my deposition, my  
3 answer was: "Well, it's difficult to say with  
4 precision."

5 Then your next question was: "Okay."

6 And my next answer, which is really a  
7 clarification of the original answers, was: "I could  
8 bracket the range very broadly."

9 Q. Okay, okay. Let's start again. The way  
10 I want to do this is I will ask what question I  
11 asked, and I want you to give the answer to -- that  
12 you gave in your deposition. If there is a follow-up  
13 question, I will read the follow-up question, okay?

14 A. That's all I did was read from my  
15 deposition, sir.

16 Q. All right. Well, let's do this. I  
17 asked: "During the annual spring migration of  
18 migratory birds over Lake Erie, how many birds  
19 migrate through the rotor-swept zone of the proposed  
20 project site?" And what was your answer to that  
21 question only?

22 A. "Well, it's difficult to say with  
23 precision."

24 Q. All right.

25 "Okay."

1                   And then what do you say?

2           A.    "I could bracket the range very broadly."

3           Q.    And I say, "Okay. Bracket the range for  
4 me." And what do you say?

5           A.    "Difficult to say with precision."

6           Q.    "Question: Bracket the range for me."  
7 What do you say?

8           A.    I'm reading here.

9                   "Answer: Well, the best I would do would  
10 be to make a fairly broad bracket. And, in fact, I  
11 don't have a very good basis for putting specific  
12 numbers of what you asked for specifically, which is  
13 how many birds pass through the rotor-swept zone --

14          Q.    "Question: Of this proposed project."

15          A.    -- of this proposed project area. I  
16 don't have a good basis for putting numbers to that."

17          Q.    "Okay. You certainly" -- and you answer?

18          A.    "I can give you an answer in terms of  
19 relative to other environments."

20          Q.    "No. I'm concerned about this  
21 environment." And you said?

22          A.    "Yeah."

23          Q.    All right. Now, let's go to page 27.

24                   ALJ ADDISON: Mr. Stock, are you still in  
25 his deposition?

1 MR. STOCK: Yes.

2 ALJ ADDISON: No, I am going to cut it  
3 off right there. You can ask a question, and then,  
4 if his answer is contrary to what he has provided in  
5 his deposition, then you can bring in his deposition.

6 MR. STOCK: And that's exactly why I am  
7 doing this. He said --

8 ALJ ADDISON: Don't point to the page of  
9 the deposition before you ask your question. So just  
10 ask your question, and then, if his answer varies  
11 from what he has already provided in his deposition,  
12 you can raise his deposition.

13 MR. STOCK: I asked the question: "Do  
14 you" -- this is what started this colloquy. I asked  
15 the question: "Do you know how many birds fly through  
16 the rotor-swept zone of the proposed project during  
17 the annual spring migration?" I said -- I asked the  
18 question: "You do not know how many birds fly through  
19 the rotor-swept zone in the proposed project during  
20 the annual spring migration of migratory birds over  
21 Lake Erie." And your answer was?

22 THE WITNESS: My answer today?

23 MR. SECREST: You are asking him answer  
24 to now?

25 MR. STOCK: Yeah, I am asking you now.

1 THE WITNESS: Can we read it back from  
2 the record?

3 MR. STOCK: I'll repeat it.

4 Q. (By Mr. Stock) You do not know how many  
5 birds fly through the rotor-swept zone of the  
6 proposed project during the annual spring migration  
7 of migratory birds over Lake Erie, correct?

8 A. I already answered that once, right? And  
9 you didn't like my answer, but I believe my answer  
10 today would be the same as what we just reviewed in  
11 my deposition which is I couldn't tell you with  
12 precision, but I can tell you in relative terms and  
13 that's exactly what's important for doing the risk  
14 assessment we did.

15 Q. So you can't tell us the number, correct?  
16 The number of birds that fly through the project  
17 area.

18 A. That's correct.

19 Q. You can't tell us a range of the numbers  
20 that fly through the project area, correct?

21 A. That's incorrect. I can give you a  
22 broad -- a bracket very broadly.

23 Q. Okay. Now, we will go to page 27 of your  
24 deposition. I asked you, line 10:

25 "All right. We'll break it up. Spring

1 migration.

2 "To a reasonable degree of scientific  
3 certainty, what is your opinion of the number of  
4 birds that migrate through the rotor-swept zone of  
5 this project?"

6 And what did you answer to that question?

7 ALJ ADDISON: Wait. I don't believe you  
8 have asked a question regarding "within a reasonable  
9 degree of certainty." So if you would like to ask  
10 that question. I would prefer not to reference his  
11 deposition. That's what I am getting at. If you  
12 just want to ask the question outright, if he gives  
13 an inconsistent answer, then we can reference the  
14 deposition. But we're not going to go and read  
15 through his deposition answers.

16 MR. STOCK: That is a primary way of  
17 impeaching the witness.

18 ALJ ADDISON: Exactly, but you haven't  
19 asked the question that you asked in the deposition  
20 yet.

21 MR. STOCK: It doesn't have to be  
22 verbatim, the same question. If the gist of his  
23 answer here is inconsistent with what he said in his  
24 deposition, I'm allowed to use this to impeach.

25 ALJ ADDISON: If he is inconsistent. I

1 am not saying you can't use his deposition. I am  
2 just asking you to take a step back and ask the  
3 question as you asked it during his deposition. If  
4 he provides an inconsistent answer, then you can use  
5 the deposition to impeach him.

6 MR. STOCK: But that's my point. I am  
7 not required to ask verbatim the same question. If  
8 the substance of his answer, which he has now given  
9 us, is that --

10 ALJ ADDISON: I find that these are  
11 different questions. Please just take a step back  
12 and ask your question.

13 Q. (By Mr. Stock) To a reasonable degree of  
14 scientific certainty, can you tell us how many birds  
15 fly through -- you cannot tell us how many birds fly  
16 through the rotor-swept zone of the proposed project  
17 during the annual spring migration of migratory birds  
18 over Lake Erie; isn't that correct?

19 A. That's not entirely correct.

20 Q. Okay. You cannot give us a range -- you  
21 cannot give us the number, correct?

22 A. I can give a relative characterization  
23 which is, in fact, what's necessary to do the risk  
24 assessment that we were asked to do.

25 Q. What I have asked is: Can you give us

1 the number of birds?

2 A. I can bracket it broadly.

3 Q. You cannot give us a range, can you?

4 A. I can give you a very broad range.

5 Q. Okay. Now may I go through the  
6 deposition testimony?

7 Page 27, line 10.

8 "All right. We'll break it up. Spring  
9 migration.

10 "To a reasonable degree of scientific  
11 certainty, what is your opinion of the number of  
12 birds that migrate through the rotor-swept zone of  
13 this project?"

14 And what did you say?

15 A. I said, "My opinion is that the number of  
16 birds that migrate through the rotor-swept zone of  
17 this project, spring migration, is representative of  
18 the number that migrate through any region of a  
19 similar size in the Great Lakes region or below."

20 Q. And I asked the question: "And what's  
21 that number?" And you answered?

22 A. I said, "I don't know the exact number."

23 Q. And then I asked the question: "Okay.  
24 Do you have a range on the number?" And what did you  
25 say?

1           A.    I said, "No."

2           Q.    Okay.  You are not an expert in the  
3 design or deployment of avian radar studies; isn't  
4 that correct?

5           A.    That's correct.

6           Q.    All right.  You are not --

7           A.    I would say my expertise overlaps with  
8 that, certainly, as the area of radar ornithology is  
9 certainly part of my expertise.  It's not a primary  
10 technical area of my expertise, but my technical area  
11 of expertise certainly overlaps radar ornithology.

12          Q.    And you are not an expert in NEXRAD  
13 radar, are you?

14          A.    Again, I'm -- it has not been a primary  
15 research focus of my career.  However, I have used it  
16 and I am familiar with it at the level of a  
17 practicing expert, yes.

18          Q.    At the time of your deposition, you  
19 didn't know whether NEXRAD radar used S band radar;  
20 is that correct?

21          A.    That's correct.

22          Q.    Okay.  And you didn't know the wavelength  
23 of X-band radar at the time of your deposition,  
24 correct?

25          A.    Well, that's not entirely correct.  I

1     couldn't recall it off the top of my head at that  
2     moment, but it is something I am familiar with and  
3     have reviewed and incorporated into my research and  
4     work in the past.

5             Q.     Have you reviewed your deposition before  
6     today's testimony?

7             A.     I did. I think the last time was a few  
8     weeks ago.

9             Q.     Okay. And at your deposition you  
10    testified that, off the top of your head, you didn't  
11    know what the wavelength of X-band radar is, correct?

12            A.     That's correct.

13            Q.     Okay. NEX bad -- NEXRAD radar does not  
14    give any information about individual migrating  
15    birds, correct?

16            A.     That's not entirely correct.

17            Q.     Let's go to page 45 of your deposition.

18            A.     I'm there.

19            Q.     Line 11, I asked the question:

20                    "And what do you mean by 'informative'?  
21    Can the NEXRAD radar data give you the altitude of a  
22    migrating bird through the rotor-swept zone?"

23                    And what was your answer?

24            A.     What I said was "NEXRAD does not give any  
25    information about individual migrating birds."

1 Q. Okay.

2 A. But that's not inconsistent with what I  
3 said before, because what I said before was your  
4 statement was not entirely correct, and that's true.  
5 NEXRAD does not track individual bird targets.  
6 However, it does provide information on migratory  
7 birds collectively, large groups of migratory birds  
8 and, in that sense, it does provide information on  
9 migrating birds which includes individuals.

10 Q. You're not testifying today that NEXRAD  
11 radar can give you altitude data on an individual  
12 migrating bird, correct?

13 A. It actually has been used to give  
14 altitude information on migrating birds, but not  
15 through the tracking of individual migrating birds as  
16 targets.

17 Q. All right.

18 A. It more detects large groups or  
19 aggregations of birds.

20 Q. Okay. Please take a look at Tab G.

21 ALJ ADDISON: Mr. Stock, are you going to  
22 be marking this as an exhibit?

23 MR. STOCK: Yes. I was looking to see if  
24 it had already been marked. If it has not, I will  
25 be.

1 MS. LEPPLA: Your Honor, just to clarify,  
2 did we mark the deposition as an exhibit just for  
3 clarity? Just making sure.

4 ALJ ADDISON: Yeah, we typically do not  
5 mark the depositions, but thank you.

6 MR. STOCK: It's been filed in the  
7 record. So this would be Exhibit 7?

8 ALJ ADDISON: 7, I believe.

9 MR. STOCK: 7.

10 ALJ ADDISON: So is it Exhibit No. 7?

11 MR. STOCK: Yeah.

12 (EXHIBIT MARKED FOR IDENTIFICATION.)

13 Q. Mr. Gordon, can you identify Exhibit 7  
14 for the record, please?

15 A. Yes. This is a document dated February  
16 28, 2017, containing comments by Fish and Wildlife  
17 Service and Ohio Department of Natural Resources on  
18 the metrics of pre- and post-construction monitoring  
19 options that LEEDCo had provided by e-mail on  
20 January 5, 2017.

21 Q. Okay. Now, if you turn to page 2,  
22 Paragraph 3, under Radar.

23 In the comments of ODNR and Fish and  
24 Wildlife Service, it reads, in Paragraph 3a, does it  
25 not, "NEXRAD data is not useful for assessing

1 bird/bat behavior within rotor swept zone, which is  
2 the data we need." Do you see that?

3 A. My document must be different from yours.  
4 That's not what I -- oh, you are looking inside that  
5 paragraph but okay. That was inside that paragraph.  
6 Okay. I see it now, sorry. Can you read it again?

7 Q. Yes. 3a on page 2. "NEXRAD data is not  
8 useful for assessing bird/bat behavior within rotor  
9 swept zone, which is the data we need." That was a  
10 comment made by ODNR and Fish and Wildlife Service  
11 with respect to pre-construction and  
12 post-construction monitoring survey protocol,  
13 correct?

14 A. I believe the document speaks for itself.

15 Q. Okay. Then if you go down to 3b, small  
16 ii. "Preferred is radar data from project area - FWS  
17 and ODNR have been requesting this information since  
18 2008." Is that correct?

19 A. The document speaks for itself, and I  
20 also want to point out that there are subsequent  
21 communications from the agencies on this subject  
22 matter in which they've expressed different opinions.

23 Q. And what communications would those be?

24 A. I would have to review the record. You  
25 probably got a better handle on it than I do.

1           Q.    Well, you just made the statement you  
2 were referring to other communications. What are  
3 they that you are referring to?

4           A.    Statements that have acknowledged that,  
5 for example, the use of vessel-based radar may  
6 produce viable data.

7           Q.    You've -- you sat through the testimony  
8 of Mr. Karpinski. Are you referring to the March 12,  
9 2018, Fish and Wildlife Service letter?

10          A.    I believe that's correct.

11          Q.    Any other document?

12          A.    Not that I'm aware, but I wouldn't  
13 necessarily have a complete record of the  
14 communications.

15          Q.    Now, WEST has not obtained any data  
16 regarding the density of birds, nocturnally-migrating  
17 birds, at the 20-meter to 100-meter altitude through  
18 the rotor-swept zone at this site, correct?

19          A.    That's an extremely misleading question  
20 because we have obtained data on  
21 nocturnally-migrating birds at the project site,  
22 including within portions of the rotor-swept zone and  
23 in the portion of airspace where most  
24 nocturnally-migrating birds are known to fly. So  
25 that's a misleading and deceptive question. The

1 answer to your question is no, we have not, but  
2 there's no need to.

3 Q. What is the rotor-swept zone -- what is  
4 the elevation of the rotor-swept zone for these  
5 turbines?

6 A. I believe it goes from 20 meters above  
7 the water to 146 meters.

8 Q. Okay. And NEXRAD data -- NEXRAD radar  
9 did not go below 114 meters at the position of the  
10 turbine proposed to be nearest to shore, correct?

11 A. That's correct, but I want to point out  
12 very few birds migrate in those altitudes; that's  
13 well known.

14 Q. So it is correct --

15 A. NEXRAD radar did detect birds in the  
16 chunk of the sky where birds are known to migrate  
17 which is roughly from about 200 meters to over a  
18 thousand meters. In fact, the NEXRAD data we analyze  
19 is ideally suited to detect birds in that area which  
20 is where nocturnally-migrating birds fly.

21 Q. Well, you have absolutely no radar data  
22 from the level of elevation of the Lake to up to  
23 114 meters at the turbine closest to shore, correct?

24 A. In fact, even that is not correct because  
25 of the properties of NEXRAD radar. The beams bend

1 and, while we define the lower limit of the beam  
2 generally at 114 meters at this project site, in  
3 fact, the boundary is fuzzy. And it's well known  
4 that radar beams -- the energy of radar beams is  
5 diffuse. And, in fact, we probably do have some --  
6 we certainly do have some information that came from  
7 lower elevations, but it's -- this line of  
8 questioning is besides the point, because our job was  
9 to assess risk to birds at this project site.

10 And what we do is we analyze NEXRAD data  
11 from the sweet spot of the zones where birds actually  
12 do migrate, and we got actually a very robust  
13 characterization of the density of migrating birds  
14 over the project site, compared with other sites,  
15 which shows that it's a migratory cold spot.

16 Q. Let's turn to page 66 of your deposition.  
17 Line 8.

18 "Okay." This is me. "So what is your  
19 data regarding the density of birds, nocturnally  
20 migrating birds, at the 20-meter to 100-meter  
21 altitude through the rotor-swept zone of this site?"

22 Mr. Secrest opposed -- interposed an  
23 objection. "Assumes facts not in evidence. You can  
24 answer, if you can."

25 And then what was your answer?

1           A.    I said, "I guess I would say that we were  
2 never asked to collect any such data. We were asked  
3 to address risk to this group of birds, and we used  
4 information informative to that purpose. We were  
5 never asked to get the specific information to which  
6 you're referring."

7                   And, to that, I would add that I know  
8 you've suggested that you should get such data, but  
9 you're not familiar with industry-standard practice,  
10 because that's not how these kind of risk assessments  
11 are done for this type of group of birds.

12           Q.    I don't see that.

13                   ALJ ADDISON: Thank you. Thank you. I  
14 will address it.

15                   Dr. Gordon, I will direct you, from this  
16 point forward, to just simply answer Mr. Stock's  
17 questions. If there is any additional information  
18 that your counsel would like to bring up during  
19 redirect, I believe that would be the more  
20 appropriate time to raise those concerns. Thank you.

21                   THE WITNESS: Thank you.

22                   MR. STOCK: Thank you.

23                   ALJ ADDISON: Thank you.

24           Q.    (By Mr. Stock) And then my question was:

25                   "So you do not have that information as

1 we sit here today; correct?"

2 And what was your answer?

3 A. "That's correct."

4 Q. Okay. Now, the radar that Icebreaker,  
5 the avian radar that Icebreaker intends to use for  
6 its pre-construction radar studies is not NEXRAD  
7 radar data, correct?

8 A. Actually, I understand the project team  
9 is considering using NEXRAD in combination with other  
10 radars.

11 Q. "In combination," you mean on days when  
12 the unit operating on the vessel is not providing  
13 data, to use NEXRAD from the KCLE radar station to  
14 cover those times?

15 A. Not entirely limited to that. My  
16 understanding would be potentially they would use  
17 NEXRAD, continuous analysis of NEXRAD for the entire  
18 migratory seasons overlapping the seasons of data  
19 collection of other radars.

20 Q. Okay. Now, the radar, pre-construction  
21 radar studies -- study that Icebreaker is going to  
22 implement, that radar must be able to provide --  
23 determine flight altitude of migrants, within the  
24 entirety of the rotor-swept zone, to quantify  
25 collision risk; isn't that correct?

1           A.     That's not correct.

2           Q.     Okay.  Let's go to the Stipulation.

3           MR. STOCK:  And is there a copy there  
4 before the witness?

5           MR. SECREST:  There is a copy, I believe,  
6 in the binder for Mr. Karpinski.  I believe it's D.

7           A.     If you want, I can clarify.  Part of your  
8 statement was correct, but part of it was incorrect.

9           Q.     No.  I didn't ask for a clarification at  
10 this point, just your answer.  Let's go to Condition  
11 22(d) of the Stipulation, and this is the Stipulation  
12 proposed by Icebreaker.  What does it say about  
13 radar?

14          A.     It says "Radar must be able to determine  
15 flight altitude of migrants at altitudes near and  
16 entirely within the rotor-swept zone at the project  
17 site to quantify collision risk."

18          Q.     Okay.  Thank you.  And WEST has not done  
19 a radar study that -- where the radar covers the  
20 entirety of the rotor-swept zone of the project,  
21 correct?

22          A.     That's correct.

23          Q.     All right.  Your -- I want to take a look  
24 at your testimony on page 15.

25          A.     Okay.  I'm there.

1           Q.    Down toward the bottom, it reads: "It is  
2 well-known that nocturnal migrants typically fly at  
3 altitudes well above the rotor swept zone of wind  
4 turbines, including the 146 meter-tall turbines of  
5 the Icebreaker project, under most circumstances...."  
6 Do you see that?

7           A.    Yes.

8           Q.    And then you say "See attachment CEG-9."

9           A.    Correct.

10          Q.    What is CEG-9?

11          A.    CEG-9 is a study that was published by  
12 the National Academy of Sciences, in 2007, that's  
13 entitled "Environmental Impacts of Wind-Energy  
14 Projects."

15          Q.    And in that study they cite no analysis  
16 of the flight altitude of migrants over a large  
17 inland lake such as Lake Erie; is that correct?

18          A.    You've asked -- you've narrowed it to  
19 only over freshwater inland lakes. What they have  
20 done is discussed evidence about flight altitude of  
21 nocturnal migrants. They have not done so  
22 specifically over a freshwater inland lake.

23          Q.    Okay. Now, you also cite in your report,  
24 the Archibald letter in the Auk, and let's first take  
25 a look at your testimony here, page 15.

1 (As read): "This pattern was demonstrated  
2 specifically for the central Lake Erie basin in a  
3 recent peer-reviewed study published in 2007 in the  
4 leading ornithological journal, the Auk, by a team of  
5 leading radar ornithologists (See Attachment  
6 CEG-10)." Correct?

7 A. No, that's not correct.

8 Q. What -- did I read that incorrectly?

9 A. Yes. You said "2007." It's actually  
10 2017.

11 Q. All right. Thank you. Thank you for the  
12 correction. With that correction --

13 A. You asked me if it was correct.

14 Q. All right. Okay. We'll get through it.  
15 So you cite that article, correct?

16 A. Yes.

17 Q. All right. Now, I have that article at  
18 my Tab I, and with help from --

19 ALJ ADDISON: I believe it's attached to  
20 your testimony as Attachment CEG-10.

21 MR. STOCK: You're right, you're right,  
22 so I don't need to worry about it. Thank you.

23 A. CEG-9 or CEG-10.

24 Q. CEG-10. This Auk article, the radar data  
25 that was used was the free NEXRAD radar data,

1 correct?

2 A. Correct.

3 Q. All right. So like the NEXRAD radar data  
4 from KCLE, it would not go below 114 meters at the  
5 closest turbine in the project site, correct?

6 A. That is not correct.

7 Q. Okay. Tell me why that's not correct.

8 A. Because the beam of NEXRAD radar goes up  
9 as it goes out. So the elevation that you are  
10 sampling depends on your distance from the radar.

11 Q. Okay.

12 A. So in our NEXRAD analysis of the project  
13 site and comparison sites, it was the beam generally  
14 can be characterized as going from 114 to 963 meters  
15 because it was located at about 20-some-odd  
16 kilometers from the radar station.

17 However, in Archibald et al.'s analysis,  
18 what they did was they looked at a whole range of  
19 different distances from radars and, in so doing,  
20 they actually got data from slightly lower elevations  
21 than that.

22 Q. They got lower elevations for the project  
23 site?

24 A. No, not the project site. But actually  
25 for the same orientation that would track the same

1 birds flying over the project site and they actually  
2 did use KCLE radar. So they studied 3-by-3 kilometer  
3 chunks lined up along the shoreline, both offshore  
4 and onshore, along the shoreline. So they actually  
5 did have study sites oriented directly between the  
6 KCLE radar station and the project site, studying the  
7 same birds that are, in principle, migrating over the  
8 project site. But because those sites are closer to  
9 the radar, they're actually lower elevation. And  
10 they did not look at the Icebreaker project site;  
11 they only looked at those along the shoreline sites.

12 Q. So, I mean, let's take a look at where  
13 they had their radar. On page 195. Do you have  
14 that?

15 A. Yeah.

16 Q. Figure 1?

17 A. Yes.

18 Q. They've got KCLE, correct?

19 A. Correct.

20 Q. All right. And you've testified from  
21 KCLE, that NEXRAD radar location, that's what, about  
22 14 miles from the project site?

23 A. Which? The radar station?

24 Q. Yeah, KCLE.

25 A. That sounds about right.

1           Q.    Okay.  And the lowest that that radar  
2 beam goes is 114 meters at the closest wind turbine,  
3 right?

4           A.    It actually includes the 2-mile buffer  
5 from the wind turbine but, yeah.  Our project site  
6 area of analysis.

7           Q.    Yeah, okay.  So is that correct, at the  
8 first turbine, the lowest it goes is 114 meters?

9           A.    That's not exactly correct, no.

10          Q.    What's incorrect about that?

11          A.    The 114-to-963 range encompasses our  
12 whole study area over the project site that included  
13 not only the locations of the turbines, but also a  
14 2-mile buffer.  So the 114 is actually from 2 miles  
15 closer to Cleveland than the nearest turbine.

16          Q.    So I want to make sure the record is  
17 clear.  How low did the KCLE NEXRAD radar beam go  
18 over what would be the spot of the turbine from this  
19 project closest to the shore?

20          A.    It would be incrementally a little bit  
21 higher than 114 over -- over the turbines themselves.

22          Q.    Okay.  Thank you.  Thank you.

23                   Now, looking at this page 195 and the  
24 radar data that was used, is it your understanding  
25 that they used radar data from the KCLE radar

1 station?

2 A. As well as two others, yes.

3 Q. We will -- all right. KGRR.

4 A. Correct.

5 Q. All right.

6 A. That's one of them.

7 Q. Was that a NEXRAD radar?

8 A. Yes.

9 Q. And then KGRB.

10 A. Correct.

11 Q. All right. So with respect to the  
12 project site, the KGRR radar station is significantly  
13 farther away from the project site than the KCLE,  
14 right?

15 A. That's correct. And that's why they  
16 don't use the KGRR radar data to talk about the Lake  
17 Erie. They use that to talk about that southeastern  
18 portion of Lake Michigan which is the area it covers.

19 Q. Okay. So with respect to this report and  
20 any information it has regarding Lake Erie, that  
21 comes from KCLE; is that correct?

22 A. Right. That's correct.

23 Q. All right. Now I'm with you. And we are  
24 not below 114 meters.

25 A. Yes, we are. Yes, we are.

1 Q. Okay.

2 A. You asked earlier about what our data for  
3 our NEXRAD analysis for the project was, and that's  
4 where it was -- where I said it was incrementally  
5 higher than 114 or as low as 114 for the buffered  
6 area.

7 Q. Right.

8 A. For this study, because their study sites  
9 were actually closer to the radar than the Icebreaker  
10 project site is, it actually includes elevations a  
11 little bit lower. Because the closer you are to the  
12 NEXRAD station, the lower you are looking at, because  
13 the beams go up as they go out. All right. So if  
14 you can see in Figure 1, those thick white lines in  
15 the portion to the left?

16 Q. Uh-huh.

17 A. Those are the shoreline areas where they  
18 looked. And so you can see, some of them, the ones  
19 that are closest to KCLE are right along the shore,  
20 in fact, up to 3 kilometers inland from shore.  
21 That's much closer to the KCLE radar than the  
22 Icebreaker project site is. So, at those areas, I  
23 would have to do the calculations, but they are  
24 certainly looking below 114 meters. I don't know  
25 exactly how low.

1           Q.    Okay. All right. But what I am trying  
2 to make the record clear on, with respect to this Auk  
3 article, does it have any data relative to the area  
4 of the project site that is below 114 meters?

5           A.    Yes.

6           Q.    Okay. What -- what beam of radar does it  
7 have going below 114 meters at the project site?

8           A.    You didn't ask me that. You asked me  
9 relative to the project site. And what this project  
10 does is -- or what this paper did is they actually  
11 didn't just look at elevational distributions from  
12 one spot.

13                   What they did was they looked at the  
14 elevational distributions of nocturnally-migrating  
15 birds by creating a giant composite. In this case,  
16 from the KCLE radar, they did it for Central Lake  
17 Erie Basin. And that composite was made from all of  
18 their little 3-by-3 kilometer study sites, dozens of  
19 them, lined up along the shorelines. So some of  
20 those are close; those ones detect the lower  
21 elevation. Some of them are further away; those  
22 detect a higher elevation.

23                   They put them all together and they  
24 created this composite elevational distribution of  
25 migrants over the Central Lake Erie Basin, and that

1 is very relevant to the project site because it's the  
2 Central Lake Erie Basin, and it does include  
3 information from below 114 meters.

4 Q. It does not have any data -- any  
5 information at the project area below 114 meters at  
6 the project area.

7 A. It doesn't have any information at the  
8 project area at all.

9 Q. Okay.

10 A. But -- because the scope is broad to the  
11 whole Central Lake Erie Basin and, again, it's a  
12 composite that is meant to represent migration --  
13 altitudinal distribution of migrants in that -- in  
14 that region.

15 Q. Okay. So if you take a look at page 200  
16 of this report, first full paragraph, about halfway  
17 down, it reads "Unfortunately, low flying" --

18 A. Hang on. Let me find you. I see --  
19 because you are not at the beginning of the  
20 paragraph.

21 Q. No.

22 A. I see where you are.

23 Q. It's the middle of the paragraph. Do you  
24 see where I am?

25 A. Yes.

1           Q.    "Unfortunately, low-flying birds could  
2 not be detected far from shorelines by the radars we  
3 used, so whether most birds far from shorelines also  
4 reorient toward shorelines or not is difficult to  
5 evaluate." Did I read that correctly?

6           A.    Yes, you did.

7           Q.    Okay. Thank you. Now, I would like you  
8 to take a look at the report that is at Tab J.

9           A.    I got it.

10           MR. STOCK: And this will be a new  
11 exhibit for us. And so, would that make it 8?

12           ALJ ADDISON: I believe we are on  
13 Residents' Exhibit No. 8.

14           MR. STOCK: Thank you.

15           ALJ ADDISON: It will be so marked.

16           (EXHIBIT MARKED FOR IDENTIFICATION.)

17           Q.    (By Mr. Stock) I want to direct your  
18 attention to page -- oh, you're a coauthor on this  
19 report, correct?

20           A.    Yes.

21           Q.    Okay. I want to direct your attention to  
22 page 23. And this report that you and Chris Nations  
23 authored, this was paid for by Icebreaker, correct?

24           A.    That's correct.

25           Q.    All right. It was not subjected to peer

1 review, correct?

2 A. It was subjected to internal peer review.

3 Q. You mean internal within WEST?

4 A. That's correct. And it would be highly  
5 inappropriate for us to do anything else because this  
6 is confidential information for a client. We're  
7 bound by a confidentiality agreement.

8 Q. It's filed in this case, is it not?

9 A. Well, you asked me was it subjected to  
10 peer review. At the time when we produced it, this  
11 hearing was -- of course, it predates this hearing  
12 and, at that time, this is confidential project  
13 information and it would be highly inappropriate for  
14 us to submit it for peer review.

15 Q. Well, it's now public information, right?

16 A. I suppose so.

17 Q. Yeah. And it hasn't been put out for  
18 peer review by WEST, correct?

19 A. No, it has not.

20 Q. Okay. What is peer review?

21 A. Peer review, I think most scientists  
22 would acknowledge is one of the most-important  
23 practices and principles of professional science,  
24 perhaps equivalent to something to like the Bar  
25 Association for lawyers.

1           It is a process by which the editors of  
2 journals, to which scientists submit articles for  
3 publication, will select peers, that is, other  
4 experts within -- with knowledge in that subject  
5 matter, to review manuscripts prior to publication,  
6 to suggest -- to evaluate whether or not they are  
7 acceptable, or whether or not they need revisions.  
8 And it's that process of peer review that's  
9 considered to maintain and uphold the standards of  
10 the quality of scientific contents and objectivity.  
11 That's a primary principle of professional science.

12           Q.    Okay. And no science -- you indicated  
13 that this report has not been peer reviewed. No  
14 scientist, not paid by Icebreaker, has opined that  
15 the analyses and conclusions in this report are  
16 scientifically valid, correct?

17           A.    I'm not entirely certain of that. Since  
18 we produced it, so many of these documents have been  
19 reviewed by others. In fact, I don't recall, off the  
20 top of my head, if we've, for example, given this  
21 report for review to some of the other experts who  
22 have been pulled into this project. I'm not certain.

23           Q.    You mean experts pulled into the project  
24 by Icebreaker?

25           A.    Well, for example -- not necessarily. In

1 the case of Robb Diehl, he was pulled in, as  
2 Mr. Karpinski testified, as an objective neutral  
3 third party to be -- the intent was he would be paid  
4 jointly by the Fish and Wildlife Service and  
5 Icebreaker. So he was, in fact, a neutral party, not  
6 a party representing Icebreaker.

7 Q. That's a good example then. Has  
8 Mr. Diehl opined anywhere that the analyses and  
9 conclusions in this report are valid?

10 A. That's what I was wondering. I'm not  
11 certain if he has or not.

12 Q. As we sit here today, can you identify  
13 any document in which he's done that?

14 A. No.

15 Q. Okay. Now, you were paid by Icebreaker  
16 to prepare this report, correct?

17 A. That's correct.

18 Q. You provided a draft of the report to  
19 Icebreaker before it was finalized, correct?

20 A. I don't remember. This is almost two  
21 years ago now. I don't remember the exact process of  
22 drafts and revisions that we followed.

23 Q. Are you telling us you don't know if this  
24 report was reviewed -- you provided a copy of this  
25 report to be reviewed by Icebreaker prior to it being

1 submitted in the record in this case?

2 A. That's what I am saying. I don't recall.

3 MR. SECREST: Objection, mischaracterizes  
4 his testimony. That wasn't the question that was  
5 asked before.

6 ALJ ADDISON: Well, I think he already  
7 answered, so.

8 Q. Okay. Page 23 of your report.

9 A. Yes.

10 Q. Under "Caveats," would you please read  
11 that second paragraph into the record?

12 A. Okay. "There are several other important  
13 limitations to this analysis. It cannot distinguish  
14 individual targets, nor can it distinguish birds from  
15 bats, nor any other target that might move faster  
16 than measured wind speed. Furthermore, the velocity  
17 filter is a fairly crude tool. For instance,  
18 slow-moving targets, such as birds soaring on the  
19 wind, will be automatically removed. Also, NEXRAD  
20 cannot detect targets that are close to the ground,  
21 except at very close range. In the case of KCLE,  
22 most near range data will necessarily be over land,  
23 or close to shore over Lake Erie."

24 Q. Thank you.

25 You don't retract those conclusions of

1 your report; is that correct?

2 A. No.

3 Q. Okay. You do not possess any data  
4 regarding bird fatality rates at wind turbine  
5 projects in an inland lake; is that correct?

6 A. Again, that's a highly-misleading  
7 question. We do possess and reviewed and put great  
8 emphasis on an extensive review of bird fatality  
9 rates at wind farms within the Great Lakes region  
10 including many that are in lakeshore environments, or  
11 a handful. Because there are no wind facilities in  
12 inland lakes, it would be impossible to have fatality  
13 data from such a facility.

14 Q. That's correct. And an inland wind  
15 turbine project, generally how are fatality studies  
16 done?

17 A. With people who go out and perform  
18 periodic systematic carcass searches of the ground  
19 below the turbines and then apply various bias  
20 corrections to generate statistical estimates of  
21 fatality rates.

22 Q. How would you do that in Lake Erie?

23 A. In Lake Erie, we have been discussing how  
24 we would do that for some time now. Mr. Good will  
25 testify on the monitoring plans in prep and as

1 represented in the MOU with ODNR and the BBCS, as  
2 well as some of the other methods that the team is  
3 currently exploring. It has not been determined  
4 exactly the methodology yet. That was a lot of the  
5 subject of the discussion from Mr. Karpinski's  
6 testimony regarding I believe it's Condition 19, but  
7 it is -- it has not been determined yet, but clearly  
8 the same methods we use at land-based facilities,  
9 searching the ground below the turbines, are not  
10 available.

11 Q. Right.

12 A. So what I can say about it is it will  
13 rely on some form of remote sensing, either vibration  
14 sensors, cameras, or some combination thereof, and  
15 associated software, for example.

16 Q. But you can't do carcass searches like  
17 you do on land, correct?

18 A. That's correct.

19 Q. And carcass searches is the standard  
20 methodology for fatality studies on land-based  
21 project, correct?

22 A. Correct.

23 Q. All right. Now, because you are not  
24 aware of any existing wind turbine project in a  
25 freshwater lake, there are no studies that exist that

1 would correlate fatality rates at land-based wind  
2 turbine facilities with facilities in freshwater  
3 lakes, right?

4 A. You've asked a question where there is no  
5 possible answer except to agree, because you've  
6 defined it as whether or not a correlation has been  
7 determined between something -- one thing and  
8 something else which doesn't exist. Because the  
9 other thing doesn't exist, nobody has done a  
10 correlation yet.

11 However, a better question would be: Has  
12 the fatality rates of birds and bats at wind farms  
13 been characterized, and the answer to that is, yes,  
14 it has been very well characterized, and it's very  
15 consistent.

16 MR. STOCK: I move to strike. He is now  
17 asking himself a better question.

18 ALJ ADDISON: I will grant the motion to  
19 strike starting with "However, a better question."

20 Again, Dr. Gordon, that would be more  
21 appropriate during redirect.

22 THE WITNESS: I understand. I'm sorry.

23 ALJ ADDISON: No apologies.

24 Q. Let's go to Tab K.

25 MR. STOCK: This will now be Exhibit 9?

1 Exhibit 9.

2 ALJ ADDISON: It will be so marked.

3 (EXHIBIT MARKED FOR IDENTIFICATION.)

4 ALJ ADDISON: And just so the record is  
5 clear, it seems to be a document entitled "Icebreaker  
6 Wind: Summary of Risk to Birds and Bats" prepared by  
7 Caleb Gordon and Wallace P. Erickson.

8 MR. STOCK: Yes, thank you.

9 ALJ ADDISON: Thank you.

10 Q. (By Mr. Stock) Would you please identify  
11 this Exhibit 9 for the record.

12 A. Yes. This is what we often refer to as  
13 the risk assessment or the WEST risk assessment that  
14 was an analysis, a comprehensive analysis, of risk to  
15 all birds and bats from the Icebreaker project that  
16 we performed and finalized in November 2016.

17 Q. Okay. You were the primary author of  
18 this work?

19 A. That's correct.

20 Q. Okay. And Mr. Erickson worked with you  
21 on this work product; is that correct?

22 A. That's correct, as did many others at  
23 WEST.

24 Q. Okay.

25 ALJ ADDISON: Before we continue,

1 Mr. Stock, I do see that there is a line at the  
2 bottom of the cover of the document that indicates  
3 that this may be privileged or confidential  
4 information.

5 MR. SECREST: We filed it in the docket,  
6 your Honor. Thank you though.

7 ALJ ADDISON: Thank you for that  
8 clarification.

9 MR. SECREST: And the same is true for  
10 the prior exhibit.

11 ALJ ADDISON: Thank you. I just want to  
12 make sure we are able to stay in the public portion  
13 of our transcript.

14 MR. SECREST: Always appreciated.

15 ALJ ADDISON: Thank you.

16 Please proceed, Mr. Stock. I apologize  
17 for the interruption.

18 MR. STOCK: That's all right.

19 Q. (By Mr. Stock) Paragraph 1, about  
20 two-thirds of the way down, it reads "Nonetheless,  
21 there is still a great deal of uncertainty" --

22 A. Hang on. I need to find -- paragraph 1  
23 of the Executive Summary?

24 Q. No. Paragraph 1, page 1, I'm sorry,  
25 Introduction. I should wait for you.

1           A.    And you should tell me where you are.

2           Q.    Okay.

3           A.    Introduction, page 1.

4           Q.    I apologize.

5           A.    Where are you?

6           Q.    I'm on page 1, Introduction.

7           A.    Okay.

8           Q.    About two-thirds of the way down.

9           A.    "Nonetheless."

10          Q.    "Nonetheless, there is still a great deal  
11 of uncertainty regarding the potential for offshore  
12 wind energy to create adverse impacts on birds and  
13 bats, owing partially to the newness of offshore wind  
14 energy relative to land-based wind energy  
15 development, particularly in the US, and also to the  
16 inherent difficulties in gathering data on wildlife  
17 risks and impacts in the offshore environment." That  
18 is true, is it not?

19          A.    Yes.

20          Q.    Okay. And on page 6, the last full  
21 paragraph down at the bottom.

22          A.    I think I'm with you.

23          Q.    All right. "In the offshore realm, the  
24 carcass-searching field study methodologies" that  
25 have been advanced -- "that have advanced our

1 scientific understanding of bird and bat fatality  
2 rates at land-based wind energy facilities are  
3 generally unavailable," and as you just testified to,  
4 that is correct, is it not?

5 A. Yes.

6 Q. Page 7.

7 A. Yeah.

8 Q. That's a carryover paragraph of -- the  
9 last sentence of that carryover paragraph. "To date,  
10 no offshore wind energy facilities in Europe or  
11 elsewhere have reported bird or bat fatality rates  
12 generated from direct observations of bird or bat  
13 collisions with operating offshore wind turbines...."  
14 That is correct, is it not?

15 A. Yes.

16 Q. Okay. And then at the beginning of the  
17 next paragraph it reads: "Although empirical  
18 validation of predicted collision fatality rates has  
19 not yet been obtained for an offshore wind energy  
20 facility...." What does that mean?

21 A. Well, it really encapsulates one of the  
22 great challenges of this project and the prospect of  
23 having an offshore wind energy in this country and  
24 the world which is that it's harder to measure the  
25 fatality rates offshore, not impossible but harder.

1 So our project team sometimes described it as a mini  
2 moon landing. That's why we are having the  
3 discussions we are having about Condition 19 because  
4 nobody's ever done this yet. We hope to be the  
5 first. But, to date, there has not been a robust  
6 estimate of bird and bat fatality rates produced at  
7 an offshore wind facility anywhere in the world.

8 Interesting, in light of the fact that  
9 there's already been two decades of offshore wind  
10 development in Europe, it has happened without the  
11 kind of bird and bat fatality rates we are dead set  
12 on getting in this project.

13 Q. So, to date, there is no empirical  
14 validation of predicted collision fatality rates; is  
15 that correct?

16 A. I'm sorry. Can you repeat that?

17 Q. Yeah. I am reading your language. So,  
18 to date, there is no empirical validation of  
19 predicted collision fatality rates at offshore wind  
20 energy facilities, correct?

21 A. Partially correct. Some would argue  
22 there has been some validation in some examples of  
23 some cases, but not the kind of robust bird and bat  
24 fatality rate determinations that we are hoping for.

25 Q. Okay. And had LEEDCo placed out at the

1 project site, in 2008, a radar unit using X band --  
2 X-band radar, a vertical radar unit, it could have  
3 collected data regarding the altitude of birds within  
4 the project area, correct?

5 A. Yes, that's correct.

6 Q. And, 10 years later, it still has not  
7 done that, has it?

8 A. That's correct.

9 Q. Okay.

10 A. It's not really related to the first part  
11 but that's correct.

12 MR. STOCK: Excuse me a second.

13 ALJ ADDISON: Absolutely.

14 Q. (By Mr. Stock) And the altitude data for  
15 birds flying through the project area that could have  
16 been collected starting as early as 2008, pursuant to  
17 Condition 22(d) of the Stipulation, that could have  
18 been used to quantify collision risk, correct?

19 MR. SECREST: Objection, speculation,  
20 mischaracterizes testimony.

21 ALJ ADDISON: I'll allow him to answer  
22 the question, but provide him the latitude if he  
23 needs to clarify based on the question posed by  
24 Mr. Stock.

25 THE WITNESS: Thank you.

1           A.    Let me provide some clarification because  
2   that's a complicated question and it's an important  
3   technical issue in this case.

4                   In fact, the standard practice in Europe  
5   is to generate predicted collision fatality rates  
6   using exposure data, however, because of the absence  
7   of available technologies to monitor it directly.  
8   However, what is widely acknowledged and consensus,  
9   understood in our industry, is that I can summarize  
10   it by saying an ounce of post-construction data is  
11   worth a pound of pre-construction.

12                   You would much rather have actual  
13   proof-in-the-pudding results from existing projects  
14   to predict the potential fatalities at the next,  
15   rather than extrapolations based on a lot of  
16   assumptions just based on what kind of birds are in  
17   the area, what we would call exposure data, right?

18                   So even though, as you are saying, if a  
19   radar was -- had been placed in the area and gotten  
20   that kind of elevational distribution which we would  
21   call "exposure data," a collision risk prediction  
22   could have been made; in fact, I would argue that our  
23   predicted collision risk for this project, contained  
24   in our risk assessment, is actually much more robust.  
25   It allows for the variability of the uncertainty but

1 all of that is within the range of extremely low risk  
2 because of -- largely because of how small the  
3 project size is. But not only because of that,  
4 because of what we know from collision fatality rates  
5 empirically from fatality studies at other projects.

6 So, yes, while placing a radar at the  
7 project site, like you say, could have given us some  
8 exposure data, in fact, I would say it would not have  
9 given us any better basis to predict collisions.

10 Q. So when Icebreaker, in its Joint  
11 Stipulation, agrees that radar must be able to  
12 determine flight altitude of migrants at altitudes  
13 near and entirely within the rotor-swept zone at the  
14 project area to quantify collision risk, that's not  
15 correct that that data will not help inform  
16 quantifying collision risk?

17 A. That's not entirely correct.

18 Q. Okay. So the -- the language of this  
19 Stipulation is not correct?

20 A. Well, as you know, as an attorney,  
21 language is a little bit squishy when you look real  
22 closely at it with a microscope. Part of that is  
23 correct. But, in fact, the primary intent of the  
24 pre- versus post-construction radar that's discussed  
25 in the Stipulation is not oriented towards collision

1 risk. It's more oriented towards characterizing  
2 behavioral avoidance and attraction offense. Do  
3 these birds fly around it when they approach it,  
4 things like that. Because it's acknowledged that for  
5 collision risk that's already been  
6 well-characterized.

7 And, in fact, there will be some utility  
8 in the area of collision risk. Once we have  
9 side-by-side data on exposure and fatality rates,  
10 we'll be able to understand that better. And that's  
11 one of the hopes of how this demonstration project  
12 can help serve as a platform for making good  
13 science-based decisions on future proposed projects,  
14 should they get proposed. And, in that sense, the  
15 radar data will inform collision -- our understanding  
16 of collision risk because of the direct side-by-side  
17 comparison.

18 However, it's not the case that this  
19 information was needed, for example, in the risk  
20 assessment. The risk assessment already has a very  
21 robust conclusion based on other data, and the radar  
22 data is not necessary for that.

23 Q. Are you telling me that the presence of  
24 birds -- whether or not there are birds flying around  
25 in the rotor-swept zone, knowing that data before

1 construction and operation of this project, is not  
2 informative of whether or not the project presents  
3 collision risks to birds?

4 A. Correct. That is what I am telling you.

5 Q. Okay. Let's go to page 6 of your report.

6 A. My report. Which one is that?

7 Q. The document we were talking about. I'm  
8 sorry, the 2016, Summary of Risks to Birds and Bats.  
9 Page 6, first full paragraph.

10 A. Okay.

11 Q. "Beyond simple rates, one of the most  
12 important patterns that has emerged from bird and bat  
13 collision fatality studies at land-based wind energy  
14 studies to date is that collision susceptibility is  
15 highly taxon- or guild-specific for both birds and  
16 bats." And you cite some people. "For many bird  
17 species, susceptibility" -- and the susceptibility we  
18 are talking about is collision fatality, correct?

19 A. Yes.

20 Q. Okay. -- "appears to be most closely  
21 related to species' overall abundance, and the amount  
22 of time a species spends flying within rotor swept  
23 altitudes...." Isn't that what you told us in this  
24 report?

25 A. There's more information in that

1 sentence, that you didn't read, that is important to  
2 understand the context.

3 Q. Did you not state what I just read?

4 A. What did you mean did I state it?

5 Q. Is it not stated in this report? Did I  
6 not read that correctly, that sentence, "For many  
7 bird species, susceptibility appears to be most  
8 closely related to species' overall abundance" -- I  
9 understand that, and this is your language, is it  
10 not, "and the amount of time a species spends flying  
11 within rotor swept altitudes"? Didn't you say that?  
12 Don't you say that in your report?

13 A. You just asked me if you read the  
14 sentence correctly.

15 Q. Okay.

16 A. And I'll say you didn't because you  
17 didn't read the whole sentence.

18 Q. All right. All right. Did you not say  
19 that collision fatality susceptibility, to the point  
20 that I've read, is most closely related to, one,  
21 "species' overall abundance." That's the first  
22 factor you listed, right?

23 A. Uh-huh.

24 Q. And then the second factor you listed was  
25 "the amount of time a species spends flying within

1 rotor swept altitudes."

2 A. That's part of the sentence. You've read  
3 it correctly.

4 Q. Okay. Thank you.

5 A. The other part explains the very  
6 important caveat which is essentially that it's not  
7 the whole story and that's why information on  
8 exposure cannot be taken as a direct indication of  
9 risk. Exposure, as I wrote in my testimony, is a  
10 necessary, though insufficient, condition for risk.

11 Q. Okay.

12 A. If the bird is not there, it can't be at  
13 risk, but if it is there, it may or may not be  
14 exposed to risk.

15 Q. So it is helpful to know whether or not  
16 birds are flying within the altitude of the  
17 rotor-swept zone out at the project site, correct?

18 A. It adds some value. However, imagine if  
19 you are trying to calculate the likelihood of  
20 somebody getting killed in an accident on Broad  
21 Street. You wouldn't just need to know how many cars  
22 pass by. You would also need to know something about  
23 the susceptibility of accidents. Thousands of cars  
24 might pass by in a day and there may be no accidents.

25 So while the passage of cars, in that

1 example, is informative or useful in that analysis,  
2 it's certainly not the only thing you need and, in  
3 fact, getting that data on accident rates, in one  
4 very real sense, is much more important.

5 And that's why I'm making the qualifier  
6 that exposure data by itself -- in fact, if you don't  
7 have a good correlation factor to link exposure data  
8 to fatality rates, then the exposure data, by itself,  
9 is not very informative to the risk assessment. And  
10 what's more informative, as I said, is actual  
11 proof-in-the-pudding results from other studies.  
12 Then you see what the susceptibility is.

13 Q. Well, you have told me a lot of things  
14 there, and you have used words "informative" and "not  
15 informative," but the language you used here was  
16 "most closely related," correct? Those are the two  
17 factors you identified as most closely related.  
18 That's your language, correct?

19 A. That's correct.

20 MR. SECREST: Objection, misstates  
21 evidence. Dr. Gordon has indicated there is an  
22 additional portion of that sentence that's not being  
23 read.

24 ALJ ADDISON: Thank you. I believe he  
25 provided enough clarification in his initial answer,

1 but I believe he already answered this question.

2 But I will urge you, Dr. Gordon, to wait  
3 for counsel to make an objection before -- before  
4 answering. Listen to your counsel.

5 THE WITNESS: Okay.

6 MR. STOCK: Excuse me a moment while I'm  
7 checking my notes.

8 ALJ ADDISON: Certainly.

9 Q. (By Mr. Stock) Let's turn back to  
10 Exhibit 8 at Tab J. This report is authored first by  
11 Chris Nations, and then you are listed as well,  
12 correct?

13 A. Yes.

14 Q. And this is the January 23, 2017, NEXRAD  
15 Assessment of Nocturnal Bird Migration Activity from  
16 Weather Radar Data, et cetera, correct?

17 A. That's correct.

18 Q. And again, that's -- that's weather radar  
19 data from the KCLE NEXRAD radar station approximately  
20 14 miles from the site.

21 A. That, plus also we looked at the KBUF  
22 NEXRAD station as well.

23 Q. Okay. Thank you.

24 Now, how does NEXRAD radar work?

25 A. Well, I want to say, you know, first,

1     that I am not, first and foremost, a radar  
2     specialist. We have Mr. Mabee over here and  
3     Mr. Erickson will get into more the technical  
4     details, so you wouldn't want my explanation of all  
5     this in the record at a technical level.

6             I can tell you, at a conceptual level,  
7     the radar unit sends out beams, and it analyzes  
8     things like weather, precipitation, and also birds,  
9     depending on your purpose, by analyzing the patterns  
10    of reflectivity; the way those beams get bounced back  
11    to the sensors at the station.

12            Q.    Could we stop there a second?

13            A.    Yeah.

14            Q.    You talked about the radar analyzing.  
15    The radar is just sending out a beam that gets  
16    reflected off of something and bounces back if it  
17    gets reflected, correct?

18            A.    That's correct. The analysis is done by  
19    somebody else.

20            Q.    Right. The radar doesn't do any  
21    analyzing.

22            A.    That's correct.

23            Q.    All right. So the radar goes out, it  
24    hits something, and it bounces back.

25            A.    Correct.

1           Q.   All right.  Is that some sort of binary  
2   signal, that is, you either have a reflection or you  
3   don't?

4           A.   Not necessarily.  And this gets very,  
5   very complicated like sausage making and legislation,  
6   right?  There -- one of the factors, for example,  
7   that's taken into account in the analysis of  
8   nocturnal migrating birds, with NEXRAD data, is the  
9   direction of the prevailing wind relative to the  
10  direction of the signals that are causing the  
11  reflection.

12                 In fact, what we do is we try to subtract  
13  out -- there is various algorithms that are applied  
14  to subtract out the stuff that is moving in exactly  
15  the same pattern as the prevailing wind because  
16  that's just probably precipitation or floating stuff.

17                 Whereas, bird migration is pulled out of  
18  that by looking for stuff that's actually moving  
19  against the direction of the wind or in the  
20  direction, that's self-propelled, not just floating  
21  from the wind.  That's an example of one of the  
22  processes that's applied to the data to pull out  
23  relevant information.

24           Q.   Again, you are getting ahead of me.  I  
25  don't want to get to the point of analysis yet.  We

1 are going to go through that.

2 A. I'm sorry. I thought I was answering  
3 your question.

4 Q. No, that's fine.

5 I'm asking what the radar equipment is  
6 recording and how it's recording it. It sends out a  
7 beam, it gets reflected off something, and so the  
8 beam comes back.

9 A. Right.

10 Q. All right. How is that recorded before  
11 any manipulation or interpretation by the radar unit?

12 A. I really don't know the technical  
13 specifics of how it gets recorded.

14 Q. Okay. And you don't know the technical  
15 specifics of taking that whatever, how it's recorded  
16 by the radar device, and getting to the point of  
17 manipulating or interpreting or applying algorithms  
18 to it to create data that is useful to analyze  
19 regarding flying birds, correct?

20 A. Well, I do know some things about that.  
21 I don't know it well enough to write you a recipe for  
22 it or to sit down and roll up my sleeves and do it  
23 all by myself, but I know enough about it  
24 conceptually to, for example, to work with Chris and  
25 prepare this report.

1           Q.    All right.  Let's turn to page 6 of the  
2   report that you coauthored.  >Data Selection,  
3   Downloading, and Pre-Processing."

4                    "Level II NEXRAD data were downloaded  
5   from the database maintained by the National Centers  
6   for Environmental Information (NCEI) archival  
7   website."  Is that where you get the free data?

8           A.    That's what it says here.

9           Q.    Okay.  In what form is that free data on  
10  the site?

11          A.    What do you mean by "what form"?  Like  
12  what types of files or?

13          Q.    What types of files?  What does it say?  
14  What information is contained within it?

15          A.    Yeah, I'm not really sure.

16          Q.    Okay.  The next step, "Each download --  
17  "downloaded compressed file containing all data for  
18  an hour were decompressed into multiple files, each  
19  representing a separate radar scan at multiple  
20  elevations; typically, weather radars conduct 5 to 10  
21  scans per hour.  The NEXRAD data in these  
22  decompressed files were extracted from the native  
23  binary format using the Weather and Climate  
24  Toolkit...."

25                   So you infer from that that the data from

1 the NEXRAD radar equipment is some sort of binary  
2 information?

3 A. You know, again, I'm not the  
4 sausage-maker here. The technical details of this  
5 stuff is not something I have direct knowledge of,  
6 so.

7 Q. Okay.

8 A. The best I could do is read this methods  
9 description, which I think is actually fairly  
10 transparent, together with you. But as for the  
11 specific processing of specific file types, I really  
12 can't give you much more information on that other  
13 than what's presented here in the methods section.

14 Q. Well, if it's transparent, maybe you can  
15 help explain it to us.

16 It says it's "extracted from the native  
17 binary format using the Weather and Climate Toolkit,  
18 a Java program obtained from the NCEI." So what does  
19 that toolkit do to the data? How does it manipulate  
20 it?

21 A. I don't know.

22 Q. Okay. Then a little farther down it says  
23 "NetCDF files were queries using Matlab...." What's  
24 Matlab?

25 A. It's a program designed to do a variety

1 of mathematical functions.

2 Q. And what are those functions?

3 A. Oh, it can do a whole wide variety of  
4 things. People -- scientists often use it to do all  
5 kinds of different quantitative analyses.

6 Q. All right. So, in this case, what was it  
7 used to do to the data in your study?

8 A. It was used to process the data to  
9 eventually get to the point of interpreting nocturnal  
10 migrant bird data.

11 Q. And what processes did it apply to the  
12 data?

13 A. The best I could do would be to read  
14 through this methods description with you about the  
15 processes. Again, I am not the one who drove the  
16 robot on this. You know, that's not something that I  
17 know how to do in a technical perspective myself.

18 Q. Who -- was it Mr. Nations who drove the  
19 robot?

20 A. Yes.

21 Q. He's not testifying in this proceeding to  
22 your knowledge, is he?

23 A. That's correct.

24 Q. All right. So I count a first step of  
25 NEXRAD data in decompressed files -- or NEXRAD data

1 is decompressed, extracted from the native binary  
2 format using some Weather and Climate -- Climate  
3 Toolkit. So that's -- that's one processing step of  
4 the data, right?

5 A. I believe so.

6 Q. Okay. And the next processing step was  
7 querying files using Matlab. Do you understand that  
8 to mean searching to pull information out, not keep  
9 all the information in the files that are being  
10 queried?

11 A. I do understand that to mean that.

12 Q. Okay. But do you know what information  
13 was pulled out and what information was left in?

14 A. Well, what it says here is that we pulled  
15 out only those files representing NEXRAD operation in  
16 Clear Air Mode. We only retained those for further  
17 processing and analysis.

18 Q. And it says "were assumed to be  
19 dominated" -- files represented -- "Files  
20 representing operation in Precipitation Mode, that  
21 is, not in Clear Air Mode, were assumed to be  
22 dominated by precipitation...."

23 Was there any analysis of -- done of the  
24 data in the Precipitation Mode files, to determine  
25 if, in fact, there was usable data?

1           A.    No, there was not.  And what I can also  
2   add to this is that this follows a well-worn path of  
3   standard industry practice, from five decades of  
4   NEXRAD analysis, for looking at bird stuff.  So this  
5   is noncontroversial, generally-accepted  
6   methodologies.

7           Q.    But those aren't methodologies you  
8   actually perform yourself to take -- to go from the  
9   binary data at the radar site to converting that to  
10  usable information for analysis; is that correct?

11          A.    Correct.  I didn't do it myself.

12          Q.    Okay.  And I've just -- I want to make  
13  clear on the record that there are a number of steps  
14  involved.  We are not talking -- you didn't analyze  
15  raw data from the -- the radar tower, correct?

16          A.    I didn't myself, but Chris did.

17          Q.    Right.  Well, he went through all these  
18  steps to manipulate it, do queries, et cetera, right?

19          A.    Following standard, well-established  
20  industry practices, yes.

21          Q.    Right.  And what I am trying to establish  
22  is your report, your analysis is not based on raw  
23  data from the NEXRAD KCLE radar station.  It takes  
24  numerous steps of manipulation, and wing in and wing  
25  out, and applying algorithms and calculations to come

1 up with usable data, correct?

2 MR. SECREST: Objection, vague as to  
3 "based." It is based after the manipulation.

4 ALJ ADDISON: Thank you.

5 Do you understand the question as posed?

6 THE WITNESS: I do believe I understand  
7 the question.

8 ALJ ADDISON: Thank you. Go ahead and  
9 answer.

10 THE WITNESS: Answer?

11 A. My understanding of your question is  
12 that, you know, is your analysis based on raw data or  
13 processed data, and you are asserting it is based on  
14 process data and that is true, yes, absolutely.

15 Q. And in looking at this, you know, we can  
16 go through the paragraphs, but I see 1, 2, 3, 4, 5,  
17 6, 7, 8, 9, 10, 11, 12 -- if you read over onto pages  
18 8 and 9 -- 13, 14 and counting, steps of processing.  
19 If you take a quick look at that, does all of this  
20 text relate to processing that's -- that's done to  
21 come up with your usable data for analysis?

22 A. Yeah. That's why you need a guy like  
23 Chris Nations who is really smart.

24 Q. Okay. Now, we talked about what NEXRAD  
25 data gives you. And NEXRAD is reflectivity, sending

1 out the beam, having it reflect against something,  
2 and then bounce back, right?

3 A. Yeah.

4 Q. All right. Now, let's look at page 10  
5 about target density. The last sentence,  
6 "Reflectivity was not converted to bird density since  
7 such conversion is based on the important assumptions  
8 that target size is known and is uniform.  
9 Furthermore, conversion does not facilitate  
10 comparisons within this study." What does that mean?

11 A. Oh, essentially that means what I said  
12 earlier, which is that NEXRAD data does not track  
13 individual bird targets. It more detects -- and  
14 after all these processing steps, it detects clouds  
15 of stuff in the sky that's not moving in the  
16 direction -- the same direction as the prevailing  
17 wind and is presumed to be biological targets, but it  
18 doesn't track individual targets.

19 Q. So is it saying here that this cloud of  
20 stuff, moving in the sky, that NEXRAD can obtain data  
21 for, can't be processed to tell you how many birds  
22 are in that cloud?

23 A. What it says, strictly speaking, is that  
24 it can't be converted to bird density. Although, I  
25 will note that some authors, including Robb Diehl in

1 his paper that's in the record for this project, have  
2 used clever analyses to do just that, by developing  
3 calibrations with other radars.

4 But what this says is you can't convert  
5 NEXRAD data, by itself, to bird density. What it  
6 does give you is an index of bird abundance. You  
7 just don't know exactly how many birds it is because  
8 it would depend on how big they are, but you know  
9 it's a bunch of birds or a bunch of biological  
10 targets.

11 Q. Right, a bunch of biological targets.  
12 And it can't tell you, if it is birds, how many birds  
13 there are, correct?

14 A. Yeah, but it can tell you the level of,  
15 for example, nocturnal migrant bird activity in an  
16 area.

17 Q. It tells you the level of reflectivity,  
18 right, which you then interpret, correct?

19 A. Yeah, just like your doctor's instrument  
20 tells you some blips and he interprets it as blood  
21 pressure. I mean, the reflectivity is used to study  
22 migration, nocturnal migration bird activity, through  
23 the processing and analysis steps.

24 Q. And with respect to your report, you  
25 didn't try to convert reflectivity to bird density,

1 right?

2 A. That's correct. We converted  
3 reflectivity to an index of bird abundance, a  
4 nocturnal migratory bird activity abundance.

5 ALJ ADDISON: Can we go off the record  
6 for just a minute?

7 (Discussion off the record.)

8 (Thereupon, at 1:06 p.m., a lunch recess  
9 was taken.)

10 - - -

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Tuesday Afternoon Session,  
September 25, 2018.

- - -

ALJ ADDISON: Let's go back on the  
record.

And, Mr. Gordon, I will remind you you  
are still under oath.

THE WITNESS: Thank you.

ALJ ADDISON: Thank you.

- - -

CALEB E. GORDON, PH.D.  
being previously duly sworn, as prescribed by law,  
was examined and testified further as follows:

CROSS-EXAMINATION (Continued)

By Mr. Stock:

Q. Mr. Gordon, over lunch, did you discuss  
your testimony with anyone?

A. Yes.

Q. With whom did you discuss your testimony?

A. With counsel.

Q. Were other WEST employees involved in the  
discussion?

A. They were in the lunchroom but not  
involved in the discussion.

Q. Were they sitting with you while your

1 testimony was being discussed?

2 A. Yes.

3 Q. And who were those sitting with you?

4 A. All the gentlemen over there, Rhett Good,  
5 Wally Erickson, and Todd.

6 Q. I'm sorry.

7 A. Rhett Good, Wally Erickson, and Todd  
8 Mabee.

9 Q. They are all witnesses yet to be called  
10 in this case, correct?

11 A. Correct.

12 Q. Okay. Did you review the exhibit binder  
13 that I had given you for the cross-examination?

14 A. No.

15 Q. Okay. Did you discuss any of the  
16 documents in the exhibit binder that I gave you for  
17 cross-examination?

18 A. I had a brief discussion with counsel  
19 about reviewing what some of the documents were. He  
20 had brought his binder to lunch.

21 Q. Counsel had?

22 A. Yeah.

23 Q. And did you look at documents that we've  
24 not yet covered in your cross-examination?

25 A. No.

1 Q. Okay. Thank you.

2 Let's go to Tab J, Exhibit 8, page 5.

3 A. Okay.

4 Q. We spent some time talking about the  
5 altitude coverage of the NEXRAD radar beams. There's  
6 more than one beam, correct?

7 A. Right.

8 Q. Okay. Now, you mentioned a buffer zone  
9 about 2 miles out off the lakeshore. Did I  
10 understand that correctly?

11 A. Not exactly. It's a buffer zone around  
12 the project site of 2 miles.

13 Q. Oh, okay. All right. Thank you. Now,  
14 if you look at Table 1, it reads "Sampling heights of  
15 the radar beam from the KCLE station above the  
16 proposed Icebreaker Wind Energy Facility." And the  
17 Near column, 114.4 meters, when it references "Near,"  
18 is that not a reference to the nearest turbine, but  
19 the closest border or terminus, if you will, of the  
20 project site to the shore?

21 A. What it is is the nearest edge of the  
22 study area that we used for the analysis which  
23 consisted of the project area buffered by 2 miles all  
24 around.

25 Q. So in Mr. Karpinski's

1 cross-examination -- excuse me. If I can find it.  
2 Yeah, I am looking for the exhibits. I'm sorry. Do  
3 you have his exhibits up there on the -- are they up  
4 there, his binder?

5 THE WITNESS: Is that what this is?

6 Q. Does it say "Karpinski" down -- last  
7 line?

8 A. Yes, "Exhibits for Cross-Examination of  
9 David Karpinski."

10 Q. Take a look at Tab A which is Exhibit 1,  
11 please.

12 A. Okay.

13 Q. So there's a depiction on the front of  
14 that exhibit of the -- well, there are six turbines  
15 and then one that's not in yellow, a possible seventh  
16 that was considered at one time, correct?

17 A. Right.

18 Q. So the 114.4 meter altitude of the lower  
19 beam, would that be at a point that is 2 miles closer  
20 to shore than the project area?

21 A. That's correct.

22 Q. So do you know what the height of the  
23 radar beam would be 2 miles farther out at the  
24 project area?

25 A. I can't tell you with precision, but if

1 you look at Exhibit J, page 5, Figure 3, you can  
2 actually see that right on there, represented by the  
3 lower dotted blue line. Do you see that?

4 Q. Yes.

5 A. So that -- see how that lower dotted blue  
6 line goes slightly up as it goes from left to right?

7 Q. Uh-huh.

8 A. It goes up such a slow slope you almost  
9 can't even see it, but that is -- that represents the  
10 bottom of the lower radar beam at different --  
11 different distances from the KCLE NEXRAD radar. And  
12 the grayed area represents the distances from the  
13 radar covered by our study site area of analysis  
14 which is actually the study site buffered by 2 miles  
15 all around.

16 Q. Okay.

17 A. So what you can see, the furthest lift of  
18 that gray beam, the blue -- the blue line is at --  
19 well, it's at 114.4, and I only know that because of  
20 Table 1, but you can see how it's just a hair above  
21 100? So if you move 2 miles to the right, you can  
22 see that it would be incrementally higher than that  
23 but very -- so small you can't even see it on this  
24 graph. So if I were to ballpark it, I would say  
25 probably the elevation -- the minimum elevation that

1 the -- of the radar beam at the actual closest  
2 turbine location would probably be on the order of  
3 115 or 116 meters.

4 Q. Okay. And then if you look at Figure 1  
5 there for the farthest --

6 A. Figure 1?

7 Q. Table 1, excuse me.

8 A. Oh.

9 Q. The farthest reference point, the  
10 farthest turbine would be in a little closer than  
11 that, right?

12 A. Exactly.

13 Q. So it might be 122 meters, something like  
14 that?

15 A. No. Oh, you mean the minimum elevation.

16 Q. Right, right.

17 A. Yes, yes, exactly, right. So that's  
18 exactly right.

19 Q. Okay. So somewhere for the turbine area,  
20 ballpark 115 to 116 meters at the closest one, and  
21 120 meters at the farthest.

22 A. Correct.

23 Q. All right.

24 A. But, again, the bottom of these NEXRAD  
25 radar beams is fuzzy. We represent it as a -- as a

1 line for simplicity, but what the beam actually  
2 detects is a little more fuzzy than that so.

3 Q. Okay. If you go to Tab O --

4 A. Did you want to look at  
5 Mr. Karpinski's -- oh, we are done with that.

6 Q. Tab O in yours, I'm sorry.

7 MR. STOCK: And I guess this would be  
8 Exhibit 10?

9 ALJ ADDISON: It will be marked as  
10 Bratenahl Residents Exhibit 10.

11 (EXHIBIT MARKED FOR IDENTIFICATION.)

12 MR. STOCK: Thank you.

13 A. Yes. Got it.

14 Q. This is a depiction of the turbines that  
15 I got -- I think it's Exhibit P from the Application  
16 and I've tried to measure approximately 114 meters.  
17 Does that look about right?

18 A. I'm not sure. It falls in between the  
19 lines of 105 and 140. But it falls -- seems to fall  
20 close to halfway which would be 120-something. So I  
21 think you may have drawn it a little bit high on here  
22 actually.

23 Q. Midway point would be 122, right?

24 A. Uh-huh.

25 Q. And we were talking about at the nearest

1 turbine being 115 or 116, right?

2 A. Right.

3 Q. So it's not too far off, is it?

4 A. No, not too far off.

5 Q. Okay. So allowing for a little bit of  
6 margin error on the line, the radar -- lowest radar  
7 beam would cover the portion above that line,  
8 correct?

9 A. That's correct.

10 Q. All right. Now, 146 meters, 479 feet, I  
11 think that is. Just for purposes of comparison, how  
12 tall a building is that? Can you -- do you know how  
13 many stories?

14 A. I'm not sure. Somebody else here could  
15 get a good number. I don't know how tall a building  
16 that is.

17 Q. Okay. It's a pretty good sized -- pretty  
18 tall building, right?

19 A. Oh, yeah.

20 Q. Okay. And then if you look at the next  
21 page, I tried to depict 124.6 as best I could, and  
22 with a little bit of, you know, margin of error, is  
23 that somewhat of an approximation of what would be  
24 covered at the farthest turbine?

25 A. Well, as we discussed, the number is

1 right -- again, it looks -- that line looks awfully  
2 close to the 140 line to my eye but, with a margin,  
3 approximately right.

4 Q. Okay. All right. Now, let's go back to  
5 your NEXRAD study.

6 A. Exhibit -- it's J here. I forget which  
7 number.

8 Q. It is No. 8. Exhibit Tab J, right. Page  
9 4.

10 A. I'm with you.

11 Q. The left-hand side, this is -- it states  
12 about five lines up -- eight lines up from the  
13 bottom, "Note, for instance," do you see that?

14 A. Hang on. Gotcha.

15 Q. It says "Note, for instance, that the  
16 lower minus 3 decibel point ranged from 114.4 to  
17 124.6 meters directly above the turbine locations."  
18 That's a reference to that lower beam that's depicted  
19 in the blue dashed -- dashed line on Figure 3,  
20 correct?

21 A. Correct.

22 Q. Okay. "Birds flying within the overlap  
23 region," that's the region of the turbines that cut  
24 into or above those levels, "would likely be detected  
25 by the KCLE NEXRAD, though more detailed inference

1 about target heights is not possible." Do you see  
2 that?

3 A. Yes.

4 Q. That's an accurate statement, correct?

5 A. I understand that to be accurate.

6 Q. Okay. Now, when it says that those birds  
7 in the overlap zone "would likely be depicted,"  
8 that's not -- that does not meet a reasonable degree  
9 of scientific certainty as a conclusion that they  
10 will be detected, correct?

11 A. I'm not sure I understand the standard.  
12 Reasonable degree of scientific certainty that birds  
13 in the overlap zone would be detected?

14 Q. Yes.

15 A. I believe they would be detected and, in  
16 fact, the next sentence indicates that according to  
17 some other authors, in fact, birds at considerably  
18 lower elevations may well have been detected by those  
19 beams.

20 Q. But what you state is "would likely be  
21 detected." You did not render that opinion to a  
22 reasonable degree of scientific certainty, correct?

23 A. Well, I think what there is is a high  
24 degree of scientific certainty on the use of this  
25 data to understand nocturnal bird migration, but I

1 think what that sentence explains is that, as with  
2 any radar sensor, or any sensor for that matter,  
3 depiction is not perfect. There's a certain false  
4 negative rate and certain false positive rate. So  
5 whether or not any particular bird, or in this case  
6 it would have to be a cluster of bids, was actually  
7 successfully detected, it only does so with a certain  
8 level of accuracy as with any sensor. That's what I  
9 understand that sentence to mean.

10 Q. All right. So as we sit here today, can  
11 you tell me how many birds this NEXRAD radar detected  
12 within the rotor-swept zone?

13 A. Like we've talked about before, I can  
14 bracket it broadly, and I can tell you in relative  
15 terms which is what's most important for doing our  
16 analysis, but I couldn't put a precise number to it.

17 Q. Okay. Now, turn to page 2. It -- or  
18 excuse me, page 3. What is the Figure (a) at the top  
19 on -- in Figure 2 on page 3?

20 A. Well, that is a map figure that shows the  
21 location of our study areas for the NEXRAD analysis.

22 Q. Okay.

23 A. So what you can see is that the upper  
24 area that -- those study areas are in gray and they  
25 are doughnut sections, right? I don't know how you

1 describe that in geometric terms, but they're a  
2 section of the doughnut. What you can see in the one  
3 called "Project Area" is you can see the six  
4 turbines, but you can see that red oval. That's the  
5 2-mile buffer.

6 Q. Okay. Thank you.

7 A. And, in fact, the rest of that polygon  
8 there is -- accommodates essentially the properties  
9 of the radar beams. That's the only thing you can do  
10 is take a section defined by the radius that it  
11 emanates from the antenna, over a certain set of  
12 distances. So you are -- it's going to be a slice of  
13 a doughnut.

14 So that shows the study area that we used  
15 to represent the project area, and it also shows  
16 Comparison Areas 1, 2, and 3 relative to the Lake  
17 Erie shoreline near Cleveland. So you can see that  
18 Comparison Areas 1 and 2 overlap the shoreline, on  
19 the east and west side of the project area,  
20 equidistant from the radar antenna.

21 Comparison Area 3 is an inland site  
22 basically straight south of the KCLE radar, also  
23 equidistant from the radar antenna. And, of course,  
24 we picked the equidistant areas because that's what  
25 you have to do to get the apples-to-apples

1 comparison. So you are looking at the same  
2 elevational range for the relative comparisons that  
3 we do.

4 Q. Okay. And the KCLE with the red circle  
5 there, that is where the NEXRAD radar apparatus,  
6 tower, whatever you want to call it, NEXRAD tower is  
7 located, correct?

8 A. Yes.

9 Q. Relative to the blue line which is the  
10 shoreline, correct?

11 A. Correct.

12 Q. All right. Now, let's turn to page 12.  
13 And Figure 4, if you look in the upper right-hand  
14 corner, it says KL -- "KCLE - Spring, 0.5 degrees."  
15 That's the reference to the lowest radar beam  
16 emanating from the KCLE NEXRAD tower, correct?

17 A. Correct.

18 Q. All right. That's the beam that was at  
19 the 114 to 124, give or take, that we were discussing  
20 before, correct?

21 A. That's the beam whose -- whose bottom  
22 range is --

23 Q. Yeah.

24 A. -- is that --

25 Q. Yes.

1           A.    -- over the project site, yes.

2           Q.    All right. Thank you. And these blue  
3 wedges, what do they show?

4           A.    Those represent the preponderance of the  
5 direction of the biological targets that were  
6 extracted, the flight direction of the biological  
7 targets that were extracted from the data. And what  
8 you can see in the spring, from KCLE, most of the  
9 biological targets were flying in a  
10 north-northeasterly direction, which indicates, it's  
11 kind of a ground truth that shows we are indeed  
12 getting migrating birds because that's the direction  
13 we know that birds migrate, predominant prevailing  
14 direction that birds migrate in the spring in that  
15 area.

16          Q.    So why is one -- let's look at the wedges  
17 that go north and northeast. Why is that one wedge  
18 larger than the others?

19          A.    Well, it's because for the actual point  
20 location of the NEXRAD, and this is important, this  
21 does not reflect patterns over broad space and time.  
22 This only reflects targets that are detected from  
23 that one point location. That was the -- that was  
24 the wedge that had the most birds in it --

25          Q.    Okay.

1           A.    -- at that -- in that season.

2           Q.    Okay.  Now, if you go to Tab P, this  
3 would be Exhibit 11.

4                   ALJ ADDISON:  It will be so marked.

5                   (EXHIBIT MARKED FOR IDENTIFICATION.)

6           MR. STOCK:  Exhibit 11.

7           Q.    And we went through this at your  
8 deposition, so you've seen this before.

9           A.    I remember.

10          Q.    Tab P is your Figure 2 with the shoreline  
11 and the quadrants, your Figure 2; and your Figure 4,  
12 with the wedges for the direction and density of  
13 migration during the spring; superimposed over one  
14 another.  Do you see that?

15          A.    I do.

16          Q.    And that's what you understand that to  
17 be, correct?

18          A.    Yes.

19          Q.    All right.  And the wedge that you  
20 indicated is the greatest number of birds migrating  
21 north and northeast that is captured in your figures  
22 from your report is headed right into the project  
23 area, correct?

24          A.    That's correct.

25          Q.    Okay.

1           A.    And what that means is not that most  
2 birds fly straight to the project area. What that  
3 means is that most birds that pass directly over the  
4 KCLE radar station fly exactly in that direction. So  
5 what that means is that the KCLE radar station is the  
6 perfect data source to look at the project area. It  
7 is not reflective of the density -- relative  
8 densities of birds more broadly. It only reflects  
9 relative densities of birds flying over that  
10 particular point. And it just shows that the KCLE  
11 radar station is looking right at the birds who are  
12 flying right over this project area. It doesn't mean  
13 that more birds fly over there than anywhere else.

14           Q.    But all the data that you used and  
15 analyzed from this report was from the KCLE radar,  
16 correct?

17           A.    And the KBUF.

18           Q.    Right, right. You're right, but in  
19 talking about Lake Erie. So that was the data you  
20 were analyzing that you were saying --

21           A.    Right.

22           Q.    -- is appropriate to take -- perform  
23 analyses of migration in and over the Lake, correct?

24           A.    Yes.

25           Q.    Okay. And your own data, the data you

1 say that is valid to do that, shows, when you overlap  
2 these charts, that on this particular date the  
3 greatest number of birds were migrating directly into  
4 the direction of the project site, correct?

5 A. No, that is not correct. You are mis --  
6 misinterpreting this information. I can explain it  
7 to you if you want.

8 Q. No. Let me ask this: This chart depicts  
9 data that you have analyzed for your report, correct?

10 A. Yes.

11 Q. And of the data that is depicted on this  
12 chart, what you have depicted from the data you've  
13 analyzed for this chart is that the greatest number  
14 of birds are going out over the project area.

15 A. No. You didn't get that right.

16 Q. Okay.

17 A. They are flying in that direction. So,  
18 for example, let's look at that figure in the  
19 right-hand quadrant and I can help you understand  
20 this better. If there is a bird that starts directly  
21 over the KCLE radar station, then the predominant  
22 thing that it will do, as indicated by these  
23 directions and this rose plot, is fly right over the  
24 project site.

25 Q. Okay.

1           A.    However, if there is a bird -- and our  
2 data included -- most of it is such birds who did not  
3 fly right over the KCLE point. Let's say you have a  
4 bird that started right where the word "Ohio" is  
5 printed in that quadrant. Do you see that down in  
6 the bottom left?

7           Q.    Yes.

8           A.    It says the word "Ohio." Okay. A bird  
9 that started there, what this rose plot shows is that  
10 the prevailing direction would be the same. So it  
11 would fly up to essentially in the same direction to  
12 cross over the area called CA2, for example. Do you  
13 see that? And do you understand? So, in other  
14 words, the rose plot represents directions. It does  
15 not represent birds flying over the project area. It  
16 represents the prevailing direction.

17                So birds that started in different  
18 points, would wind up in different points. They  
19 would not all fly over the project area. If you want  
20 to know the density of birds in the project area  
21 relative to other areas, you got to look at our table  
22 that compares that.

23           Q.    Well, you don't -- this rose plot does  
24 not have any data for a bird flying from the Ohio  
25 point --

1           A.    Yes, it does.

2           Q.    Where is that on this rose plot?

3           A.    All of it is in there because what a rose  
4 plot like this is, it's not spatially-explicit data.  
5 It's not all birds are mapped to that one point.  
6 What it does is it represents the directionality of  
7 all the birds that started from all the points  
8 directed by the radar.

9           Q.    Okay.

10          A.    Do you understand?

11          Q.    I do.  So what it tells you is, with a  
12 broad-front migration, based upon this directional  
13 data, the greatest density of birds on this  
14 particular evening were flying --

15          A.    It's a whole season.

16          Q.    Oh, this is the whole season?

17          A.    All season.

18          Q.    Oh, okay.  So for the whole season, the  
19 birds were flying in -- the greatest density of them  
20 were flying in that direction that is depicted as  
21 being out over the project area, correct?  That's the  
22 right direction.

23          A.    Only if you started from the point of the  
24 KCLE radar.  If you start from any other point and  
25 you fly in that same direction, it takes you to a

1 different point.

2 Q. Well, right. So if you --

3 A. They fly in that direction. Let's put a  
4 number to it. If straight north would be 0 degrees,  
5 it looks like it's something like, I don't know, 10  
6 degrees. So what it shows is that for all the  
7 biological targets we tracked the prevailing  
8 direction in the springtime season was 10 degrees.

9 Q. Okay.

10 A. So if they started right over the KCLE  
11 radar station, they would fly right over the project  
12 site and that's what your figure depicts. But if  
13 they start from anywhere else and they fly at 10  
14 degrees, they will end up somewhere else.

15 Q. Well, wait, wait, wait a second. How --  
16 how broad there is the project site?

17 A. How broad is the project site?

18 Q. Right. In this map, from the  
19 northwestern-most point to the southeastern-most  
20 point, how broad is that project area?

21 A. The project area, just the turbine itself  
22 or the study area?

23 Q. The study area.

24 A. It looks like it covers maybe about -- is  
25 that about 5 degrees or 15 degrees? I can't tell

1 exactly, but it covers that chunk of doughnut.

2 Q. So what would the distance be? How --

3 A. I think it's approximately 4 or 5 miles.

4 Q. Oh, okay.

5 A. Maybe 3 to 4, something like that.

6 Q. So 3 to 4 miles. So if the greatest  
7 density of birds over the entire migration season is  
8 flying in that direction for a 3- to 4-mile swath,  
9 the greatest density of birds would be flying in the  
10 direction of the project zone.

11 A. I think your problem is you are using the  
12 word "density." This plot doesn't depict density.  
13 It depicts directionality. It does not depict  
14 density, so I think that's where you are getting hung  
15 up.

16 Q. It predicts more than directionality.

17 MR. SECREST: Your Honor, I would like  
18 the witness to be able to finish his response.

19 ALJ ADDISON: Thank you.

20 Please allow the witness to finish.

21 MR. SECREST: Thank you, your Honor.

22 A. So I will try to describe it more  
23 clearly. So this picture is a rose plot which  
24 depicts the directionality of all birds that were  
25 tracked during the spring season from the KCLE radar.

1 And what it shows is that the prevailing direction  
2 was about, if I'm correct on this, 10 degrees. I  
3 can't really read that very well, but it's  
4 north-northeast, right?

5 Now, it doesn't mean that there was a  
6 greatest density of birds flying over the project  
7 area. In fact, we showed that the project area was a  
8 cold spot. It was actually a lower abundance of  
9 migrant birds compared with all six of the other  
10 comparison areas and that's shown in the other  
11 figures in our report. What this shows is only the  
12 directionality. So birds -- any of the targets we  
13 were tracking, what was the prevailing direction they  
14 flew. Whether or not they flew over the project  
15 site, depends on their starting point.

16 In this case, as your figure shows, birds  
17 that happen to start out and fly right over the radar  
18 station would wind up flying right over the project  
19 site, and that indicates we had a great source of  
20 data to do this analysis.

21 But as I said, birds starting out  
22 anywhere else, who flew in 10 degrees the prevailing  
23 direction, would fly over somewhere else.

24 So you're misinterpreting it if you think  
25 this means it shows a high density of birds flying

1 over the project site. That's not what it shows. In  
2 fact, it doesn't represent bird density at all.

3 Q. It shows more than just directionality.  
4 What does the bigger wedge show?

5 A. It shows the prevailing directionality.  
6 It shows the heaviest of all the directional slices  
7 where birds were flying.

8 Q. I'm sorry. The heaviest what?

9 A. The preponderance of directionality of  
10 the biological targets that were tracked, what  
11 direction were they flying.

12 Q. What do you mean "preponderance"? What  
13 does that mean? Greatest number?

14 A. The most birds.

15 Q. Okay. The most birds flying in this  
16 direction, right?

17 A. That's correct, but they weren't flying  
18 over the project site.

19 Q. Well --

20 A. Only the ones who started right over the  
21 radar beam would have flown over the project site.  
22 The ones that started in the Ohio, where it's  
23 written, for example, would have flown over  
24 Comparison Area 2.

25 Q. Right. And a bird that flew 1 mile west,

1 a bird that was following the prevailing, that is,  
2 greatest number direction, that was 1 mile west of  
3 the CLE site, traveling in that direction, that  
4 prevailing preponderant direction would come over the  
5 project site.

6 A. Yes, I believe it would.

7 Q. All right. And 2 miles over, a bird  
8 flying in the preponderant, that is, where most --  
9 the direction that most of the birds were using over  
10 the entire season, would fly over the project area.

11 A. Are you asking me if that's correct?

12 Q. Correct.

13 A. No. You're wrong.

14 Q. Why?

15 A. Well, because the KCLE station is  
16 actually located slightly to the west of the project  
17 area, so. And I think that study area, maximum, is  
18 about 3-miles wide, so. I think that a bird who  
19 flew -- did you say 2 miles to the west of the KCLE  
20 radar? I think it would go to the west of the  
21 project site.

22 Q. All right. So how far to the west of the  
23 KCLE radar would a bird that's flying, where the  
24 predominant direction is, how far west of that would  
25 the bird -- would that put the bird over the project

1 site?

2 A. It would be the equivalent of the length  
3 of the project site, displaced to the amount west  
4 that the KCLE station is west of the project site.

5 Q. So give me your estimate. How far?

6 A. Mile, mile and a half.

7 Q. Okay. So birds within a mile or mile and  
8 a half to the west.

9 Now, how about to the east? How far to  
10 the east would birds that are flying in the  
11 predominant direction, that is, where most of the  
12 birds were flying over the entire season, how far to  
13 the east would birds that are flying in that  
14 predominant direction fly over the project site?

15 A. That would be equivalent to the remainder  
16 of the total width of the project site, after you  
17 subtracted the distance to the west of the KCLE;  
18 maybe a couple of miles.

19 Q. Okay. So within 3 miles, 1 mile east and  
20 2 miles to the west, birds flying during that  
21 migration season in the predominant direction, that  
22 is, where most of the -- the direction that most of  
23 the birds flew, would be over the project site.

24 A. Are you asking me if that's correct?

25 Q. Correct.

1           A.    No.

2           Q.    Why not?

3           A.    Because the 3 miles is our study area.  
4   The actual project site, represented by the turbines,  
5   I think that's only about a mile in width, you know,  
6   when you talk about the east-west direction. So as  
7   birds are coming in that direction, the plane that  
8   they would have to cross, to cross directly over the  
9   project site, would actually probably be -- I'd have  
10   to do the math, but it looks like on the order of a  
11   mile or so, maybe less.

12          Q.    Okay. So it's not just from one point.  
13   We're talking at least a mile, or better, of birds  
14   would fly over the project site if they were in  
15   the -- flying in the predominant direction.

16               MR. SECREST: Objection, vague.

17               ALJ ADDISON: I'll allow him to answer  
18   the question.

19          A.    Yeah, I think that's -- the birds that  
20   would fly over the project site, who were flying in  
21   the prevailing direction during that season, would be  
22   those birds that started out 180 degrees different  
23   from that direction, on a plane equivalent to the  
24   width of the project site, maybe roughly a mile to  
25   the south.

1 Q. Fair enough.

2 I want to direct your attention to Tab M.  
3 This is an October 4, 2017, letter from the Fish and  
4 Wildlife Service to the U.S. Department of Energy.  
5 I'm look --

6 MR. STOCK: I do not think we've marked  
7 this before, have we? So this will be Intervenor's  
8 Exhibit 12.

9 ALJ ADDISON: We'll mark it Bratenahl  
10 Residents Exhibit No. 12. Thank you very much.

11 MR. STOCK: Thank you.

12 (EXHIBIT MARKED FOR IDENTIFICATION.)

13 Q. (By Mr. Stock) Mr. Gordon, I want to have  
14 you identify this October 4, 2017, letter from the  
15 U.S -- from the Fish and Wildlife Service to the U.S.  
16 Department of Energy. You've seen this letter  
17 before, correct?

18 A. Yes.

19 Q. Okay.

20 A. Do you want me to identify it further?

21 Q. No. That's sufficient. You were asked  
22 to prepare comments in response to this letter,  
23 correct?

24 A. That is correct.

25 Q. Asked by Icebreaker, correct?

1           A.    Yes.

2           Q.    Okay.  I want to take you to page 3.

3       Down at the bottom, five, six lines from the bottom,  
4       Fish and Wildlife Service states "During the actual  
5       nocturnal migration, however, migrants commonly cross  
6       Lake Erie and all of the other Great Lakes.

7       Additional evidence for migrants crossing over Lake  
8       Erie is included in the NEXRAD weather radar analysis  
9       appendix (Nation and Gordon 2017)."  Do you see that?

10          A.    Yes, I do.

11          Q.    Okay.  That's a reference to your report,  
12       correct?

13          A.    Correct.

14          Q.    You don't dispute that statement by Fish  
15       and Wildlife Service, do you?

16          A.    No.

17          Q.    Okay.  "In the spring, the predominant  
18       migration movement direction (Figure 4. Appendix J)"  
19       -- that's the Figure 4 from your report.

20          A.    Uh-huh.

21          Q.    -- "was to the north-northeast from  
22       Cleveland, indicating migrants are heading out to  
23       cross over the lake."  You don't disagree with that,  
24       do you?

25          A.    No, I do not.

1           Q.    Okay.  Next page on 4, "The NEXRAD radar  
2   analysis primarily provides data on migrating birds  
3   and bats located over the rotor-swept zone, thus most  
4   of these migrants would not be at risk from turbine  
5   operation."  You don't disagree with that statement,  
6   do you?

7           A.    No, I do not.

8           Q.    Okay.  "There was, however, some overlap  
9   between the rotor-swept zone of the turbine and the  
10  area included in the NEXRAD radar analysis (Nations  
11  and Gordon 2017)."  You don't disagree with that  
12  statement, right?

13          A.    No, I do not.

14          Q.    Okay.  Fish and Wildlife Service next  
15  quotes from, I think it was that page 4 where we  
16  already went over this "'...at the 0.5 degree  
17  elevation the height of the lower minus 3 decibel  
18  point range from 105 to 135 meters above the Project  
19  Area.  Thus, there was some overlap of the radar beam  
20  and the rotor-swept zone for the proposed turbines,  
21  which have a maximum blade tip height of  
22  146 meters.'"  That's an accurate quote from your  
23  report, correct?

24               MR. SECREST:  Objection to  
25  characterization.  That's not his report.  He's

1 reading an interpretation of the report.

2 ALJ ADDISON: Thank you.

3 MR. SECREST: I just want it made clear.

4 ALJ ADDISON: Thank you for making that  
5 clear.

6 With that clarification, you can answer.

7 MR. STOCK: Wait, wait. I am reading a  
8 quotation from the report. This was not Fish and  
9 Wildlife Services' characterization of it.

10 ALJ ADDISON: Is this an exact quote from  
11 the report?

12 THE WITNESS: I would have to go back to  
13 the report to double-check, but.

14 Q. Take a look, page 4 on Exhibit -- Tab J.

15 A. Page 4. If we find it is not an exact  
16 quote, that will be interesting.

17 Okay. "...at the 0.5 degree elevation  
18 and from...." You have seen this spot where that  
19 quote begins? I haven't found it yet.

20 MR. SECREST: It's about halfway on the  
21 second page.

22 THE WITNESS: Okay. I see.

23 Q. Yes. Do you see it there?

24 A. "...at the 0.5 degree elevation, the  
25 height of the lower minus 3 decibel ranged from 105

1 to 135 meters above the project area. Thus, there  
2 was some overlap...." It appears to be a correct  
3 quote.

4 Q. Okay. Thank you.

5 Now, they quote again, and maybe we  
6 should run this down if there is some concern that --

7 A. I don't mind if you want to assume it's  
8 correct.

9 Q. All right. Thank you.

10 A. I hope they got it right.

11 Q. I have seen them in there. They then  
12 quote from the report, your report, "'Differences in  
13 migration intensity with radar elevation indicate  
14 that, at the Project Area, there are more than twice  
15 as many birds at the lower 0.5 degree elevation  
16 (Figure 6c and Table 5). While the airspace sampled  
17 at this elevation does overlap with the rotor-swept  
18 zone, the extent of the overlap is small....'" Do  
19 you agree with those two sentences so far?

20 A. Yes.

21 Q. "'Thus the migrant bird activity detected  
22 by this lower beam primarily comes from altitudes  
23 immediately above the rotor-swept zone of the  
24 turbines'"; that's correct as well, right?

25 A. That's correct.

1           Q.    '"Given the limitations of NEXRAD  
2 resolution, it is not possible to determine the  
3 precise flight altitudes of birds within the radar  
4 beam.'" That's an accurate quote from your report,  
5 correct?

6           A.    That's true.

7           Q.    Okay. And then back to the Fish and  
8 Wildlife Services' own language, "Thus, due to the  
9 coarse resolution of NEXRAD data, it is impossible to  
10 use this data to determine if birds and bats are  
11 flying within the rotor-swept zone or above it."  
12 That was the position taken by Fish and Wildlife  
13 Service, correct?

14           MR. SECREST: Objection to the  
15 characterization of "position." You can answer.

16                 Sorry.

17           ALJ ADDISON: Overruled.

18           A.    I'll just say the document speaks for  
19 itself.

20           Q.    Okay.

21           A.    You're reading from the document.

22           Q.    And you had seen this document before,  
23 correct?

24           A.    Yes.

25           Q.    And you understood, in reading that, that

1     you -- that this was Fish and Wildlife Service's  
2     position with respect to the NEXRAD data, correct?

3             A.    Uh-huh.

4             Q.    All right.

5             A.    Yes.

6             Q.    You were a part of what was sometimes  
7     referred to by Icebreaker as the VBR crew, correct?

8             A.    "VBR crew." I'm not familiar with that  
9     term.

10            Q.    You've never seen that term before?

11            A.    I've heard "VBR" used in the project team  
12   to refer to a vessel-based radar, but I don't know  
13   what "VBR crew" means.

14            Q.    Okay. Let's go to -- you're familiar  
15   with the Diehl Report that has been discussed --

16            A.    Yes.

17            Q.    -- by other witnesses? All right. Let's  
18   go to Tab S.

19            MR. STOCK: And we'll mark this Bratenahl  
20   Residents Exhibit 12.

21            ALJ ADDISON: I believe we're on 13.

22            MR. STOCK: 13?

23            ALJ ADDISON: Yeah.

24            MR. STOCK: 12 was -- thank you.

25            ALJ ADDISON: It will be so marked.

1 (EXHIBIT MARKED FOR IDENTIFICATION.)

2 Q. (By Mr. Stock) Now, let's go back to the  
3 beginning of the e-mail chain here, the first e-mail  
4 was "Dear VBR crew." And if you look on the left  
5 hand --

6 A. Wait. In mine it says "Jeff."  
7 Apparently we do have very different --

8 Q. No. I asked you to go back to the first  
9 e-mail in the --

10 A. It's on the last page?

11 Q. Yes. That's how it works when you print  
12 out a chain.

13 A. Okay.

14 Q. It prints the last one.

15 A. I want to look carefully here at the  
16 dates.

17 Q. Friday, December 15, 2017, "Dear VBR  
18 crew," from Beth Nagusky at Lake Erie Energy  
19 Development. And the next e-mail is a reply all from  
20 Jeff Gosse at Fish and Wildlife Service. And on the  
21 Cc's, Caleb Gordon, that's you, correct?

22 A. I see myself on the Cc list of Jeff  
23 Gosse's e-mail. I do not see myself on -- listed or  
24 any addressees listed on Beth Nagusky's e-mail.

25 MR. STOCK: I will supply the initial

1 e-mail independently because this is a reply all. He  
2 was included on the first e-mail. I will supplement  
3 the record, and hopefully I can get someone to bring  
4 it over while he's still on the stand. I guess I  
5 could do it for redirect.

6 A. I'm not saying I wasn't. I don't  
7 remember it, but just for the record, this exhibit  
8 you've put here doesn't show the addressees of the  
9 December 15 e-mail from Beth Nagusky.

10 Q. No. What it shows is an e-mail back, or  
11 in response, from Jeff Gosse, and you're Cc'ed on  
12 that, correct?

13 A. Right. But there's no reason to assume  
14 it's a reply all. He may have added other.

15 MR. STOCK: Okay. I will get that for  
16 you. I will also make the representation, on the  
17 record, that it was a reply all. But anyway --

18 ALJ ADDISON: But you don't have a copy  
19 of that original e-mail at this time?

20 MR. STOCK: Pardon?

21 ALJ ADDISON: You don't have a copy of  
22 the original at this time?

23 MR. STOCK: I will see. I originally had  
24 it pulled and then, to save time, just did the entire  
25 e-mail string. Hold on a second and I will.

1           Q.   Well, on this reply, where you are  
2   copied, whether or not you were originally on this,  
3   you would have seen both Mr. Gosse's e-mail and the  
4   "Dear VBR crew" e-mail, correct?

5           A.   That's true.

6           Q.   All right.

7           MR. STOCK:   And I do -- I will get the  
8   original for the record.

9           Q.   And so, you did see Ms. Gosse's December  
10  15 e-mail?

11          A.   Mr. -- Ms. Nagusky's?

12          Q.   Ms. Nagusky's.   Thank you.   Thank you.

13          A.   I believe that's correct.

14          Q.   Okay.   And you don't know if you were  
15  addressed as the "Dear VBR crew" but you're not  
16  positively denying that as we sit here, are you?

17          A.   That's correct.   I don't necessarily  
18  recall it, but I won't deny it.

19          Q.   Okay.

20          A.   They will --

21          Q.   And I am not trying to trick you on  
22  anything.   I will get a copy of the e-mail.

23                It reads:

24                "Dear VBR crew:

25                "I hope you are all well.   Early

1 yesterday, Robb issued his draft report on the  
2 viability and use of vessel based radar at the  
3 Icebreaker project site pre-construction, as he had  
4 promised. It is our understanding that, pursuant to  
5 our agreement to bring Robb in as the third-party  
6 neutral and to defer to his opinion on this matter,  
7 we all now have time to get Robb any comments we have  
8 on the draft report. We propose that by COB," close  
9 of business, "on Tuesday 12/19 all comments be given  
10 to Robb. Robb will then consider all comments  
11 received from us and his peer reviewers, and issue  
12 his final report on 12/21, as previously agreed upon,  
13 so that it can be filed with the OPSB. This process  
14 is consistent with our agreement to bring Robb in as  
15 the ultimate decider of the radar issue, and with our  
16 monitoring protocol and MOU."

17 Did I read that correctly?

18 A. I won't make a big deal over a few minor  
19 typos.

20 Q. Okay.

21 A. Wordos.

22 Q. Substantively?

23 A. Yeah.

24 Q. Thank you. And do you recall reading  
25 that e-mail?

1           A.   Honestly, I don't recall reading this  
2 particular e-mail, but the general events associated  
3 with Dr. Diehl submitting his report and producing  
4 comments on it, I do recall.

5           Q.   Okay. And you don't deny, as it  
6 indicates here, that, at the very least, you were  
7 copied on Jeff Gosse's Fish and Wildlife Services  
8 response, correct?

9           A.   Yes.

10          Q.   Okay. And then the next paragraph reads:

11                "We also understand that USFWS has  
12 expressed a desire or intent to amend its comments to  
13 Robb's report, or to file its comments separately,  
14 expressing a difference of opinion with certain  
15 aspects of Robb's report or its conclusions. We  
16 believe that would be inconsistent with our agreement  
17 regarding this process; we would like confirmation  
18 that FWS will respect that agreement and accept  
19 Robb's final report without dissent. Accordingly,  
20 once Robb's report is finalized, LEEDCo will prepare  
21 the filing for the OPSB, and we propose that it be a  
22 joint filing except -- signed," excuse me, "by both  
23 LEEDCo and the USFWS to be confirmed for the OPSB  
24 that the parties have followed and accept the outcome  
25 of the agreed-upon process.

1 "Please confirm that this process is  
2 consistent with your understanding of the process at  
3 this point and your agreement to accept Robb's final  
4 report on the record."

5 Did I read that correctly?

6 A. Yes.

7 Q. Do you recall that LEEDCo was trying to  
8 tell Fish and Wildlife Service that the parties had  
9 an agreement that Mr. Robb's report would be  
10 submitted to the Power Siting Board without dissent  
11 by any of the parties?

12 MR. SECREST: Objection to the  
13 characterization. The document speaks for itself.

14 ALJ ADDISON: Mr. Stock?

15 MR. STOCK: I am allowed to ask him what  
16 his recollection of events is.

17 ALJ ADDISON: I will allow this one  
18 question.

19 A. My -- my understanding of this  
20 communication is that Ms. Nagusky was asking the  
21 parties to confirm the agreement that Dr. Diehl's  
22 report was to be taken as the ultimate authority on  
23 the radar issue; and, in fact, we've talked about the  
24 change in position of the Fish and Wildlife Service  
25 between December 2017 and March 2018. And, in fact,

1 the Diehl Report, issued in December 2017, I don't  
2 want to characterize the Fish and Wildlife Service's  
3 position, but this was a turning point for the  
4 project team in our understanding of the agreement  
5 between the agencies and the -- and LEEDCo about what  
6 the radar protocol would be.

7 We were -- this -- Dr. Diehl's report was  
8 long-awaited by us and by the agencies. And once it  
9 was issued, we understood that it was to be taken as  
10 the independent expert opinion and the final word; as  
11 Beth said, the ultimate decider on the issues.

12 I would -- I concur with what Beth  
13 expressed in this e-mail that the understanding --  
14 prior understanding of Dr. Diehl's report was to  
15 render that independent decision. It would be the  
16 final decision.

17 So I agree that the comment -- or the  
18 suggestion by the Service that they were dissenting  
19 from the opinion and wanted to supplement the report  
20 with additional comments expressing dissent, was not  
21 in the spirit of the original agreement to follow  
22 Dr. Diehl's recommendations.

23 Q. Okay. And, now, let's look at Jeff  
24 Gosse's e-mail in response, to which you were copied.

25 "Beth,

1                   "Your understanding and description is  
2                   vastly different than ours. LEEDCo suggested Robb as  
3                   an independent reviewer for the radar study and we  
4                   said that we would be willing to explore that concept  
5                   (April 23, 2017). Robb expressed his preference to  
6                   have both LEEDCo and the agencies" -- and the  
7                   "agencies," did you understand those to be Fish and  
8                   Wildlife Service and ODNR?

9                   A.     Yes.

10                  Q.     Okay. -- "each fund half of his  
11                  requested stipend (Phone call between the Service and  
12                  Robb, May 3, 2017; email between Dr. Diehl and Beth  
13                  Nagusky et al,. May 2, 2017). The radar section of  
14                  the Service agreed that we would provide half of the  
15                  cost provided that we could develop a mutually  
16                  agreeable written agreement which is required before  
17                  our contracting division would allow for any  
18                  payment."

19                  Now, did you understand that Jeff Gosse  
20                  was with the Radar Section of the Fish and Wildlife  
21                  Service?

22                  A.     Yes.

23                  Q.     Okay. "We spent months, beginning this  
24                  summer, in discussions with Robb and exchanging study  
25                  and report specifications (emails May 3, 2017, May 3,

1 2017" -- excuse me -- "call May 3, 2017, email  
2 June 13, 2017, email June 25, 2017, call October 19,  
3 2017). During all this time in discussions with  
4 Robb, he consistently stated his position that the  
5 Service and LEEDCo were free to disagree with his  
6 recommendations (email between Dr. Diehl and Beth  
7 Nagusky et al., May 2, 2017)."

8 Do you recall if Mr. Diehl had said that  
9 the Service and LEEDCo were free to disagree with his  
10 recommendations?

11 MR. SECREST: Objection, hearsay.

12 A. I don't have any information -- oh,  
13 sorry.

14 ALJ ADDISON: Sorry. There is a pending  
15 objection.

16 Mr. Stock.

17 MR. STOCK: I'm not asking him -- I'm not  
18 seeking to prove the truth of the statement. I am  
19 asking him if he agrees whether or not that happened.  
20 He was copied on this e-mail.

21 MR. SECREST: Which would go to the truth  
22 of the statement that it was made.

23 ALJ ADDISON: Thank you. Sustained.

24 MR. SECREST: Thank you, your Honor.

25 MR. STOCK: He can say whether or not he

1 has any knowledge of it. I am asking whether he is  
2 aware the position was taken. I am not stating the  
3 position was taken.

4 ALJ ADDISON: I've made my ruling. You  
5 can move on.

6 Q. (By Mr. Stock) "The concept that he and  
7 we both envisioned was that the report would at least  
8 note where an entity had disagreement" and then --  
9 "and they would then be free to provide a more  
10 complete explanation of their concerns. The written  
11 agreement that we had envisioned was never  
12 consummated so our position is that there is not and  
13 never has been any agreement on this report."

14 Are you aware as to whether or not Fish  
15 and Wildlife Service ever signed any agreement with  
16 respect to paying any of the fees of Dr. Diehl for  
17 his report?

18 A. My understanding, and I should say I  
19 was -- I certainly believe you, I was copied on this  
20 e-mail and probably the earlier one in the chain, but  
21 most of these communications that Mr. Gosse refers to  
22 in this e-mail, I was not on, so I certainly was not  
23 involved in all of the communications.

24 However, I will also say that it is my  
25 understanding that a final contractual agreement

1 between the parties, including Dr. Diehl, was never  
2 reached, and so Mr. Gosse's assertion is correct that  
3 there was no agreement, there was no contractual  
4 agreement, but there was a verbal agreement, and  
5 that's all there ever was because no contract was  
6 ever finalized.

7 Q. Was a contract drafted?

8 A. I don't know.

9 Q. Okay. It reads in the last paragraph:

10 "The Service has not ever agreed to abide  
11 by whatever Robb recommends and as late as  
12 December 14, 2017, he both understood that and said  
13 that he welcomed it. Given that the written  
14 agreement we had sought was never developed and that  
15 some of our long-standing considerations have not  
16 been included in the report, the Service will not be  
17 a signatory to the report."

18 Did you have any discussions with  
19 Mr. Gosse about whether or not the Fish and Wildlife  
20 Service would be putting together written comments  
21 regarding the Diehl Report?

22 A. To make sure I understand your question,  
23 you are asking did I have discussions with Mr. Gosse  
24 about? I did not.

25 Q. Okay. Did you have discussions with

1 anyone at Icebreaker as to whether or not it had an  
2 agreement -- Icebreaker believed it had an agreement  
3 with Fish and Wildlife Service that Fish and Wildlife  
4 Service would accept Mr. Diehl's report without  
5 dissent?

6 A. I did understand, from discussions with  
7 the project team, that they had a verbal agreement  
8 with ODNR, and Fish and Wildlife Service, and  
9 Dr. Diehl, about his role to be the ultimate expert  
10 and independent arbiter of the radar protocol issue.

11 The fine point you asked about,  
12 specifically, about whether or not there was an  
13 agreement for the Service to be able to provide a  
14 written dissent if they didn't agree with part of his  
15 report, I don't recall any discussion about that  
16 specific part of the agreement. And, for better or  
17 worse, I think that's the unfortunate part about not  
18 having a written agreement. I think the hope was  
19 that the verbal agreement would be sufficient for  
20 everybody to abide by the mutual understanding. But  
21 clearly, without any written agreement, as Mr. Gosse  
22 expresses in this e-mail, they had different  
23 understandings of what the agreement was.

24 Q. Okay.

25 A. Particularly on fine points like that.

1           Q.    Okay.  Now, Ms. Nagusky's e-mail in  
2    response, on December 19, you are copied on that as  
3    well.

4           A.    Yes.

5           Q.    You read this e-mail, correct?

6           A.    I believe so, yes.

7           Q.    Yeah.  Okay.  And the first paragraph she  
8    states to Jeff, Jeff Gosse, "Apparently we do have  
9    very different understandings of the role Robb" --  
10   that's Robb Diehl, correct?

11          A.    Correct.

12          Q.    -- "was to play in deciding the  
13   pre-construction Icebreaker Wind radar issues; our  
14   understanding was that Robb's report would be the  
15   final word on the issue of the viability of" red --  
16   "vessel based radar to collect the data the agencies  
17   sought, and we believe that understanding is  
18   reflected in our Avian and Bat Monitoring Protocol  
19   and MOU with ODNR."

20                   Now, down to the last paragraph.

21                   "Since we envisioned Robb's report as the  
22   final word on this subject, we strongly object to  
23   anyone attaching comments to the report itself."

24                   Were you aware that LEEDCo did not want  
25   Fish and Wildlife Service to attach its comments

1 concerning the Robb Report, to the Robb Report, when  
2 it was submitted to the Power Siting Board?

3 A. Yes.

4 Q. Okay. And you were aware of that by  
5 letter dated December 21 of 2017, the Fish and  
6 Wildlife Service did, in fact, send written comments  
7 to the Diehl Report to Mr. Diehl, correct?

8 A. I would want to be refreshed on the  
9 details of those communications. Is that an exhibit  
10 in here?

11 Q. Yeah. If you look at -- it's not an  
12 exhibit -- have we marked -- we have marked this as  
13 an exhibit.

14 MR. STOCK: It's Staff Exhibit 2?

15 MR. JONES: 2.

16 MR. STOCK: Thank you.

17 Q. Yes, it has already been marked.

18 A. This is the letter from the Service in  
19 December --

20 Q. Yeah. If you take a look at your Tab V  
21 in your binder.

22 A. V as in Victor?

23 Q. V as in Victor. It's the same exhibit.

24 A. What I have in Tab V is e-mails -- an  
25 e-mail from Beth to Robb Diehl. Am I looking at the

1 right thing? It must be a different tab.

2 Q. Tab V, you first have an e-mail dated --  
3 I'm sorry. It's Tab U.

4 A. Tab U.

5 ALJ WALSTRA: Second page. Yes.

6 A. Yes, got it.

7 Q. I'm sorry. Mine is messed up. Tab U is  
8 a December 22 e-mail from Jeff Gosse to Beth Nagusky,  
9 reading "Attached is a letter sent to Dr. Diehl."

10 And then if you turn the page, and these  
11 are Bates stamps with the document numbers provided,  
12 the documents provided by Icebreaker in this case.  
13 So the e-mail, the first page is 570. The second  
14 page is 571. And the letter is 572, -73, -74, and  
15 -75. So you've seen that letter, correct?

16 ALJ ADDISON: Mr. Stock, sorry to  
17 interrupt. Are you making this e-mail exchange as an  
18 exhibit? I believe the letter has been marked  
19 already as Staff Exhibit 2, but this e-mail exchange  
20 is something --

21 MR. STOCK: Thank you. No. That's a  
22 valid point. We will mark this and it will become  
23 Exhibit 14; is that right?

24 ALJ ADDISON: And you are just marking  
25 the e-mail exchange as Exhibit 14.

1 MR. STOCK: No. I am marking the e-mail  
2 exchange with the letter.

3 THE WITNESS: The letter is already an  
4 exhibit, right?

5 MR. STOCK: But this is now --

6 ALJ ADDISON: Yes. Just for references,  
7 to make things easier, we will go ahead and mark the  
8 e-mail exchange and the letter, in combination with  
9 one another, as Bratenahl Residents Exhibit 14.

10 MR. STOCK: Right, because with the  
11 e-mail it makes it a different exhibit.

12 (EXHIBIT MARKED FOR IDENTIFICATION.)

13 ALJ ADDISON: Thank you.

14 MR. STOCK: Thank you.

15 Q. So you've seen these -- you've seen this  
16 letter before, from Fish and Wildlife Service to  
17 Dr. Robert Diehl, commenting on his report, correct?

18 A. You're talking about the letter --

19 Q. The letter --

20 A. -- not the e-mails --

21 Q. Yes.

22 A. -- in this exhibit. Yes.

23 Q. Okay. Thank you. Now, I want to direct  
24 your attention to Tab T. Do you have Tab T?

25 A. Yes, I'm there.

1           Q.    Is that an e-mail, dated December 27,  
2   2017, from Beth Nagusky to Alana Duerr and others at  
3   the DOE, with CC to Lorry Wagner, Dave Karpinski, and  
4   others?

5           A.    Yes.

6           Q.    Okay.

7           ALJ ADDISON:  Mr. Stock, are you also  
8   marking this as an exhibit?

9           MR. STOCK:  I'm not certain yet.  We'll  
10   find out.

11          ALJ ADDISON:  If you are going to ask  
12   questions on it, I think it would be best to have it  
13   marked.

14          MR. STOCK:  Well, the first question is  
15   has he seen it.  If he hasn't, I am not going to mark  
16   it.

17          ALJ ADDISON:  Fair enough.  Ask your  
18   question.

19          Q.    (By Mr. Stock) It bears Bates stamp Nos.  
20   1587, 1588 from the production.  Have you seen this  
21   before?

22          A.    What are the Bates stamp numbers?

23          Q.    The lower right-hand corner.

24          A.    I don't see any numbers.

25          Q.    Okay.  I'm sorry.  It's a different copy

1 that's included. It does not have Bates numbers. Is  
2 it the same e-mail? December 27, 2017, at 5:18 and  
3 33 seconds p.m.?

4 A. Yes, I see that time stamp.

5 Q. Okay. Do you recall having seen this  
6 e-mail before? Take a look at it.

7 A. I believe I have not seen this e-mail  
8 before.

9 Q. Okay. It says in the second paragraph:  
10 "I am attaching both the final" Robert -- "Robb Diehl  
11 report as well as the comments Fish and Wildlife  
12 Service sent to him on his draft report."

13 Did you have any discussions with anyone  
14 within -- with Ms. Nagusky or anyone within  
15 Icebreaker about Icebreaker sending both the Diehl  
16 Report, and Fish and Wildlife Services' comments, to  
17 DOE?

18 MR. SECREST: Your Honor, I'm fine with  
19 the question about whether there were any  
20 discussions, but not in reference to an exhibit that  
21 he has never seen or at least testified he hasn't  
22 seen.

23 ALJ ADDISON: Thank you. I agree. The  
24 question itself is fine, but any references,  
25 especially reading directly from the text, I'm not

1 going to allow.

2 MR. STOCK: Okay.

3 ALJ ADDISON: So if you could just  
4 rephrase your question.

5 MR. SECREST: Thank you, your Honor.

6 ALJ ADDISON: Thank you.

7 Q. (By Mr. Stock) Were you aware of any  
8 discussions or did you have any discussions with Beth  
9 Nagusky or anyone at LEEDCo regarding whether -- or  
10 with respect to LEEDCo submitting to DOE both a final  
11 Robb Report and the comments submitted by Fish and  
12 Wildlife Service?

13 A. I honestly don't remember if I was  
14 involved in any discussions about that.

15 Q. All right. Were you involved in any  
16 discussions with Beth Nagusky or anyone at LEEDCo  
17 regarding LEEDCo having an understanding that the  
18 Fish and Wildlife Service would not file its comments  
19 regarding the Diehl Report with the Power Siting  
20 Board?

21 MR. SECREST: Asked and answered.

22 MR. STOCK: It's a completely different  
23 question.

24 ALJ ADDISON: I will allow the question.  
25 You may answer.

1           A.    That rings a vague bell.

2           Q.    So there was discussion about LEEDCo  
3   having an agreement with the Fish and Wildlife  
4   Service that it would not file its comments regarding  
5   the Diehl Report with the Power Siting Board; is that  
6   correct?

7           A.    I do recall some discussions about,  
8   again, how the Diehl Report was supposed to be taken  
9   as his word, from one of the world's foremost experts  
10   on radar ornithology, and that attaching additional  
11   comments to his report was not in the spirit of the  
12   agreement.

13          Q.    And LEEDCo did not want Fish and Wildlife  
14   Service filing its comments concerning the Diehl  
15   Report with the Power Siting Board, correct?

16          A.    I don't really want to characterize what  
17   LEEDCo wants or wanted, but that's my understanding.  
18   And as Beth expressed in the e-mail we reviewed  
19   before, she expressed the opinion that that was  
20   inappropriate according to -- not in the spirit of  
21   the verbal agreement as they understood it.

22               MR. STOCK:  I have no further questions.

23               ALJ ADDISON:  Thank you, Mr. Stock.

24               Mr. Jones.

25               MR. JONES:  Mr. Simmons is going to take

1 the witness.

2 ALJ ADDISON: I apologize. Please  
3 proceed.

4 - - -

5 CROSS-EXAMINATION

6 By Mr. Simmons:

7 Q. Good afternoon. My name is Cameron  
8 Simmons. I'm with the Ohio Attorney General's  
9 Office, and I represent Staff. I have a few  
10 questions for you about your testimony. Dr. Gordon,  
11 are you offering testimony in support of the  
12 stipulated conditions which I believe has been  
13 referenced as Joint Exhibit 1?

14 A. Yes.

15 Q. In particular, you are offering testimony  
16 in support of Stipulated Conditions 19, 22, and 24?

17 A. Let me just say that the primary purpose  
18 of my testimony is to address the risk assessment,  
19 not the stipulated conditions, or the Stipulation.  
20 That is going to fall primarily under the testimony  
21 of Mr. Good, Mr. Erickson, and Mr. Mabee who will  
22 speak to specific technical points about the specific  
23 stipulations. I do reference the stipulated  
24 agreement in my testimony; however, I am not really  
25 the primary person responsible for neither

1 negotiating or developing or agreeing on the  
2 stipulated conditions, if that makes sense.

3 Q. Do you have a copy of your prefiled  
4 testimony in front of you?

5 A. Yes.

6 Q. Could you please turn to page 3 of that  
7 prefiled testimony.

8 A. Yes.

9 Q. I would like to turn your attention to  
10 Question No. 7. "Please state the purpose of your  
11 testimony." About halfway through that could you  
12 read, it begins with "My testimony"? Could you read  
13 that -- the remainder of that answer?

14 A. Uh-huh. "My testimony, together with the  
15 other Icebreaker witnesses testifying in this case,  
16 will confirm that the Joint Stipulation and  
17 Recommendation ('Stipulation'), which was filed in  
18 the docket on September 4, 2018, and is being offered  
19 in this proceeding as Joint Exhibit 1, supports a  
20 finding by the Ohio Power Siting Board ('Board') that  
21 the Stipulation represents the minimum adverse  
22 environmental impact, considering the state of  
23 available technology, and is in the public interest."

24 Q. And could you please turn your attention  
25 to page 12 of your testimony. And specifically --

1           A.    I'm there.

2           Q.    And specifically Question 20.  Could you  
3 please read the first line -- first sentence of your  
4 answer to Question 20.

5           A.    Okay.  "The Stipulation supports a  
6 finding of minimum adverse environmental impact  
7 because it includes a number of Applicant committed  
8 measures to further reduce the already-low level of  
9 risk to birds and bats from the project."  Should I  
10 continue?

11          Q.    Yes.  If you could read the next  
12 sentence, please.

13          A.    Okay.  "These measures are described in  
14 detail among the 35 recommended conditions in the  
15 Stipulation, and are further described in the  
16 project's Bird and Bat Conservation Strategy which is  
17 included in Mr. Good's testimony as Attachment  
18 REG-2."  Is that enough?

19          Q.    Yes.  That's sufficient.

20                So are you here today offering testimony  
21 in support of the 35 recommended conditions in the  
22 Stipulation which has been identified as Joint  
23 Exhibit 1?

24          A.    Yes.  And as I said, I am offering  
25 testimony in support of the stipulated agreement;

1 but, again, the primary purpose of my testimony is  
2 focused on the risk assessment which was when I was  
3 the project manager for the project. And the current  
4 project manager, Mr. Good, is the one who's taken  
5 primary responsibility for the negotiations beginning  
6 in January 2018, which is when most of the substance  
7 of the Stipulation, especially as distinct from the  
8 Staff Report and all that business, has been  
9 developed.

10 Q. Are you familiar with the differences  
11 between the Joint Stipulation and the Staff Report?

12 A. I have -- yes, in general terms,  
13 although, again, I don't have the most intimate  
14 technical knowledge of all the specifics or the  
15 conversations that led to the development of the  
16 draft language, but I am familiar with them. I've  
17 read them.

18 Q. And you understand there are differences.

19 A. Yes.

20 Q. Would you agree that the Staff Report  
21 represents the minimum adverse environmental impact,  
22 including its conditions?

23 MR. SECREST: Objection.

24 ALJ ADDISON: Grounds?

25 MR. SECREST: Outside the scope of

1 testimony. He just indicated he is -- he is  
2 generally familiar with the differences but not  
3 intimately familiar with the differences obviously.

4 ALJ ADDISON: Mr. Simmons?

5 MR. SIMMONS: Your Honor, he is offering  
6 testimony in support of the 35 conditions in the  
7 Stipulation. I think I have a right to ask him what  
8 the differences are between those conditions and the  
9 Staff Report itself.

10 ALJ ADDISON: I'll allow the question to  
11 the extent that you know.

12 A. Yeah. Can you repeat the question,  
13 please?

14 Q. Yes. Does -- do you agree that the Staff  
15 Report, and the conditions contained therein,  
16 represent the minimum adverse environmental impact?

17 MS. LEPPLA: Your Honor, if I can just  
18 object. The witness says in here that he's  
19 testifying about "how these conditions," but it's  
20 clear, from his testimony, he is here to talk about  
21 specifics, and I am not sure that asking him about  
22 every single one of the conditions, if he can make  
23 that conclusion, is an appropriate question for this  
24 witness.

25 ALJ ADDISON: If he has an opinion on the

1 matter, he can express that opinion. If he doesn't,  
2 he can say that as well.

3 A. What I will say is that you're asking me  
4 specifically about whether the Staff Report  
5 represents minimum adverse impact. My understanding  
6 is that minimum adverse impact, in this sense, is a  
7 legal term.

8 First of all, I don't have an opinion on  
9 the legal term or I don't understand the precedence  
10 for how the Ohio Power Siting Board has applied the  
11 standard of minimum adverse impact. In English  
12 language, that sounds like a fairly general kind of  
13 term. I could reference my intuitive understanding  
14 of it. From a legal and regulatory standpoint, which  
15 is what I think is important here, I don't have the  
16 legal or regulatory background to understand what  
17 that -- how that standard has been applied at the  
18 finest levels.

19 And in this case what I can talk about,  
20 in terms of the differences between the Staff Report  
21 and the stipulated agreement, are what are the  
22 technical specifics, what are the differences in the  
23 protocols, what does that mean from a biology  
24 standpoint.

25 As to how do those subtle differences --

1     how were those viewed through the lens of the minimum  
2     adverse impact standard, that's where I don't have a  
3     firm opinion.

4             Q.     But in your testimony, you affirmatively  
5     state that the stipulated conditions represent the  
6     minimum adverse environmental impact, correct?

7             A.     That's correct. And that's based on my  
8     understanding. Again, all of this involves linkages  
9     between biology and law and regulation. You know, at  
10    the boundaries of science and Ohio regulation, I  
11    quickly get out of my pay grade.

12            My understanding of minimum adverse  
13    impact, particularly in the intuitive sense about  
14    what it means to me, I believe in what I said in my  
15    testimony which is that the stipulated agreement  
16    represents the minimum adverse impact. I would also  
17    be perfectly willing to say that the Staff condition  
18    might also represent minimum adverse impact. Again,  
19    that would depend on the specific way that that  
20    standard was applied.

21            Q.     Let's try it a little bit differently.

22            Using the same standard that you use in  
23    your testimony, whether that's regulatory perspective  
24    or biological perspective or a combination thereof,  
25    the same threshold that you used in your testimony

1 when you testified that the Stipulation supports a  
2 finding of minimum adverse impact; applying that same  
3 standard, does the Staff Report represent the minimum  
4 adverse impact?

5 MR. SECREST: Just note an objection  
6 because obviously a number of the Staff Report  
7 conditions are the same as the stipulated conditions.  
8 So are you asking it in total, each one, even the  
9 ones there is agreement on, or just the conditions  
10 for which there is a dispute?

11 ALJ ADDISON: Mr. Simmons.

12 MR. SIMMONS: I think the question was:  
13 Does the Staff Report, in totality, represent minimum  
14 adverse environmental impact.

15 A. I don't have a firm opinion on that.

16 Q. Could you please turn to -- do you have a  
17 copy of the Stipulation in front of you, Joint  
18 Exhibit 1?

19 A. Yes.

20 Q. Could you please turn to page 6 of the  
21 Stipulation.

22 A. I'm there.

23 Q. And particularly, Condition 19.

24 A. I see it.

25 Q. Are you familiar with this condition?

1           A.    Yes.

2           Q.    And do you have a copy of the Staff  
3 Report in front of you?

4           A.    I'm not sure.  Is that also in this one?

5           Q.    No.  It should be Staff Exhibit 1.

6           A.    That's not in Karpinski's.

7           MR. SECREST:  That's a loose.  It is not  
8 in a folder.

9           A.    Maybe it's -- let's see, we got the --  
10 this is Karpinski's testimony.  This is the letter.  
11 Staff Report, got it.

12          Q.    And I would like to direct your attention  
13 to pages 47 and 48 of the Staff Report.

14          A.    I see it.

15          Q.    And I would specifically like to direct  
16 your attention to Condition 19 of the Staff Report.  
17 Are you familiar with that?

18          A.    Yes and no.  It was not my primary  
19 responsibility to respond or digest this at the time  
20 it came out.  At that time I had already -- I was no  
21 longer the project manager and I had left WEST and I  
22 was functioning as a technical expert on the project.  
23 So I believe I have reviewed this, but it was not --  
24 I don't have the greatest level of familiarity with  
25 this on our team as I mentioned.  But I'm generally

1 familiar with it.

2 Q. And to clarify though, you had left WEST  
3 at the time the Joint Stipulation was filed on the  
4 docket of this matter, correct?

5 A. Absolutely. I left WEST in January 2018.

6 Q. I would like to go through some of the  
7 differences between Staff Report Condition 19 and the  
8 Stipulation Condition 19.

9 Does the Stipulation Condition 19 allow  
10 for the post-construction avian and bat collision  
11 monitoring plan to be demonstrated prior to  
12 construction?

13 A. Does it allow for that post-construction  
14 collision monitoring to be demonstrated prior to  
15 construction?

16 Q. Yes.

17 A. I understand that it does; either prior  
18 to construction or subsequent to construction.

19 Q. Because, at this time, Icebreaker has not  
20 selected its particular collision monitoring  
21 technology; is that correct?

22 A. That's correct, according to my  
23 understanding. Again, I am not involved in the  
24 latest discussions on the selection of the  
25 post-construction collision monitoring technology.

1     So my knowledge on this is a little bit dated, but  
2     what I understand is that what you said is correct.

3             Q.     And are you familiar with the prefiled  
4     testimony of Erin Hazelton in this matter?

5             A.     Yes.

6             Q.     And you've read that?

7             A.     Yes, I have.

8             Q.     Based on the clarifications to Condition  
9     19 contained in Ms. Hazelton's testimony, does  
10    Condition 19 of the Staff Report allow for the  
11    post-construction avian and bat collision monitoring  
12    plan to be demonstrated prior to construction?

13            MR. SECREST:  Objection, misstates  
14    testimony.  Mr. Siegfried's testimony indicated there  
15    would be a revision of 19, and in Ms. Hazelton's  
16    testimony there was no revision to Staff 19 in  
17    Ms. Hazelton testimony.

18            ALJ ADDISON:  Mr. Simmons?

19            MR. SIMMONS:  I didn't ask him about  
20    Mr. Siegfried's testimony.  I asked him about  
21    Ms. Hazelton's testimony and whether he was familiar  
22    with it.

23            ALJ ADDISON:  I'll allow the question if  
24    he knows.

25            A.     I would feel more comfortable honestly

1     answering if I had that in front of me. Is there an  
2     exhibit that shows the revised -- shows  
3     Ms. Hazelton's testimony that I can refer to?

4             MR. SIMMONS: May I approach?

5             ALJ ADDISON: You may.

6             MR. SIMMONS: I believe this may have  
7     been on the stand from yesterday. I don't know if  
8     there is a copy already up there of Ms. Hazelton's  
9     testimony.

10            THE WITNESS: Has that already been  
11    marked as an exhibit?

12            ALJ ADDISON: It has not.

13            THE WITNESS: Does the direct testimony  
14    get marked as an exhibit?

15            ALJ WALSTRA: It will.

16            ALJ ADDISON: It will be when she's on  
17    the stand.

18            MR. SECREST: Mr. Simmons, I have just a  
19    revised 24 but that's the only portion I have, at  
20    least not in the giant binder.

21            THE WITNESS: This is Ms. Hazelton's  
22    testimony?

23            MR. SIMMONS: Yes.

24            ALJ ADDISON: Thank you.

25            Mr. Simmons, just to keep the record as

1 clear as possible, are you going to be marking this  
2 exhibit at this point in time?

3 MR. SIMMONS: We can. We can. Would  
4 this be Staff Exhibit 3?

5 ALJ ADDISON: Thank you. So marked.

6 (EXHIBIT MARKED FOR IDENTIFICATION.)

7 Q. And can you please turn to page 9 of  
8 Ms. Hazelton's testimony.

9 A. I'm there.

10 Q. And could you please read the sentence  
11 that begins at line 18.

12 A. Okay. "The Applicant may demonstrate  
13 that the plan and technology is sufficient either  
14 prior to construction or during operation through lab  
15 and field testing."

16 Q. So would you agree, in these respects,  
17 Staff Condition 19 and Stipulation Condition 19 are  
18 the same in that they both allow for the  
19 technology -- or the plan to be demonstrated prior to  
20 construction?

21 A. I want to make sure I understand  
22 correctly because what we just read from is  
23 Ms. Hazelton's testimony, and you asked me about the  
24 difference between Staff Condition 19 and Stipulation  
25 Condition 19. Is there a modification to Staff

1 Condition 19 that's pending that's contained within  
2 Ms. Hazelton's testimony that's not yet in the Staff  
3 Report? Or I'm a little confused about the  
4 difference between Condition 19 as stated in the  
5 Staff Report and that language we just read from  
6 Ms. Hazelton's testimony.

7 Q. The language I read from Ms. Hazelton's  
8 testimony is her -- is a clarification of Condition  
9 19 in the Staff Report.

10 A. And so, does that legally, in all  
11 respects, modify the Staff Report effectively,  
12 condition 19, for sort of purposes of the record? I  
13 am just trying to make sure I understand.

14 Q. Ms. Hazelton has been identified as a  
15 witness in this -- this is her prefiled direct  
16 testimony. So this is her testimony. And I'm asking  
17 you if Staff Report Condition 19, as clarified  
18 through that testimony, is the same as Condition 19  
19 in the Joint Stipulation, as far as the being able to  
20 demonstrate the project prior to construction.

21 A. Assuming that this statement from  
22 Ms. Hazelton's testimony effectively replaces the  
23 existing Staff Condition 19, then, yes, I believe  
24 they are identical in allowing for demonstration of  
25 the technology either prior to or -- prior to

1 construction or during operations.

2 Q. To clarify, there's no -- there's no  
3 replacement. It's a clarification. So Staff -- this  
4 clarifies what's in Staff 19. It doesn't replace it.

5 ALJ ADDISON: Is that a question,  
6 Mr. Simmons?

7 MR. SECREST: Yeah. Move to strike.

8 ALJ ADDISON: I think that --

9 MR. SECREST: Counsel's testifying.

10 ALJ ADDISON: Yeah. If you are going to  
11 ask a question, ask a question, but you cannot speak  
12 on Ms. Hazelton's behalf.

13 MR. SIMMONS: Your Honor, I was moving to  
14 clarify his construction of the question.

15 ALJ ADDISON: I think he's given the  
16 answer that he is going to give, so let's move on.

17 THE WITNESS: Actually, I don't mind  
18 providing a little clarification, if that's all  
19 right.

20 ALJ ADDISON: Be my guest.

21 A. I think this distinction is important  
22 because looking at Staff Condition 19, as written in  
23 the Staff Report, which is what you asked me about, I  
24 don't actually see that language about the allowance  
25 for pre -- the demonstration either pre-construction

1 or during operation. I only see that in  
2 Ms. Hazelton's testimony.

3 So that's why I just want to qualify my  
4 statement by saying assuming this qual -- this  
5 clarification in Ms. Hazelton's testimony about Staff  
6 Condition 19 supplants the existing Staff Report in  
7 modifying Condition 19, then I agree with what you  
8 said that, they both allow for demonstration of the  
9 technology either prior to construction or during  
10 operation.

11 Q. Could you please read Staff Report  
12 Condition 19.

13 A. Okay. It says "Turbines shall be  
14 feathered completely from dusk to dawn from March 1  
15 through January 1 until the Applicant has  
16 demonstrated that post-construction avian and bat  
17 collision monitoring plan is sufficient, as  
18 determined by the ODNR in consultation with Staff.  
19 The ODNR may approve modifications to turbine  
20 operation for testing purposes."

21 Q. Is there any language in Condition 19 in  
22 the Staff Report that would preclude that  
23 demonstration prior to construction?

24 A. There is no language in there that would  
25 preclude it, but it --

1 Q. Thank you.

2 A. The Staff condition, as written in the  
3 Staff Report, is mute on the issue. There is no  
4 language about when the demonstration will occur.

5 Q. Doesn't the demonstration have to occur  
6 prior to the feathering restrictions being removed?

7 A. I believe that's correct how -- how  
8 Condition 19 is written. It says "Until the  
9 Applicant has demonstrated that the post-construction  
10 avian and bat monitoring plan is sufficient" that the  
11 feathering will occur.

12 Q. So, in theory, on October 1, 2018, that  
13 demonstration can be made.

14 A. Correct. As written, it does not  
15 preclude that.

16 Q. I would like to turn your attention back  
17 to Joint Stipulation Condition 19.

18 A. Okay.

19 Q. I would like to focus your attention on  
20 the final prong of that, and I believe this goes to  
21 the feathering portion. Could you please read the  
22 language beginning with "Because this project is the  
23 first of its kind in Lake Erie...."

24 A. Okay. "Because this project is the first  
25 of its kind in Lake Erie, if the ODNR and Staff find

1     that the plan is not sufficient, the ODNR and Staff  
2     may require turbines be feathered up to 30 minutes  
3     prior to sunset to 30 minutes after sunrise during  
4     peak spring and fall migration periods when cloud  
5     ceilings are low."

6           Q.     And that language says "up to 30 minutes  
7     prior to sunset to 30 minutes after sunrise." Who  
8     would make that determination about what percentage  
9     of that time feathering would be necessary?

10          A.     I don't have any knowledge of that.

11          Q.     Do you have any knowledge about this  
12     statement "when cloud ceilings are low," how that  
13     would affect the feathering condition?

14          A.     I have knowledge of, I think, why it was  
15     included or how it relates to bird biology and risk  
16     considerations.

17          Q.     Do you know how it would be implemented  
18     as proposed in Condition 19 to the Joint Stipulation?

19          A.     That I don't know.

20          Q.     So how can you make the conclusion, as  
21     you've testified, that this will present the minimum  
22     adverse environmental impact?

23          A.     Oh, as with any agreement of its kind or  
24     any kind of certificate with conditions, the  
25     conditions only specify, to a certain level of

1 precision, the -- the requirements. They don't give  
2 a full-blown protocol of so-and-so calls so-and-so,  
3 and so-and-so presses this button. I don't believe  
4 that's the intent for scope of a document like this.  
5 So that detail is lacking in here naturally and  
6 that's what you're asking me about is how would it be  
7 implemented by whom.

8 Even absent those details, I believe it  
9 represents minimum adverse impact because I believe  
10 that the essence of the requirement is included in  
11 this condition as it relates to the key risk issue.

12 Q. Why don't you explain what your  
13 understanding of the dynamic there is between when  
14 this condition would be triggered. Is it the entire  
15 hours from 30 minutes prior to sunset to 30 minutes  
16 after sunrise but only when cloud ceilings are low?

17 A. That's my understanding is that it could  
18 be -- the maximum that it would be triggered would be  
19 during that entire period. Potentially it could be a  
20 smaller period and only when cloud ceilings are low  
21 and only during the peak migration seasons.

22 Q. Do you know what height that would be to  
23 trigger the low cloud ceilings?

24 A. I don't believe that's been determined.

25 Q. So it could be anywhere from 10 meters to

1 10,000 meters?

2 A. Well, that's a sort of extreme range. It  
3 certainly wouldn't be that high. But the precise  
4 number hasn't been determined yet, but presumably it  
5 would be -- it would correspond to the types of  
6 conditions when nocturnally-migrating birds are known  
7 to fly at lower-than-normal altitudes.

8 Q. And do you have any idea what that height  
9 is?

10 A. Roughly or in crude terms. I'm actually  
11 not very familiar with cloud ceiling -- typical cloud  
12 ceiling heights, but. So I actually can't tell you  
13 what a normal cloud ceiling height is.

14 I only know when cloud ceilings are below  
15 normal, for example, foggy or storm conditions,  
16 sometimes nocturnally-migrating birds are known to  
17 fly lower. I don't know exactly how low that cloud  
18 ceiling has to be to elicit that kind of response.

19 Q. And what percentage of cloud cover would  
20 necessitate that condition?

21 A. I'm also not familiar with exactly what  
22 that cloud cover percentage would be.

23 Q. Would it need to be 100-percent cloud  
24 coverage?

25 A. I don't know.

1           Q.   Practically speaking, how would this  
2           condition work? For example, let me pose a  
3           hypothetical. It's Saturday evening, during the  
4           migration time frame, 2:00 in the morning, no clouds,  
5           a storm rolls in, how would the condition be  
6           feathered? Would that be an automatic process or  
7           would somebody have to go out there and initiate  
8           feathering on the turbines?

9           A.   You know, again, unfortunately, I'm not  
10          going to be able to give you too much insight there  
11          because you are asking me about the specifics of how  
12          this particular condition could be implemented, who  
13          would call who, it's 2:00 a.m., how would it get shut  
14          down. Those details have not been specified or  
15          determined yet.

16                What is determined is what's in the  
17          condition, which is when the cloud ceilings are low,  
18          the feathering will occur up to all night long,  
19          during the high-risk period or during the migration  
20          period. That's as far as it's been determined to  
21          date, as far as I understand.

22          Q.   And that could change hour by hour.

23          A.   The weather conditions and migration  
24          conditions?

25          Q.   The cloud ceilings.

1           A.    I believe it could.

2           Q.    So, in one given night, you could have an  
3 hour of feathering, an hour of full operation, an  
4 hour of feathering, an hour of full operation.

5           A.    Unfortunately, I am not going to be able  
6 to give us much insight on this. It would depend on  
7 the implementation. Sometimes a system like that, I  
8 could imagine, hypothetically, it might take a while  
9 to trigger the response. Somebody might need to call  
10 somebody. They might be asleep. Somebody might need  
11 to call somebody else. It might take a while to  
12 trigger the feathering in the SCADA system. That's  
13 all purely hypothetical. But it just hasn't been  
14 determined yet and we don't know.

15          Q.    Is the feathering, as described in  
16 Stipulation Condition 19, critical to your opinion  
17 that the project represents the minimum adverse  
18 environment impact?

19          A.    No, it is not.

20          Q.    So you believe that the project  
21 represents the minimum adverse environment impact  
22 without any feathering in Condition 19?

23          A.    I do.

24          Q.    And that would be without the  
25 post-collision monitoring technology being

1 demonstrated, correct?

2           A. I believe it's important to conduct  
3 robust post-construction collision monitoring on this  
4 project. I've provided that input all along, and I  
5 think that's been incorporated into all the  
6 commitments and agreements for this project. I do  
7 believe that's important. I think this demonstration  
8 project has to be used as a platform to learn and  
9 advance knowledge frontiers for it to serve its  
10 purpose as a demonstration project.

11           Of course, monitoring, by itself, doesn't  
12 affect impacts, but it will affect our learning and  
13 it will affect our understanding of impacts, and it  
14 may -- it will affect our decision-making about  
15 future projects and air impacts.

16           The reason for my feeling about minimum  
17 adverse impact on this project is largely based on  
18 the fact we know, with a high degree of certainty, as  
19 is written in my testimony, that under the  
20 worst-case-scenario assumptions we looked at, this  
21 project is likely to kill the equivalent of a number  
22 of birds that are killed by three outdoor cats.  
23 That's how small it is. And that's with -- that's  
24 with no curtailment or mitigation.

25           In fact, to me, it seems honestly

1 preposterous to be talking about mitigation on a  
2 project this small with predicted likely impacts so  
3 vanishingly small.

4 Q. Do you believe -- so you believe that the  
5 project operating without the post-collision  
6 monitoring technology still represents the minimum  
7 adverse environmental impacts?

8 A. As I said, I believe without the most --  
9 I believe that it is very important for this project,  
10 as a demonstration project, to pioneer the  
11 implementation of new technologies to detect  
12 collisions of birds and bats with wind-turbine rotors  
13 in an offshore environment. I do believe that's an  
14 important condition for this project, in the spirit  
15 of the demonstration project, even though it actually  
16 doesn't impact -- it doesn't affect the level of  
17 impact, right? It's just a monitoring element.

18 Q. But does the project without operating,  
19 without the post -- excuse me, post-construction and  
20 collision monitoring equipment still represent the  
21 minimum adverse environmental impact?

22 A. You know, again --

23 MR. SECREST: I believe that's asked and  
24 answer, so objection.

25 MR. SIMMONS: Your Honor, he didn't

1 answer the question. He said at some point the  
2 collision monitoring technology is going to be  
3 important. He didn't answer the question.

4 ALJ ADDISON: I'll allow the question.

5 A. My answer to that question would again  
6 depend on the fine points of the application of the  
7 minimum adverse impact standard.

8 What I can say is from my understanding,  
9 not as a legal or regulatory expert, it would,  
10 because this project has such a vanishingly-small  
11 risk of any impact to begin with and because the  
12 post-construction monitoring protocol by itself is  
13 only a monitoring protocol. It actually doesn't  
14 affect the level of impact. So, based on that, I  
15 would say that it does satisfy that.

16 Q. Are you familiar with Condition 22 of the  
17 Joint Stipulation that was filed in the docket in  
18 this matter?

19 A. Yes.

20 Q. In particular, I would like to direct  
21 your attention to 22(c) of the Joint Stipulation on  
22 page 7.

23 A. I see it.

24 Q. And could you please read the final  
25 portion of that beginning with "(80 percent or

1 greater...."

2 A. "(80 percent or greater of survey time  
3 producing viable data, unless precluded by heavy  
4 precipitation or high sea events)."

5 Q. And that essentially is an exception for  
6 both precipitation events and high sea events,  
7 correct?

8 A. That's my understanding.

9 Q. What is a high sea event?

10 A. As I understand it, it's when waves are  
11 high. That's what's referred to by high seas, wavy  
12 conditions.

13 Q. And how would high sea events affect  
14 radar?

15 A. Well, in this case, the radar referred to  
16 in Condition 22 is the vessel-based radar we've been  
17 talking about, so that -- that radar will be deployed  
18 on a floating vessel. That's a barge. And high sea  
19 events, among other things, as discussed in  
20 Mr. Karpinski's testimony, could cause the barge  
21 operator to call the barge back to port because of  
22 safety concerns. So it could affect it that way.

23 Q. So is your testimony that the hours that  
24 the barge would be off of the Lake, would that be  
25 excepted from the 80-percent requirement due to high

1 seas?

2 A. That's how I understand this language  
3 from the Stipulated Condition 22(c), yes.

4 Q. Are you familiar with wave clutter and  
5 its effect on radar?

6 A. Only on a conceptual level -- level. I  
7 am not the person that looks at the clutter maps and  
8 does the clutter analysis, but I understand the  
9 concept of it as relates to radar analysis data on  
10 birds.

11 Q. Do the height of the waves of the high  
12 sea level, would that affect wave clutter?

13 A. As I understand, it could do so,  
14 particularly at the -- the directions close to the  
15 horizon, they are the most impacted by wave clutter.  
16 The part that's least affective is when you are  
17 looking straight up to the sky and, of course, that's  
18 the most important for us because one of the primary  
19 objectives of the vessel-based radar is to look up  
20 and get the altitudinal distribution of birds.

21 So the least-important part of the data  
22 could be compromised in there's excessive wave  
23 clutter and that would be the part right around the  
24 horizon.

25 Q. So Condition 22(c) in the Stipulation,

1     could wave clutter be an additional exception, due to  
2     high seas, from the 80 percent?

3             A.     Yes.  I understand that's how this  
4     condition reads.

5             Q.     And the -- you indicated that the -- that  
6     Icebreaker is considering the vessel-based radar  
7     system, correct?

8             A.     That's my understanding.

9             Q.     Could there be times when the  
10    vessel-based radar system is deployed on the Lake  
11    that it could be affected by wave action?

12            A.     Well, first of all, I want to -- I really  
13    want to defer this question to the primary radar  
14    expert which is Mr. Mabee.  He has much greater  
15    familiarity than I do about whether or not certain  
16    level wave action might affect the radar monitoring  
17    in a certain way.  I don't have a strong opinion on  
18    that or detailed technical knowledge.

19            Q.     Do you know if wave action can affect the  
20    reliability of data on the vessel-based radar  
21    operation?

22            A.     Again, my conceptual understanding is  
23    there can be an effect, yes.

24            Q.     And would that be an additional exception  
25    due to high sea events, unreliable data from rocking

1 of the barge on the Lake?

2 A. Again, this is not my main area. I can  
3 only comment on a conceptual-level understanding.

4 However, one of the other things I do  
5 understand as, Dr. Diehl mentioned in his report,  
6 there are mechanisms -- there's essentially technical  
7 remedies to wave action to some degree. So I  
8 understand that it potentially can affect it, but I  
9 also understand that it can potentially be remedied.  
10 Even -- again, more specific than that, I can't  
11 comment.

12 Q. Okay. Assume the barge is out on the  
13 Lake and there's no mechanism to correct the wave  
14 action and it results in unreliable data. Could that  
15 be -- due to high seas and the wave action -- could  
16 that be further excepted from the 80-percent  
17 standard?

18 MR. SECREST: Objection, speculation on  
19 speculation.

20 MR. SIMMONS: Your Honor, he is  
21 testifying in support of these conditions, that they  
22 represent the minimum adverse environmental impact of  
23 the project. I am asking him his understanding of  
24 those conditions as they relate to his opinion.

25 ALJ ADDISON: Thank you. I think he's

1 already alluded to the fact that he is passing the  
2 buck to their radar specialist, but I will allow him  
3 to answer the question to the extent that he has an  
4 opinion.

5 A. The only thing I will say on that is I  
6 don't think it's fair to pose a hypothetical that  
7 "assume there is no remedy for wave action" because  
8 there may well be a remedy for wave action in this  
9 deployment, so. I think that the hypothetical you  
10 imposed is actually misleading and kind of  
11 mischaracterizes the likelihood of additional data  
12 outages, for example.

13 Q. If there are data outages, though, would  
14 that be an exception to the 80-percent requirement as  
15 22(c) is written in the Joint Stipulation?

16 A. Well, 22(c) says, as written in the Joint  
17 Stipulation, is that the additional exceptions,  
18 beyond 80 percent, can be for heavy precipitation or  
19 high sea events. I think it's actually fairly clear  
20 and fairly simple as written in that language. It's  
21 only heavy precipitation or high sea events.

22 Q. And if those high sea events rock the  
23 barge, creating unreliable data, is that an  
24 exception?

25 A. I believe that is, as the document

1 language speaks for itself.

2 Q. So, to summarize, we could have the barge  
3 being removed from the Lake, the barge rocking on the  
4 Lake, producing unreliable data, and sea clutter; all  
5 those things independently could be excepted from the  
6 80-percent requirement as drafted in the Joint  
7 Stipulation 22(c); is that accurate?

8 MR. SECREST: I am going to object to the  
9 characterization as "independently." Essentially,  
10 that's all he sees.

11 ALJ ADDISON: I will allow him some  
12 latitude to clarify if he feels the need.

13 A. I feel that you've added language there  
14 that's not specified in Joint Stipulation 22(c). You  
15 are asking me about what does 22(c) provide for. And  
16 you've -- in your question you've added a lot more  
17 than what's in there. What it says here is heavy  
18 precipitation and high sea events. And I think  
19 that's -- that's all we can say because that's what  
20 the language says.

21 Q. But I've asked you your understanding of  
22 what high seas events are, and you indicated those  
23 three items, correct?

24 A. Which three items?

25 Q. Wave clutter, removing the barge from the

1 Lake, and the rocking of the barge, creating  
2 unreliable data.

3 A. That's not correct.

4 Q. Which part of that is not correct?

5 A. Wave clutter is not in addition to those  
6 other two. Wave clutter is something that happens in  
7 the case you have those other two, right? It's like  
8 saying -- well, it's not three things. What you --  
9 you listed three things as if it were three different  
10 conditions that could lead to data loss. In fact,  
11 the first one is not a separate thing. The first one  
12 is something that can happen to the data when the  
13 other things happen. It's not a separate event.  
14 Does that make sense?

15 Q. So wave clutter could happen when the  
16 barge is off the Lake?

17 A. Wave clutter can happen during a high sea  
18 event with the rocking. Obviously if the barge is  
19 off the Lake, it's not collecting data. You wouldn't  
20 have wave clutter. Wave clutter can also happen even  
21 not in a high sea event. It's a normal phenomenon,  
22 of any radar-data gathering, is some sea clutter or  
23 land clutter for that matter. Signals reflected from  
24 stuff near the horizon that's not flying birds.

25 Q. But those three items could happen

1 independently, correct?

2 A. They are not -- but they are not really  
3 three items is what I am saying. At most, they are  
4 two items. One, the barge is removed from the Lake.  
5 Two, there is some wave clutter caused by the waves  
6 in the Lake when the barge is out there. Does that  
7 make sense? There is only two items.

8 Q. So wave clutter, just so we understand  
9 your testimony, wave clutter, would that occur to the  
10 waves immediately under the barge or would that be  
11 off on the horizon?

12 A. This is really approaching the edges of  
13 my technical understanding. What I understand wave  
14 clutter to be is reflectivity back -- of the radar  
15 signal, back to the radar sensor, from waves.  
16 Exactly where the waves are, how close they are, that  
17 I don't know, but I know it can interfere with the  
18 ability to look at birds from the data.

19 Q. And then you're testifying that's the  
20 same as the physical rocking of the barge?

21 A. It's the thing that happens because of  
22 waves, which might be exacerbated with the rocking of  
23 the barge. It's not a separate type of event, right?

24 It's like one thing is me drinking too  
25 much and another thing is me having a headache.

1 Those aren't two separate things. One is a thing  
2 that happens as a result of the other, right?

3 Wave clutter is something that happens as  
4 a result of waves that can be exacerbated when there  
5 is rocking of the -- or when there is high waves,  
6 high sea events. Does that make sense? Really what  
7 you are talking about is it's just a semantics  
8 difference almost. It's only two things, not three  
9 things. One is high seas that could cause some  
10 amount of wave clutter, and two is removal of the  
11 barge.

12 Q. So does the radar equipment, moving on  
13 the barge, does that affect the data reliability?

14 A. Well, it depends.

15 Q. Could it?

16 A. It could, but as I said, and as Dr. Diehl  
17 points out in his testimony, there are remedies. It  
18 can be corrected.

19 Q. And is that movement of the radar  
20 equipment different from the issue of wave clutter?

21 A. Yes.

22 Q. Thank you.

23 A. But not in a different type of event.  
24 It's different --

25 Q. They could both occur during high sea

1 events.

2 A. Fair enough.

3 Q. Did Fish and Wildlife Service direct the  
4 company to use vessel-based radar?

5 A. No.

6 Q. Did any Ohio agency direct the company to  
7 use vessel-based radar?

8 A. No.

9 Q. In fact, it was the company's choice to  
10 use vessel-based radar, correct?

11 A. I would say the company has explored  
12 vessel-based radar as a way to get the kind of data  
13 that the agencies have been requesting. The company  
14 certainly did take the initiative in pursuing vendor  
15 proposals to conduct vessel-based radar, for example,  
16 in evaluating those proposals.

17 Q. The company could have selected a  
18 platform-based radar system, correct?

19 A. I suppose they could have.

20 Q. Is there anything in Staff Condition 22  
21 or Stipulated Condition 22 that directs the company  
22 do use vessel-based radar or platform-based radar?

23 A. I'll need to review those two conditions.  
24 You are asking me is there anything in Stipulation  
25 Condition 22 or Staff Report Condition 22 that

1 directs the applicant to use vessel-based radar?

2 Q. Correct.

3 ALJ ADDISON: Let's go off the record for  
4 a minute.

5 (Discussion off the record.)

6 ALJ ADDISON: Let's go back on the  
7 record.

8 A. I don't see anything in the Stipulated  
9 Condition 25 that directs the Applicant to use  
10 vessel-based radar. Nor do I see anything that  
11 precludes it. It doesn't specify the vehicle or the  
12 platform.

13 I can also say that Staff Condition --  
14 Staff Report Condition 22 also does not direct the  
15 Applicant to use a vessel, nor does it -- it is also  
16 mute about the specific platform or vehicle on which  
17 the radar needs to be deployed.

18 ALJ ADDISON: Thank you. I believe, at  
19 this time, we'll take a short break. Let's reconvene  
20 around 4:25. Off the record.

21 (Recess taken.)

22 ALJ ADDISON: Let's go back on the  
23 record. Mr. Simmons.

24 Q. (By Mr. Simmons) Dr. Gordon, during the  
25 break, did you talk -- discuss any of the matters

1 that you testified to with anyone other than counsel?

2 A. Not really. Kind of checked in a little  
3 bit, how things are going, but nothing about the  
4 substantive testimony.

5 Q. You didn't -- nothing that was discussed  
6 during your testimony?

7 A. We had a little bit of exchange on the  
8 testimony, how things are going.

9 Q. And who did you talk with?

10 A. I think I talked with maybe about half  
11 the members of the -- of the project team here, legal  
12 counsel, and some of my fellow witnesses.

13 Q. Was counsel present during all of those  
14 discussions?

15 A. I believe they were, yes. It was nothing  
16 substantive, it was just breaktime banter.

17 Q. I would like to direct your attention to  
18 the Joint Stipulation and, in particular, Condition  
19 35. It's Joint Exhibit 1.

20 A. Yes, I have it. I have it. Condition  
21 35. That "Signatory Parties to this Stipulation"?  
22 Okay.

23 Q. Are you familiar with that condition?

24 A. Yes.

25 Q. And do you believe that condition is

1 necessary to support your earlier opinion that this  
2 project represents the minimum adverse environmental  
3 impact?

4 A. I believe it helps. It supports a  
5 collaborative spirit and ongoing collaborations among  
6 the signatories. I don't believe it's critical to my  
7 determination of minimum adverse impact.

8 Q. Is the advis -- or is the potential  
9 advisory input from signatory parties more important  
10 than a post-collision monitoring plan, in relation to  
11 the project, representing the minimum adverse  
12 environmental impact?

13 MR. SECREST: Objection to the  
14 characterization.

15 MR. SIMMONS: Your Honor --

16 ALJ ADDISON: I will allow the question,  
17 and I'll provide Dr. Gordon significant latitude in  
18 his answer.

19 A. I don't have -- it's hard for me to  
20 determine which is more important, which provides  
21 more benefit. I think they both provide benefits.  
22 Which is more critical? They are two very different  
23 things, right? One is a monitoring program to help  
24 us get data to understand impacts that actually  
25 affect impact itself, but it helps us understand for

1 the future.

2           The other is a mechanism for  
3 collaboration between signatory parties that I think  
4 will also foster the advancement of not only  
5 scientific but regulatory and government pioneering  
6 efforts to develop an offshore-wind industry. They  
7 are both valuable. I have a hard time saying which  
8 is more valuable.

9           Q. In regard to Stipulation 35, what is the  
10 nature of the "advisory input throughout discussion  
11 with the identified agencies"? Would that pertain to  
12 e-mail communications?

13           A. I think I'm going to have to also just  
14 give you a short answer here. This language, as it  
15 occurs in Stipulation Condition 35, only existed as  
16 written here. As for how it will be interpreted,  
17 implemented, elaborated, I could only speculate. The  
18 condition, I think, needs to be evaluated just with  
19 the language that's provided. It doesn't specify  
20 those things.

21           Q. If the Board were to adopt Condition 35,  
22 and someone from Icebreaker was to have a commun --  
23 an e-mail communication with the Ohio Department of  
24 Natural Resources about one of these items listed,  
25 and they failed to copy the Indiana/Kentucky/Ohio

1 Regional Chamber -- Regional Council of Carpenters on  
2 that e-mail, would they be in violation of that  
3 stip -- that Stipulation 35?

4 A. That would be for somebody familiar with  
5 the enforcement of these kinds of conditions to  
6 evaluate. I don't know how that would be  
7 interpreted.

8 Q. What's your interpretation of it?

9 MS. LEPPLA: Objection, your Honor,  
10 speculative.

11 ALJ ADDISON: Sustained.

12 Q. So you don't have knowledge of Condition  
13 35?

14 A. I can only evaluate Condition 35 as it's  
15 written, and it's really quite simple, it's only  
16 three lines. What it says is that "Signatory Parties  
17 to this Stipulation shall be invited to participate  
18 in and provide advisory input throughout discussion  
19 with the identified agencies and Staff during efforts  
20 to finalize the programs and plans referenced in  
21 conditions" numbered. That's all it says. I could  
22 only speculate on how that would be implemented,  
23 enforced, interpreted in a regulatory context.

24 Q. Why is that limited only to signatory  
25 parties?

1           A.    I think those are the only parties to --  
2 parties to this agreement. Again, I am not a  
3 regulatory expert, but I believe this only -- I  
4 believe that's a natural result of this agreement  
5 being an agreement between the signatory parties. I  
6 also don't think it precludes invitation to allow  
7 other stakeholders to participate, if that's what  
8 you're suggesting.

9           Q.    Are you suggesting that other parties,  
10 for example, the Bratenahl residents, be included in  
11 Stipulation 35?

12          A.    No. I'm suggesting that Stipulation 35,  
13 as I read it, does not preclude input from other  
14 stakeholders.

15          Q.    Does it elevate the position of the  
16 stakeholders above other members of the community?

17          A.    You mean the signatories?

18          Q.    The signatories, excuse me. Thank you.

19                MR. SECREST: Objection, vague, "other  
20 members of the community."

21                ALJ ADDISON: Yeah. Please elaborate on  
22 that.

23          Q.    Other stakeholders.

24          A.    I can't offer a comment on that. I don't  
25 know.

1           Q.    What about the -- are you familiar with  
2 the Black Swamp Bird Conservancy?

3           A.    The Black Swamp Bird Observatory.

4           Q.    Observatory.  Excuse me.

5           A.    Yes, I am.

6           Q.    Would they be invited to these  
7 discussions as envisioned by Condition 35?

8           MR. SECREST:  Objection, speculation.

9           ALJ ADDISON:  I'll allow the question,  
10 but if he provides the same answer as he has provided  
11 before, we are left with that.

12                  Dr. Gordon, you may answer.

13           A.    I believe Condition 35, as written, does  
14 not mention anything.  It's mute about stakeholders  
15 other than the signatory parties, but it doesn't  
16 preclude accepting input from other stakeholders such  
17 as Black Swamp Bird Observatory.

18           Q.    Do you have a copy -- you still have your  
19 prefiled testimony in front of you?

20           A.    Yes.

21           Q.    I would like to direct your attention to  
22 page 4 of that prefiled testimony.

23           A.    Page 4?

24           Q.    Yes, page 4.

25           A.    I have it.

1           Q.    And could you read the last full sentence  
2   in your answer to Question No. 11.  It begins "Even  
3   under these very conservative assumptions...."

4           A.    Yes.  Just that sentence?

5           Q.    Yes, please.

6           A.    Or the whole end of the answer?

7           Q.    Just that sentence.

8           A.    "Even under these very conservative  
9   assumptions, the bird and bat fatality levels that  
10  the project could generate would not be likely to  
11  generate population-level impacts on any species."

12          Q.    I would now like to direct your attention  
13  to Condition 24 in the Joint Stipulation.  And is it  
14  correct that the --

15          A.    Hang on a minute.  Let me please get  
16  there.

17          Q.    I apologize.

18          A.    Condition 24?

19          Q.    24 in the Joint Stipulation.

20          A.    I've got it.

21          Q.    And in the Joint Stipulation is -- how is  
22  "significant adverse impact" defined?

23          A.    Do you want me to read that?

24          Q.    Yes, the parenthetical.

25          A.    Yeah, yeah.  The way it's defined here in

1 Stipulation Condition 24 is "biologically significant  
2 impact on the population level of any species or the  
3 occurrence of a large mortality event as defined in  
4 the impact mitigation plan."

5 Q. And you've indicated that a  
6 population-level impact is not likely from this  
7 project, correct?

8 A. That is correct.

9 Q. So it's not likely that this condition  
10 would be triggered, correct, that definition?

11 A. That is correct.

12 Q. And how would you define a  
13 population-level impact?

14 A. I define it as an impact that results not  
15 only in adverse impacts to some individuals, but  
16 actually affects the overall population size of a  
17 particular species.

18 Q. And for population size, is that  
19 geographically limited?

20 A. Yes, it is.

21 Q. And is there a certain number of miles or  
22 something for that limitation?

23 A. Yes. This is actually a concept that  
24 it's kind of a multi-scaled concept in biology  
25 science. You can think of it as a set of Russian

1 dolls. One can speak of populations at many  
2 different spatial scales, but the geographical  
3 delineation is a key part of it.

4           So you may speak of global populations  
5 for a species. Population is a species-specific  
6 concept. It always refers to one species, the number  
7 of individuals of one species, but it can be defined  
8 in different ways. It could be a global population,  
9 it could be the regional population, it could be the  
10 national population, the state population, or a  
11 population defined by a more-ecological delineation  
12 such as a biome or a watershed or something like  
13 that.

14           Q. And first I'll ask you if they are  
15 consistent. Is the -- would you define that term,  
16 "population-level impact," the same on page 4 of your  
17 testimony as in Condition 24, would you have the same  
18 definition for that term, "population-level impact"?

19           A. Yes, I would.

20           Q. And how would you define that as it's  
21 presented in your testimony?

22           A. Beyond what I just explained or what?

23           Q. Well, you explained there's multiple  
24 different -- I think you explained the Russian dolls,  
25 but how would you explain it for this project?

1           A.    Right, right. Well, it's not specified.  
2    It doesn't -- in neither place is it specified.  
3    We're talking about the global population, or the  
4    regional population, the state population, the local  
5    population. It's actually not specified. So that  
6    hasn't been defined here.

7                    I don't think -- I don't want to pick an  
8    arbitrary definition because I don't know how that  
9    would be defined, again, in the regulatory context.  
10   It could be defined in different ways.

11           Q.    And is there a certain percentage decline  
12   that would be required to trigger population-level  
13   impacts?

14           A.    As written, the answer is no. It only  
15   says the presence of a population-level impact,  
16   right? So, in principle, any population-level impact  
17   could trigger this.

18           Q.    So if you lost one member of the species,  
19   would that trigger it?

20           A.    No. And that's the distinction I want to  
21   make between population-level impacts and individual  
22   impacts. Just because of birth and death rates in  
23   populations in nature, loss of one individual does  
24   not necessarily present a population-level impact,  
25   because of natural replenishment through birth rates,

1 right?

2                   So population -- so loss of one  
3 individual would not represent a population-level  
4 impact, generally speaking. It is possible that a  
5 loss of a single individual could have a  
6 population-level impact for a very, very small  
7 population. That would be the only case in which  
8 one -- loss of one individual could represent a  
9 population-level impact.

10               Q. Is it a percentage, like a loss of 10  
11 percent or loss of 20 percent, is that how that's  
12 interpreted, population-level impact?

13               A. No. And for better or for worse,  
14 unfortunately, this is a concept that, at least in  
15 the science of biology, really has a fairly  
16 qualitative-type definition. So there's not a  
17 certain percentage or a certain number or a certain  
18 threshold that corresponds to the population impact.  
19 It would depend on the geographical-definition of  
20 that population and on -- in principle, it should  
21 also depend on a demographic analysis of the  
22 population. What are the birth rates? What are the  
23 death rates? What's the population size? And how  
24 does a given impact potentially affect the  
25 population.

1           Q.    And in terms of birds, in the context of  
2 your testimony on page 4, approximately how many  
3 numbers would you expect in a population?

4           A.    Again, it would depend on how you define  
5 that population. It might help, I could give you  
6 maybe a more concrete example if you want to pick a  
7 certain kind of bird, or if you want me to.

8           Q.    A Goldfinch.

9           A.    A Goldfinch. The American Goldfinch,  
10 that's a species that, you know, their global  
11 population probably numbers in the billions. I don't  
12 have the exact numbers off the top of my head, but it  
13 would be a number with a lot of zeros. That's a very  
14 common, widespread species, with a very large  
15 population size.

16                Now again, we could also talk about the  
17 regional or ecologically-defined subpopulation as,  
18 for example, the regional population or local  
19 population that might be smaller. However, any level  
20 that we define would be regarded as a population,  
21 even a local population would be a very large number.  
22 I couldn't put an exact number to it, but it would be  
23 a number with a lot of zeros in it.

24           Q.    At least in the thousands?

25           A.    I would say so.

1           Q.    How would population-level impacts be  
2           attributed to the facility, versus strikes by  
3           airplanes, boats, cats, any other issue?  How would  
4           that reduction be attributed to the facility?

5           A.    Well, it would certainly come from  
6           fatality monitoring at the facility.  That's part of  
7           the reason for the importance of the  
8           post-construction collision fatality monitoring  
9           system or protocol.  That would be part of it.

10                As for what the thresholds for  
11           determining population-level impact would be, and for  
12           disentangling the influences of project-related  
13           fatalities from other fatality sources such as you  
14           mentioned, that would require a detailed scientific  
15           analysis by an expert.

16           Q.    And what would the time frame of that  
17           analysis be, the scientific analysis by an expert?

18           A.    I don't know.  That would depend on the  
19           scope of the analysis.

20           Q.    Could take some time though?

21           A.    Could.

22           Q.    Do you still have Erin Hazelton's  
23           testimony in front of you?

24           A.    Yes.

25           Q.    I would like to turn your attention to

1 page 14.

2 A. Okay.

3 Q. Are you familiar with the single-spaced  
4 text at the top of page 14 that represent the -- the  
5 revision to the Staff Report Condition 24?

6 A. I have seen this before, yes.

7 Q. And as presented in her testimony, the  
8 revision to Staff Report Condition 24, does that  
9 allow for the company to submit a mitigation strategy  
10 if a significant adverse impact is determined?

11 A. Yes.

12 Q. And then the process envisions the ODNR  
13 and Staff reviewing that plan and potentially  
14 approving that plan, correct?

15 A. Confirming compliance with the condition,  
16 yes.

17 Q. And if the plan works, then the company's  
18 obligations are over under Condition 24, correct?

19 A. I believe that's what this says.

20 Q. And if the company's plan does not work,  
21 then the language envisions prescribed adaptive  
22 management, correct?

23 A. Yes.

24 Q. But, again, that prescribed adaptive  
25 management would only occur if the company's plan, as

1 approved, did not alleviate the significant adverse  
2 impact, correct?

3 MR. SECREST: Objection, misstates his  
4 testimony.

5 MR. SIMMONS: I'm asking for his opinion.

6 ALJ ADDISON: Thank you. I will allow  
7 the question to the extent he has an opinion on the  
8 matter.

9 You may answer.

10 A. Can you repeat the question? I'm sorry.  
11 It's getting late in the day.

12 Q. Sure. And let me rephrase it. Let me  
13 rephrase it. Maybe this will help.

14 The adaptive management only occurs if  
15 the mitigation strategy, offered by the company,  
16 doesn't alleviate the significant adverse impact,  
17 correct?

18 A. I believe that's correct.

19 Q. I would like to turn your attention to  
20 the Stipulation Condition 24.

21 A. Got it. 24 you said?

22 Q. Yes. So the Stipulation Condition.

23 A. Yeah.

24 Q. And I'm going to summarize and please let  
25 me know if you disagree with this summary, but

1 essentially Stipulation Condition 24 envisions the  
2 company submitting a plan and if the -- strike that.

3 What happens, under Condition 24 of the  
4 Joint Stipulation, if the plan does not alleviate the  
5 significant adverse impact?

6 A. What it says here is that "if the  
7 significant adverse impact persists," and that's  
8 after the implementation of the Applicant's plan,  
9 "the Applicant will request a meeting with Staff and  
10 the ODNR to jointly develop a revised mitigation or  
11 adaptive management strategy."

12 Q. And during that time, this significant  
13 adverse impact could be ongoing, correct?

14 A. Presumably, yes.

15 Q. And what happens if the revised  
16 mitigation and adaptive management strategy doesn't  
17 alleviate the significant adverse impact?

18 A. My read of this condition is that that  
19 scenario is not addressed in here.

20 Q. So, under that circumstance, the  
21 significant adverse impact could be allowed to  
22 persist?

23 A. The one thing I'll say on this, you'd be  
24 better off examining some of the other witnesses on  
25 this. Because this Stipulation agreement does have a

1 contingency for actions to be taken if the  
2 significant adverse impact persists, then I think all  
3 of that is covered already. That's my read of this,  
4 right, is then if the revised plan is implemented and  
5 the significant adverse impact still persists, that  
6 satisfies this condition here of "if the significant  
7 adverse impact persists."

8 In other words, it could trigger the  
9 response, again, of requesting a meeting with Staff  
10 and ODNR to jointly develop a revised mitigation or  
11 adaptive management strategy. And that's essentially  
12 the heart and soul of what adaptive management is.  
13 It's an experimental approach to management, based on  
14 data review and response. If what you're doing isn't  
15 working, you try something else. That's what  
16 adaptive management, in essence, is.

17 Q. So the cycle would just repeat until it's  
18 finally figured out?

19 A. In principle, yeah.

20 Q. And, during that time, the significant  
21 adverse impact would be allowed to continue.

22 A. That's my understanding.

23 ALJ ADDISON: Who are the other witnesses  
24 that you referenced in your answer? That we should  
25 inquire as to the interpretation of this condition?

1           THE WITNESS: I think the best one would  
2 be Mr. Good, who is the current project manager.  
3 He's been the one representing Icebreaker Wind  
4 Project in the discussions, with agencies, of these  
5 agreements.

6           ALJ ADDISON: Thank you.

7           Q. (By Mr. Simmons) Could you please turn to  
8 the Staff Report, Staff Exhibit 1.

9           A. I have it.

10          Q. And Staff Condition 19 envisions a  
11 feathering requirement if the company begins  
12 operation of the facility without having its  
13 post-construction avian and bat collision monitoring  
14 plan being deemed sufficient, correct?

15          A. Hang on. I just got there. Let me just  
16 review. Can you repeat your question?

17          Q. Sure. Are you there?

18          A. I'm there. I am there.

19          Q. Staff Condition 19 calls for the turbines  
20 to be completely feathered, from March 1st to January  
21 1st, until the Applicant has demonstrated that the  
22 post-construction avian and bat collision monitoring  
23 plan is sufficient. Is that accurate?

24          A. Almost. You left out the part about  
25 "from dusk to dawn." Other than that, it's accurate.

1           Q.    Thank you for that clarification.

2                    In your opinion, is that more protective  
3   than the language in the Joint Stipulation Condition  
4   19 that we discussed earlier in your testimony?

5           MR. SECREST:  Objection, asked and  
6   answered.  He was asked this question earlier in the  
7   testimony with regard to the impact and he testified  
8   as to the limited nature of it, given the risk  
9   assessment.

10          ALJ ADDISON:  Mr. Simmons.

11          MR. SIMMONS:  Your Honor, I asked him of  
12   his opinion of Staff's -- or excuse me.  I asked him  
13   his opinion of Stipulation Condition 19.  I am now  
14   asking him if Staff Condition 19 is more protective  
15   than the Joint Stipulation 19.

16          MR. SECREST:  That was the question that  
17   was asked before with regard to the Joint  
18   Stipulation, whether complete feathering would be  
19   more protective.

20          ALJ ADDISON:  I do recall, somewhat, a  
21   similar line of questioning, but I am going to allow  
22   the question.

23                    You may answer.

24          A.    Condition 19, in the Staff Report,  
25   includes a much, much greater extent of curtailment

1 of operation of the project than does Condition 19 in  
2 the Stipulation Agreement. However, my opinion is  
3 this is hitting a watch with a sledgehammer. It's an  
4 excessive and unnecessary amount of additional  
5 curtailment relative to Stipulation Condition 19  
6 given the vanishingly small level of impact that this  
7 project is certain to generate.

8 Q. But it's more protective.

9 A. It is more protective, yes.

10 Q. Could you please turn to your prefiled  
11 testimony on page 13.

12 A. I'm there.

13 Q. And in particular the last paragraph on  
14 the page, you indicate, and I'll quote "The  
15 atmosphere of the sky is the same regardless of the  
16 substrate in which the turbine bases are mounted."  
17 And I believe this is in the overall context of your  
18 risk assessment; is that correct?

19 A. That's correct.

20 Q. Does that statement factor in attraction  
21 that may be caused by the turbine themselves?

22 A. That statement -- the context for that  
23 statement is it refers to the reasons why we have  
24 predicted very low risks to birds and bats, collision  
25 risks from the project.

1           And more specifically, it refers to why  
2   it's reasonable to look at fatality rates of birds  
3   and bats that have been very well characterized at  
4   land-based wind projects in the Great Lakes region.  
5   42 studies in the case of birds; 55 studies in the  
6   case of bats. And assume only that fatality rates of  
7   this project may -- are likely to fall within the  
8   range of that large number of studies that have been  
9   conducted.

10           And the fact that those are on the land  
11   and, this one, the turbines will be mounted in the  
12   water, is -- is not enough of a difference to imagine  
13   that it doesn't disqualify the relevance of that very  
14   wide range of robust data on actual fatality rates to  
15   be considered in predicting the fatality rates for  
16   this project just because the turbine bases are in  
17   the water because, as this testimony states, the  
18   phenomena of interest is happening in the sky and the  
19   sky environment is no different.

20           Now, there is, as you mentioned, the  
21   possibility for attraction effects, but I'll note  
22   that, in fact, some attraction effects occur in  
23   land-based wind farms as well. And, in fact, the  
24   beauty of using the actual proof-in-the-pudding  
25   results that we did, to predict fatality rates, is

1 that it doesn't require assumptions like that. It  
2 takes the natural conditions of bird and bat exposure  
3 attraction behavior in nature and says, okay, now,  
4 what's the fatality rates. It doesn't make any  
5 assumptions about that.

6 So I think it is appropriate -- I stand  
7 by the statement just that because the atmosphere of  
8 the sky is similar, whether you are talking about a  
9 land-based or water-based turbine, that it's a valid  
10 frame of reference to look at the extensive  
11 characterization of bird and bat fatality rates at  
12 land-based wind facilities in the region as a basis  
13 to make a general prediction.

14 And again, about this one -- and again,  
15 we applied that with a high degree of caution. We  
16 didn't say, well, it's most likely exactly this. We  
17 said it could be anywhere within the range of what's  
18 been documented at land, which allows for some degree  
19 of difference, you know, of a new site.

20 Q. Are there attraction issues that are  
21 different with a facility being sited in the middle  
22 of Lake Erie as opposed to on land?

23 A. We don't know. We don't know. Could be.

24 Q. For example, could birds try to use the  
25 turbines as a perch, to break up their transit over

1 the Lake?

2 A. Yes, they could.

3 MR. SIMMONS: Your Honor, if I could just  
4 have one minute. I think I am about wrapped up, but  
5 I want to go over my notes.

6 ALJ ADDISON: Certainly.

7 MR. SIMMONS: Your Honor, I don't have  
8 any more questions at this time.

9 ALJ ADDISON: Thank you very much.

10 As Dr. Gordon did reference earlier in  
11 his statement, it is getting quite late. I believe  
12 we are close to the cutoff time that we were trying  
13 to stick to at the beginning of the hearing, so we  
14 will break for this evening and reconvene tomorrow,  
15 at 9:00 a.m., beginning with the redirect, if there  
16 is any, of Dr. Gordon. So thank you all.

17 (Thereupon, at 5:04 p.m., the hearing was  
18 adjourned.)

19 - - -

20

21

22

23

24

25

## 1 CERTIFICATE

2 I do hereby certify that the foregoing is  
3 a true and correct transcript of the proceedings  
4 taken by me in this matter on Tuesday, September 25,  
5 2018, and carefully compared with my original  
6 stenographic notes.

7  
8  
9 Karen Sue Gibson, Registered  
10 Merit Reporter.

11 Carolyn M. Burke, Registered  
12 Professional Reporter.

13 (KSG-6619)

14 - - -  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

**This foregoing document was electronically filed with the Public Utilities**

**Commission of Ohio Docketing Information System on**

**10/9/2018 8:46:36 AM**

**in**

**Case No(s). 16-1871-EL-BGN**

Summary: Transcript in the matter of the Icebreaker Windpower, Inc. hearing held on 09/25/18 - Volume II electronically filed by Mr. Ken Spencer on behalf of Armstrong & Okey, Inc. and Gibson, Karen Sue Mrs.